Attachment 9

1	MARYLAND DEPARTMENT OF THE ENVIRONMENT
2	AIR & RADIATION MANAGEMENT ADMINISTRATION
3	
4	
5	
6	PUBLIC HEARING FOR US WIND'S
7	OFFSHORE WIND FARM PROJECT
8	
9	PERMIT APPLICATION
10	
11	
12	The hearing in the above matter commenced on
13	Thursday, January 9, 2025, at 6:09 p.m., at the Ocean
14	City Convention Center, 4001 Coastal Highway, Ocean City
15	Maryland.
16	
17	
18	BEFORE: SHANNON HEAFEY, Hearing Officer
19	
20	
21	Reported by: George L. Quade, CERT

Public Hearing Maryland Department of the Environment

1/9/2025

1		APPEARANCES
2	ON BEHALF	OF THE MARYLAND DEPARTMENT OF THE ENVIRONMENT:
3		SHANNON HEAFEY
4		Maryland Department of the Environment
5		1800 Washington Boulevard
6		Suite 455
7		Baltimore, Maryland 21230-1708
8		
9		MANUEL CORA
10		Maryland Department of the Environment
11		1800 Washington Boulevard
12		Suite 455
13		Baltimore, Maryland 21230-1708
14		
15		
16		
17		
18		
19		
20		
21		

Public Hearing Maryland Department of the Environment

1/9/2025

1	APPEARANCES (CONT'D)
2	
3	SUNA SARISCAK
4	Maryland Department of the Environment
5	1800 Washington Boulevard
6	Suite 455
7	Baltimore, Maryland 21230-1708
8	
9	ALSO PRESENT:
10	DAVE WILSON, US Wind
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	

1/9/2025

1 PROCEEDING	S	
--------------	---	--

- 2 - - -
- 3 (6:09 p.m.)
- 4 MS. HEAFEY: My name is Shannon Heafey, and I'm
- 5 the Air Quality Permits Program Public Participation
- 6 Coordinator, and I am going to be serving as your hearing
- 7 officer this evening.
- 8 With me also tonight is Ms. Suna Sariscak,
- 9 she's our program manager; Mr. Manuel Cora, he is the
- 10 permit engineer for this facility. And there's some
- 11 folks that are out helping everyone sign in, and there's
- 12 some other folks from our Permits Program.
- 13 From the company, US Wind, is Mr. Dave Wilson.
- 14 And as you can see, we have court reporters here.
- 15 So I have a little bit to read, and then Mr.
- 16 Cora is going to give a quick presentation of the
- 17 tentative determination, the draft permit conditions, and
- 18 then I'll invite folks up to make a statement.
- 19 So the Department has made a tentative
- 20 determination that the permit meets all equitable air
- 21 quality rules and regulations and may be issued. This

Maryland Department of the Environment

1/9/2025

- 1 hearing is to offer citizens the opportunity to formally
- 2 comment on the Department's tentative determination and
- 3 draft permit conditions, or submit written statements to
- 4 the Department during the comment period.
- 5 The notification of this hearing appeared in
- 6 the Worcester County Times on December 5th and December
- 7 12th, 2024. A docket of information containing the air
- 8 quality application, the tentative determination, and the
- 9 draft permit conditions is available on the MDE website.
- 10 Go under the air tab, and then go under air permits, and
- 11 you'll scroll down and you will see US Wind, and you can
- 12 click on the docket and that brings up all of the
- 13 information. And the docket will be updated as we go
- 14 through the process.
- 15 So statements entered into the record will be
- 16 kept on file at the Department for up to five years, or
- 17 longer if we have room. The comment period remains open
- 18 through January 14th. The community does have an
- 19 opportunity to request a one-time, 60-day extension of
- 20 the comment period, which must be requested in writing to
- 21 the Department no later than January 14th, the close of

Maryland Department of the Environment

1/9/2025

- 1 the comment period. And you can email me that; on the
- 2 sign-in table are my business cards.
- 3 So -- okay. If an extension request is
- 4 received and the comment period is extended, a
- 5 notification will be sent to those who participated in
- 6 the permit process, local elected officials, and will be
- 7 posted on our website. And, again, if you have not
- 8 signed in, please do. That is going to be how I'm going
- 9 to be -- I will be communicating through email. So I
- 10 like to be sure everyone's email is up to date and is
- 11 legible.
- 12 At the conclusion of the comment period, all
- 13 comments received will be addressed in a document called
- 14 the Response to Comments, and that will be prepared by
- 15 the Department. After the close of the comment period,
- 16 every comment will be reviewed and addressed.
- 17 The Department -- well, okay. So that could
- 18 take a little bit of time after the end of the comment
- 19 period, but you will receive something by me from it.
- 20 And -- so if the Department does not receive any comments
- 21 it considers to be adverse to the tentative

Maryland Department of the Environment

1/9/2025

- 1 determination, that determination becomes the final
- 2 decision at the end of the comment period.
- 3 If the Department does receive comments it
- 4 deems adverse to the tentative determination, it will
- 5 make a final determination as to whether to issue or deny
- 6 the permit. A notice of final determination will be
- 7 placed in the legal section of a newspaper in general
- 8 circulation in the area, which is probably going to be
- 9 the Worcester County Times again, placed on the MDE Air
- 10 Quality Permitting page, and emailed to commenters, those
- 11 who participated in the public review process, elected
- 12 officials.
- Any person contending that they will be
- 14 adversely affected by the Department's final
- 15 determination may seek remedy within the Circuit Court
- 16 system of Maryland. A petition for judicial review must
- 17 be filed within the Circuit Court for the county where
- 18 the proposed activity will occur. It must be filed
- 19 within 30 days after the publication of a notice of final
- 20 determination.
- 21 Mr. Cora will give a brief presentation about

Maryland Department of the Environment

1/9/2025

- 1 the tentative determination, the permitting process, and
- 2 then the comments for the record are invited. Just as an
- 3 FYI, any comments that have questions will be addressed
- 4 at the end of the comment period and not tonight. That
- 5 is so that everybody gets to read the question and we'll
- 6 get the correct answer.
- 7 So please do, if you have questions, please
- 8 make them part of your statement, but just know that
- 9 you're not going to be getting an answer until the end of
- 10 the comment period because we do expect to get written
- 11 comments from folks that could not attend the hearing
- 12 tonight, and everybody should hear what's going on.
- 13 I'll be inviting elected officials to speak
- 14 first. So after they have been invited up to speak, then
- 15 I will open it up. This is just a quick -- and I'll qo
- 16 over this again in a minute. But as you can tell when
- 17 you came in, there were multiple sign-in sheets. So
- 18 there's no particular order that I'm going to call you up
- in. Don't be offended. Everybody will have a chance to
- 20 make their statement. We'll be calling people up five at
- 21 a time and you can come up and sit here until their turn.

Maryland Department of the Environment

1/9/2025

- 1 And I'll go over this in a minute, but just so you know
- 2 how we're going to do the proceeding, and for -- so I'm
- 3 going to let Mr. Cora make his presentation, and then
- 4 we'll go from there.
- 5 MR. CORA: Thank you, Shannon. Good evening,
- 6 everyone. My name is Manuel Cora. I am the Division
- 7 Chief of the Combustion and Metallurgical Division of the
- 8 Air Quality Permits Program, Maryland Department of the
- 9 Environment.
- 10 As Shannon stated before, tonight we are
- 11 sharing some of the key elements or points related to the
- 12 air -- draft air quality permit and the tentative
- 13 determination on this permitting process and approvals.
- 14 This is the recommendation at this stage for the
- 15 tentative review that we -- our whole team conducted on
- 16 this application. This -- I just want to say that this
- 17 permit arrived at our agency a little bit more than a
- 18 year ago.
- Just before going over the key elements of the
- 20 draft permit and approvals, I would like to spend some
- 21 time sharing some background on the project, or

Maryland Department of the Environment

1/9/2025

- 1 milestones in the permitting process.
- 2 MDE, also known as the Department here, we
- 3 received a permit application for an air quality permit
- 4 application for the construction and operation of the US
- 5 Wind, Maryland Offshore Wind Project. The complete
- 6 application was received in November 2023. As stated in
- 7 the permit application, the project proposes to construct
- 8 and operate up to 121 wind turbine generators, four
- 9 offshore substations (OSS), and then one Met Tower.
- 10 (Inaudible) last year in June, we came here for
- 11 a public information meeting that was organized by our
- 12 department. That meeting was in June 13th, 2024.
- 13 Obviously, the meeting was held here in Ocean City. And
- 14 that meeting allowed the general public to ask questions
- 15 and get information about the project, and also a review
- of information about the permitting process, the
- 17 different milestones.
- 18 After the informational meeting, our team
- 19 engaged in a comprehensive technical review. We went
- 20 back to our offices and we went over the permit
- 21 application, in-depth technical review. The end of our

Maryland Department of the Environment

1/9/2025

- 1 review, or that stage, ended with the draft permit
- 2 document, or what is called a tentative determination to
- 3 issue a permit to construct, and approvals. And we found
- 4 that the proposed project meets the applicable federal
- 5 and state air quality regulations.
- 6 Now, I want to briefly talk about the -- what
- 7 constitutes air pollution sources for this project, being
- 8 that it's a wind project, what really constitutes
- 9 emission sources. And you see there three bullets. In
- 10 the first bullet, you will see that emissions from
- 11 vessels traveling to and from the wind -- the turbine
- 12 development area within 25 nautical miles of the area's
- 13 boundary during construction and commissioning (C&C)
- 14 phase of the project.
- 15 Second bullet there, also emissions from
- 16 vessels that are temporarily or permanently attached to
- 17 the seabed, or physically attached to the wind turbine
- 18 development area during the C&C phase of the project.
- 19 Then on the third one there, also emissions
- 20 that are from vessels servicing the wind turbines for
- 21 offshore substations during operations and maintenance

Maryland Department of the Environment

1/9/2025

- 1 activities. Also, emissions coming from temporary and
- 2 permanently -- permanently stored generators during
- 3 construction and commissioning, and also O&M phase of the
- 4 project.
- Now, a little bit on what was included in the
- 6 permit application. The permit application is a
- 7 standalone document that included a -- what you see on
- 8 the first bullet, major new source review approval. It
- 9 also includes a prevention of significant deterioration
- 10 approval (PSD), in addition to an air quality permit to
- 11 construct.
- 12 Based on the standalone documents submitted by
- 13 US Wind containing the NSR, as I mentioned, the PSD
- 14 approval, and the PTC application and supporting
- 15 documents, all these documents necessary for us to do a
- 16 technical review and come to a conclusion.
- 17 A little bit on the NSR, New Source Review,
- 18 requirements. During the construction and commissioning
- 19 phase, the project's potential NOx emissions will exceed
- 20 100 tons a year, which is the major source threshold
- 21 applicable in Worcester County. So those NOx potential

Maryland Department of the Environment

1/9/2025

- 1 emissions, that made this project subject to the
- 2 -- to the NSR approval process, in that first bullet.
- 3 As a result, then, US Wind will meet and will
- 4 have to meet the Lowest Achievable Emission Rate for
- 5 emission of NOx by using engines that meet the most
- 6 stringent NOx emission standards that are available at
- 7 the time of deployment.
- 8 Another requirement under the NSR is this
- 9 offset -- it's on the third bullet there. And the
- 10 company is required to obtain what is called emissions
- 11 reductions, or offsets, for potential NOx emissions for
- 12 -- during the operations and maintenance phase. And this
- 13 NOx offset has to be at a ratio of 1.15:1, or the
- 14 equivalent of 29 tons during operation and maintenance.
- Just a little bit about -- on the PSD,
- 16 Prevention of Significant Deterioration. The potential
- 17 emissions for the project for nitrogen dioxide, NO2,
- 18 carbon monoxide, particulate matter with 10 microns or
- 19 less, and particulate matter of 2.5 microns or less,
- 20 exceeding the PSD significant emissions rate. It's
- 21 called the SER. And, therefore, that exceedance

Maryland Department of the Environment

1/9/2025

- 1 triggered the PSD approval process. So that's why they
- 2 submitted a PSD approval.
- 3 As part of that PSD process, the facility, or
- 4 the company, then has to meet Best Available Control
- 5 Technology, B-A-C-T, or BACT, requirements. Those BACT
- 6 requirements will be by the use of engines that meet the
- 7 most stringent emission standards available at the time
- 8 of deployment, and also using ultra low sulfur diesel
- 9 fuel. That's the B-A-C-T, or BACT, for this project.
- 10 The third bullet, US Wind was also required to
- 11 perform air quality modeling to demonstrate compliance
- 12 with Natural Ambient Air Quality Standards. So modeling
- 13 was done to show compliance with the NAAOS, in that
- 14 bullet there.
- 15 A little bit more on PSD. US Wind was required
- 16 to conduct -- conduct impact analysis on Class I areas,
- 17 or areas that are with natural resources that require
- 18 special protection.
- 19 Also, additional analyses was required on
- 20 growth, soil, vegetation, wildlife, visibility
- 21 impairment, and shoreline fumigation.

Maryland Department of the Environment

1/9/2025

- 1 One of the things that the permit -- the
- 2 approval requires, or will require, on that last bullet
- 3 there, is going to be related to daily emission limits
- 4 and ensure compliance with the NAAQS standards, and then
- 5 show compliance that the project will not exceed
- 6 significant impacts on the short term.
- 7 A little bit on the PTS requirements. The PTC
- 8 is a permit to construct, and you can see the permit to
- 9 construct is a standalone document that encompasses
- 10 everything that covers the PSD and the NSR approvals, and
- 11 it also includes additional requirements for other
- 12 pollutants -- VOC, SO2, lead, and greenhouse gases.
- The PTC, or permit to construct, will also
- 14 include requirements that are applicable under the New
- 15 Source Performance Standards for engines and the National
- 16 Emission standards for Hazardous Air Pollutants. Those
- 17 standards are applicable to the engines that will be used
- 18 to propel the vessels.
- 19 Also, applicable state regulations that limit
- 20 visible emissions from engines, sulfur content in fuels
- 21 used, and nuisance and odors. That's going to be in the

- 1 permit to construct.
- 2 A little bit on a few other things on the
- 3 permit to construct, Initial Compliance Demonstration.
- 4 Prior to the construction and commissioning phase, and
- 5 prior to the operation and maintenance phase, US Wind
- 6 will be required to submit a report that includes the
- 7 following on those two following bullets: Specifications
- 8 on the vessels contracted, all information on each
- 9 anticipated representative vessel, and each marine and
- 10 non-marine engine. And they will also be required to
- 11 revise their potential to emit calculations using
- 12 approved processes by the Department, approved emissions
- 13 methodology, and demonstrate that emissions are less than
- 14 the limits specified in the permit and approvals.
- 15 There will be a few other requirements that I
- 16 would like to mention. The -- the company will have to
- 17 develop and implement a plan -- we call it the good
- 18 combustion practices and combustion efficiency. That's
- 19 where this plan will be discussing these practices on
- 20 combustion efficiency.
- 21 And the plan will be trying to minimize engine

Maryland Department of the Environment

1/9/2025

- 1 idling, a summary of good combustion practices for each
- 2 engine, and a preventative maintenance schedule of
- 3 activities.
- 4 Continuous Compliance Requirements: US Wind
- 5 will calculate the actual emissions using the
- 6 department's approved methodology, and that will be on
- 7 actual vessels and engines data.
- 8 It will be required to show that each vessel
- 9 and stationary engine is certified to meet applicable
- 10 emission standards.
- 11 And then they will be required to submit
- 12 quarterly emission reports with supporting vessels and
- 13 engine data. Now, that's all the permit -- I was talking
- 14 about the permit to construct. A little bit on the --
- 15 that's where we are.
- 16 A little bit on the future. This facility will
- 17 be subject to operating permit requirements. This
- 18 highlights a little bit of where we're going. US Wind
- 19 must apply for a temporary permit to operate, and that
- 20 will be prior to the commencement of operation and
- 21 maintenance.

Maryland Department of the Environment

1/9/2025

- 1 And there's going to be a temporary permit,
- 2 which will be a permit to operate, and that temporary
- 3 permit to operate that will transition into a Part 70
- 4 Title V operating permit.
- 5 And number three here, US Wind will be required
- 6 to annually certify actual emission of regulated
- 7 pollutants, and also the -- under the operating
- 8 requirements, they will be required to report occurrences
- 9 of excess emissions during operation.
- Those are the main highlights on the permit
- 11 side. As Shannon mentioned, all this information and all
- 12 -- all the draft documents and tentative determination is
- 13 going to be found here on this dedicated online website.
- 14 It's there. Any comments can be sent directly to
- 15 Shannon. And the written comments may be submitted until
- 16 January 14th, 2025, and 60 days extension --
- MS. HEAFEY: No, no.
- 18 MR. CORA: So that's pretty much what concludes
- 19 my -- my presentation.
- 20 MS. HEAFEY: Thank you. Okay. And as I had
- 21 said earlier, we're going to give the opportunity for our

Maryland Department of the Environment

1/9/2025

- 1 elected officials who have joined us this evening to make
- 2 comments first. And then at that point, I will call
- 3 people up in groups of five to come up and sit here and
- 4 then we'll call you each by name. Again, it's not
- 5 necessarily going to be the order in which you signed in,
- 6 but I have everybody listed, and I'll be calling each of
- 7 you up. And if there's time at the end, I'll invite
- 8 folks that didn't have a chance to sign in, or if people
- 9 want to amend their statement.
- 10 And if you get home tonight and think, oh, I
- 11 forgot to write that in, send me a note and we will add
- 12 that to all the comments.
- 13 So I'd like to first ask Senator Carozza if she
- 14 would like to speak. The microphone is here for the
- 15 court reporter.
- 16 SEN. CAROZZA: I want to thank the Maryland
- 17 Department of the Environment for coming down and having
- 18 the public hearing. I am Senator Mary Beth Carozza, for
- 19 the record, representing District 38, which includes
- 20 Maryland's only ocean beach town, Ocean City, Worcester
- 21 County, and, of course, also Wicomico and Somerset

Maryland Department of the Environment

1/9/2025

- 1 Counties.
- 2 And I did have the opportunity last night when
- 3 I saw the secretary, Secretary McIlwain, to ask if she
- 4 would be here in Ocean City. I was hoping to be able to
- 5 present these comments directly to her. But I did let
- 6 her know I was making the extra effort. We just -- we
- 7 just convened the 2025 Maryland General Assembly
- 8 yesterday, so we wanted to make the extra effort. My
- 9 colleague, Delegate Wayne Hartman, is here as well.
- 10 So I want to first thank you for this
- 11 opportunity to offer comments regarding US Wind's air
- 12 quality permit application for the construction and
- 13 operation of its Maryland offshore wind project
- 14 consisting of 121 wind turbine generators, up to four
- 15 offshore substations, and one meteorological tower, to be
- 16 located 10 miles off the coast of Worcester County,
- 17 Maryland.
- 18 As wind turbines have been installed in other
- 19 locations, mostly in Europe, over time it is possible to
- 20 gather quantitative information over their various
- 21 impacts. We now know that offshore wind turbines are

Maryland Department of the Environment

1/9/2025

- 1 subject to the wake effect, which creates less energy in
- 2 the air flow downwind than the air flow upwind. As
- 3 turbines are in rows, each turbine reduces the air flow
- 4 available to the one behind it. Not only does this
- 5 reduce energy flow, making the project inefficient; it
- 6 increases the ozone levels in the surrounding area as
- 7 ozone levels increase when air flow is reduced.
- 8 It is imperative that the Maryland Department
- 9 of the Environment review the significance of the
- 10 negative impact of the wake effect from the offshore wind
- 11 turbines and respond to the following questions: Is the
- 12 negative impact of the wake effect from offshore wind
- 13 turbines enough to justify the denial of this air quality
- 14 permit? What is the amount of increase in the ozone
- 15 levels? Is it impacted by water salinity, current speed,
- 16 ambient temperature, average wind speed, number or
- 17 position of turbines, or distance between them?
- In addition, multiple questions have been
- 19 raised regarding the number of vessels that US Wind plans
- 20 to use for the construction, operation, and maintenance
- 21 -- again, construction, operation, and maintenance, of

Maryland Department of the Environment

1/9/2025

- 1 its offshore wind energy project.
- 2 Given these many serious questions, many
- 3 unresolved issues, I believe it would be irresponsible
- 4 for the Maryland Department of the Environment to rush to
- 5 approve US Wind's air quality permit for this project.
- 6 My constituents and taxpayers across the State
- 7 of Maryland have pointed out how dismayed they would be
- 8 to discover that the proposed offshore wind energy
- 9 solution for increased clean energy would actually be the
- 10 cause for increased ozone with its many negative health
- 11 effects.
- 12 As the sole state senator representing
- 13 Maryland's coast, and Maryland's only ocean beach town, I
- 14 consistently have maintained that insufficient research
- 15 and data collection are being used to justify moving
- 16 forward with a project that will have long-range negative
- 17 impacts of the environment, marine life, commercial
- 18 fishing, and the hospitality industry, and an enormous
- 19 cost to Maryland's rate payers and taxpayers at a time
- 20 when Maryland faces a budget crisis.
- 21 The opposition to US Wind's proposed offshore

Maryland Department of the Environment

1/9/2025

- 1 wind energy project continues to mount with a working
- 2 coalition made up of local residents and visitors,
- 3 commercial watermen, hotel/motel/restaurant operators,
- 4 small business owners and their employees, elected
- 5 officials at every level of government, and a growing
- 6 number of concerned Maryland residents and their families
- 7 who have been enjoying their family vacations on
- 8 Maryland's coast for generations, and are joining the
- 9 fight to protect our shore way of life.
- 10 UNIDENTIFIED FEMALE: Amen.
- 11 SEN. CAROZZA: We urge the leadership of the
- 12 Maryland Department of the Environment and all of
- 13 Governor Wes Moore's administration to hear and respond
- 14 to our voices. And I thank you for this time, your kind
- 15 consideration of my testimony. Thank you.
- 16 (Applause.)
- MS. HEAFEY: Senator, can you email that to us?
- 18 Can you email it?
- 19 SEN. CAROZZA: I can email and then give it to
- 20 you.
- 21 MS. HEAFEY: You can do that? Thank you.

Maryland Department of the Environment

1/9/2025

- 1 Okay. Delegate Hartman?
- DEL. HARTMAN: Thank you. I, too, would like
- 3 to thank you for being here and providing the opportunity
- 4 for us to speak and you to be here and answer questions,
- 5 as well.
- 6 As Senator Carozza said, we just started
- 7 session, so I wasn't expecting to be here. But, as
- 8 typical, we were off to somewhat of a slow start, and the
- 9 slower we start and the slower we go, the better off
- 10 Marylanders are. So sometimes less -- less of the
- 11 General Assembly is better.
- 12 So the -- I presented written comments. So for
- 13 consistency I'll be reading a good portion of it. And,
- 14 you know, I'm really glad I am here because the numbers
- 15 that I was able to see as far as some of the emissions
- 16 and so forth are much different than what we've seen
- 17 tonight. So when you're addressing questions, if you
- 18 could clarify the numbers as far as the emissions that
- 19 you were showing as far as the tons of carbon and so
- 20 forth a year, if you could address some of that, that
- 21 would be appreciated.

Maryland Department of the Environment

1/9/2025

- 1 So the implementation of offshore wind turbines
- 2 continues to be a significant cause for concern for the
- 3 residents and property owners of Ocean City and Worcester
- 4 County. I, along with many others, have consistently
- 5 raised these concerns regarding the negative
- 6 environmental, economic, and visual impacts that will
- 7 come from the industrialization of the Atlantic Ocean.
- 8 The development of offshore wind turbines will cause
- 9 irreversible damage to our local ecosystem, interfere
- 10 with the biosonar capabilities and migratory patterns of
- 11 wildlife, and bring harm to our local fishing and tourism
- 12 communities.
- The local environment along Maryland's
- 14 coastline, both to the ocean and the air, now face
- 15 serious endangerment with the construction and
- 16 maintenance of 121 offshore wind turbines. The approval
- of these air quality permits will allow US Wind to
- 18 produce thousands of tons of CO2 per year, allow them to
- 19 produce thousands of tons of CO2 per year during their
- 20 first three years of construction and operation, and
- 21 within the same time frame they will also be granted

Maryland Department of the Environment

1/9/2025

- 1 permission to discharge hundreds of tons of nitrous oxide
- 2 per year, which is equivalent to the amount emitted by
- 3 over 56,000 cars.
- 4 And that's where I was questioning. You were
- 5 saying maximum of 100 tons -- it was 100 tons a year, I
- 6 thought was what I had read in your information there;
- 7 the numbers I was seeing were much greater. So if you
- 8 can address that in your questions.
- 9 Nitrous oxide is known to contribute to smoq
- 10 and acid rain, which can eventually lead to elevated
- 11 levels and major pollution in our waterways, and the
- 12 emanation of algae blooms. Additionally, there is no
- 13 certainty that the volume of clean energy generated by
- 14 these turbines will offset the amount of carbon emission
- 15 produced by their construction and operation.
- 16 We, as a state, should not industrialize the
- 17 Atlantic Ocean and diminish our air quality to collect
- 18 wind energy. When we talk about our environment, and
- 19 we're allowing the detriment of our environment, how can
- 20 we say that is for the betterment for Maryland?
- I firmly believe that we should explore other

Maryland Department of the Environment

1/9/2025

- 1 forms of technology to harvest clean energy to fuel our
- 2 grid in ways that are economically and environmentally
- 3 sound. For these reasons, I remain strongly opposed to
- 4 any offshore development in the Atlantic Ocean. Thank
- 5 you.
- 6 (Applause.)
- 7 MS. HEAFEY: Thank you.
- 8 Commissioner Bertino?
- 9 MR. MITRECIC: No. Commissioner Mitrecic.
- MS. HEAFEY: I'm sorry?
- 11 MR. MITRECIC: Commissioner Mitrecic is
- 12 speaking.
- MS. HEAFEY: Oh, okay. Wonderful. Thank you.
- 14 MR. MITRECIC: I'm on the list farther down, so
- 15 you can scratch me off.
- MS. HEAFEY: Okay.
- MR. MITRECIC: Good evening. And, again, thank
- 18 you all for being here. It's nice that you had this
- 19 public hearing in the town and in the county that's most
- 20 affected by these windmills moving forward.
- 21 My name is Joe Mitrecic. I'm speaking on

Maryland Department of the Environment

1/9/2025

- 1 behalf of the Worcester County Commissioners. We are
- 2 opposed to the air quality permit and approvals sought by
- 3 US Wind. This project is doing nothing to improve local
- 4 quality of life. While wind might be called clean
- 5 energy, this project will bring pollutants to our air and
- 6 water. The dozens of boats that will be required for
- 7 construction, and later maintenance and operations, will
- 8 produce hundreds of tons of nitrous oxide, contributing
- 9 to smog, acid rain, and potentially leading to algae
- 10 blooms in the ocean.
- 11 Construction won't last forever, but operations
- 12 and maintenance will be required through the life of
- 13 these turbines. Even when the turbines are not
- 14 operational, US Wind's boats will be. What does that
- 15 mean for our residents? This project is already
- 16 eliminating Worcester County's only remaining fish
- 17 houses, crippling our commercial harbor, and is poised to
- 18 drastically reduce tourism in our town.
- 19 If these latest approvals are granted, it will
- 20 also be emitting nitrous oxide, carbon monoxide, and
- 21 greenhouse gases, into Worcester County. If MDE moves

Maryland Department of the Environment

1/9/2025

- 1 forward with foolishly granting this permit and these
- 2 approvals for US Wind, given the adverse local impacts,
- 3 no waivers should be granted. The controls proposed are
- 4 not enough to protect the local population from the
- 5 impacts from the project. Worcester County will need
- 6 increased air quality monitoring to ensure area residents
- 7 aren't being unfairly burdened with the dirty side
- 8 effects of clean energy.
- 9 The bottom line is these monstrosities will
- 10 never offset the carbon footprint created by
- 11 manufacturing, construction, and maintaining. Thank you.
- 12 (Applause.)
- MS. HEAFEY: Thank you.
- 14 Commissioner Weston Young? Are you here?
- 15 UNIDENTIFIED MALE: You got demoted.
- MS. HEAFEY: I'm so sorry, what --
- 17 MR. YOUNG: I'm chief administrative officer.
- MS. HEAFEY: Oh, I'll fix that.
- 19 MR. YOUNG: Thank you. Good evening. Once
- 20 again, I'm the chief administrative officer for Worcester
- 21 County, and I thank you for your time tonight.

Maryland Department of the Environment

1/9/2025

- I am a professional engineer, and I also have a
- 2 seat on MDE's air quality control advisory council. What
- 3 we have proposed here are permits that, if authorized,
- 4 will allow the degradation of the air quality of Ocean
- 5 City and Worcester County. We currently have no
- 6 significant stationary emission sources in this area.
- 7 The construction process and daily operations will add
- 8 NOx and fine particulate to our air, that is the air our
- 9 citizens and the eight million unique visitors that come
- 10 to the county and Ocean City, breathe.
- 11 Further, in November in a presentation in
- 12 Salisbury, representatives from US Wind said the O&M
- 13 facility proposed will house 100 jobs. If you've been to
- 14 West Ocean City, or the harbor area, you're aware that
- 15 there's already parking and congestion concerns. Now add
- 16 up to 100 more cars to the mix. This is not an
- 17 insignificant increase in pollution, and it will further
- 18 expand the air quality impacts in-shore.
- 19 Lastly, the wind doesn't always blow. And
- 20 what's powering all these homes that this project is
- 21 supposed to power when nothing's being generated? The

Maryland Department of the Environment

1/9/2025

- 1 electrons have to come from another power source, likely
- 2 coal, or natural gas generated power. So now to power
- 3 the homes that this project is supposed to power, at
- 4 least two power generation systems have to be maintained,
- 5 one supposedly green, the other likely not.
- 6 This is inefficient and ineffective. This is
- 7 neither clean nor green. And ultimately it does not
- 8 provide a single positive impact to our county, our
- 9 citizens, or our visitors. And I ask that you deny these
- 10 permits.
- I think a significantly more elaborate study
- 12 needs to be performed that includes all the air quality
- 13 impacts this project will bring. However, if you decide
- 14 to go forward, I think any monitoring waivers should be
- 15 denied. And given the project's timeline for completion,
- 16 Tier V emission standards should be imposed because
- 17 they'll likely be wrapped up by the time these O&M boats
- 18 are operating. And that's on the boats, the generators,
- 19 and any other equipment they have.
- 20 And, further, any offsets that are needed for
- 21 this project should be located in Worcester County, the

Maryland Department of the Environment

1/9/2025

- 1 only county being impacted by this. So I thank you for
- 2 your time and consideration.
- 3 MS. HEAFEY: Thank you.
- 4 (Applause.)
- 5 MS. HEAFEY: Mayor Meehan?
- 6 MR. MEEHAN: Thank you. Thank you for the
- 7 invite this evening and allowing us the opportunity to
- 8 speak. If you would have asked, I would have gotten you
- 9 another podium that would have made it a little easier.
- 10 MS. HEAFEY: Sorry. Appreciate that.
- MR. MEEHAN: So thank you. My name is Rick
- 12 Meehan, and I'm the mayor of Ocean City, Maryland. And
- 13 I'm here tonight representing the Mayor and City Council
- 14 and the citizens of Ocean City, and we're united in our
- 15 opposition to all three air quality permits that are
- 16 before us this evening.
- 17 The first time I addressed this issue regarding
- 18 the US Wind project was over seven and a half years ago
- 19 at a public hearing held by the Maryland Public Service
- 20 Commission in Berlin, Maryland. I stated my concerns
- 21 about the project at that time. They were ignored.

Maryland Department of the Environment

1/9/2025

- 1 We stated our concerns, I can't even tell you,
- 2 at how many public hearings over the last seven and a
- 3 half years, and all of them have been ignored, every
- 4 single one. Not one concession has been made, not one
- 5 change has been made, to the project to address any of
- 6 our concerns. It seems unbelievable, doesn't it? Not
- 7 one.
- 8 Tonight, unfortunately I expect the result to
- 9 be the same. And despite the comments made by my
- 10 colleagues that spoke before me about greenhouse gases
- 11 and those that will be emitted by this project, I think
- 12 they'll be ignored and these permits will be approved
- 13 as this project continues to be fast-tracked through the
- 14 system. And, believe me, it has been fast-tracked at
- 15 every single stage.
- I would like to know if MDE, or those that are
- 17 involved in this project, have any experience at all
- 18 previously with evaluating wind turbine projects, in
- 19 particular one this size. Is there any experience at the
- 20 staff level with regard to this?
- 21 So we're talking about quality. Well, I want

Maryland Department of the Environment

1/9/2025

- 1 to talk a little bit about quality. What about the
- 2 quality of life here in Ocean City and the Eastern Shore?
- 3 I think my colleagues have spoken about that. What about
- 4 the quality of the view off our coast when we're looking
- 5 at what I thought were 914, 938-feet tall turbines, that
- 6 will totally industrialize our viewshed.
- 7 What about the quality of the vacation
- 8 experience, which studies have shown will decline
- 9 dramatically if the turbines are visible from our beach?
- 10 What about the quality of our ecosystem that will be
- 11 dramatically altered during the construction and
- 12 operation of these monstrous turbines? What about the
- 13 reduced quality of the Atlantic flyway and its impact on
- 14 migratory birds, and ultimately the quality of our
- 15 coastal bays? What about that quality?
- 16 What about the quality of our commercial
- 17 fishing industry that US Wind is basically looking to
- 18 eliminate entirely by taking over our West Ocean City
- 19 harbor? What about the quality of the recreational
- 20 fishing experience that will forever be altered with the
- 21 construction of these turbines?

Maryland Department of the Environment

1/9/2025

- 1 What about the quality of our real estate
- 2 market and property values that will plummet if our
- 3 viewshed and our economy are destroyed. US Wind has
- 4 never even been required to do an economic study on the
- 5 impact of this project; fast-tracked. What about the
- 6 quality and the loss of jobs that currently exist today?
- 7 What about that?
- 8 What about the quality of life for rate payers
- 9 across the State of Maryland that will now be faced with
- 10 a wind tax to provide electricity that may or may not
- 11 ever be delivered to them?
- 12 The Governor of Delaware today stated that the
- 13 US Wind project would save Delawarians over \$200 million.
- 14 Well, thank you Maryland rate payers for taking care of
- 15 our good neighbors in Delaware.
- 16 These permits have already been approved. This
- is a formality this evening. And, respectfully, I think
- 18 everybody knows that. And if seven and a half years have
- 19 proven anything to me, that's the case tonight.
- 20 But if you look around the opposition is
- 21 growing. Ocean City stands together with Worcester

Maryland Department of the Environment

1/9/2025

- 1 County, Fenwick Island, Delaware, and over 20 co-
- 2 plaintiffs in our lawsuit against BOEM and the
- 3 questionable approval of this project. Questions are now
- 4 finally being raised state-wide about the viability and
- 5 the true cost benefit of this project. Are wind farms
- 6 really the answer to solving our energy problems and to
- 7 addressing clean energy? I think in final analysis the
- 8 answer will be no, and we'll all be left behind. Why
- 9 would we do that?
- 10 You can approve an air quality permit, but you
- 11 will not stop our opposition or the right of our local
- 12 government to represent our citizens. This has been a
- 13 bad project from the beginning, and you, the State, has
- 14 been bullied by US Wind, and we have been ignored by the
- 15 State. But this is about our quality of life and our
- 16 future, and we will not stand down. Again, we stand in
- 17 opposition and ask you to deny these permits. Thank you.
- 18 (Applause.)
- 19 MS. HEAFEY: Thank you. I'd like to call up
- 20 town administrator Terry McGean.
- 21 MR. MCGEAN: Good evening. My name is Terry

- 1 McGean, and I am the city manager for Ocean City,
- 2 Maryland. I'd also like to thank MDE for being here
- 3 tonight, and specifically for being here in Ocean City,
- 4 in Worcester County, and not someplace on the other side
- of the bridge talking to people who aren't affected by
- 6 this project. So we all, I think, appreciate that.
- 7 I am speaking in opposition to the approval of
- 8 all three US Wind air quality permits under discussion
- 9 tonight. The town of Ocean City has strongly expressed
- 10 our opposition to the US Wind project since it was first
- 11 presented to the public in 2017.
- 12 Our concerns have consistently fallen on deaf
- 13 ears, and instead US Wind and the State of Maryland have
- 14 made matters worse, doubling the size of the turbines,
- 15 doubling the number of turbines, and moving the turbines
- 16 closer to our shore.
- 17 The threats to our economy, our viewshed, our
- 18 property values, our fishing industry, and our ocean
- 19 environment, from this project are now well-documented.
- 20 Studies predict a minimum 12 percent loss in tourism
- 21 trips, and a 50 percent loss of vacation rentals. BOEM's

Maryland Department of the Environment

1/9/2025

- 1 own environment impact statement says the viewshed impact
- 2 in Ocean City will be major and change the character of
- 3 the area. To make way for their industrial turbine
- 4 maintenance facility, US Wind plans to displace the only
- 5 land port for Maryland's commercial fishing fleet. And,
- 6 finally, the federal government has approved US Wind's
- 7 COP without any thought, any mention, of how a
- 8 catastrophic blade failure, such as what just occurred in
- 9 New England, would be prevented, much less how it would
- 10 be cleaned up.
- Now US Wind comes asking for an air quality
- 12 permit for their so-called green energy project. And
- 13 once again our state ignores the concerns of the citizens
- 14 most impacted by the project and rubber stamps three more
- 15 permits.
- 16 These permits will allow US Wind to belch out
- 17 41,673 tons of greenhouse gases each year off our coast.
- 18 That's the equivalent to the emissions from 9,000
- 19 passenger cars. So imagine 9,000 cars sitting in our
- 20 ocean idling, driving around all year long. That's what
- 21 they're going to be doing.

Maryland Department of the Environment

1/9/2025

- The permit also allows US Wind to produce 616
- 2 tons -- not 100, 616 tons of nitrous oxide per year. As
- 3 mentioned, that's the equivalent of 56,000 cars driving
- 4 per year. As mentioned, nitrous oxide contributes to
- 5 smog and acid rain, and, most importantly, given this
- 6 project's location, is a known water pollutant causing
- 7 algae blooms.
- 8 Enough is enough. This project is bad for
- 9 Ocean City; it's bad for Worcester County, and it's bad
- 10 for the State of Maryland. Thank you.
- 11 (Applause.)
- MS. HEAFEY: Thank you. Mayor Magdeburger?
- MS. MAGDEBURGER: Rick, I'm your neighbor over
- 14 there in Delaware. I don't want that. I don't want that
- 15 -- the money.
- 16 I thank you for taking the comments tonight.
- 17 I've echoed comments of all the others that have spoken
- 18 before me, particularly my comments, and they're very
- 19 good and very direct.
- 20 I am the mayor of Fenwick Island, Delaware.
- 21 I'm your neighbor across the border. Fenwick Island is

Maryland Department of the Environment

1/9/2025

- 1 absolutely opposed to this for all the reasons that have
- 2 been stated. On the air quality issue, having that many
- 3 cars idling off our coast is not what we're looking to
- 4 have. I also noticed when I reviewed all the documents
- 5 there does not appear to be anything relating to
- 6 potential fires and the air quality if the equipment that
- 7 is on these turbines starts to burn. That, in this
- 8 environment, anybody who lives down here knows that we
- 9 are subject to lighting strikes in the ocean, and also
- 10 fires, and I think that that needs to be addressed.
- 11 Because if, in fact, that does occur -- and the
- 12 probability is likely -- then there's going to be air
- 13 quality issues that go beyond what you have analyzed. So
- 14 thank you very much.
- 15 (Applause.)
- MS. HEAFEY: Okay. Thank you, everyone, who
- 17 was able to come to speak. I'd like to invite the public
- 18 up now. And what I'm going to do is invite everyone in
- 19 groups of five. So when I call your name, if you want to
- 20 sit up here.
- 21 The first person is Linda Harrison. Let's see,

Maryland Department of the Environment

1/9/2025

- 1 Jim Strong, Ms. Grindrod, Shane Taylor, and then we have
- 2 Joe Jankowski. I think that's it for now. I think we
- 3 got five. I can't count.
- And, again, I won't be necessarily calling you
- 5 in the order in which you signed in, but we'll make sure
- 6 that everybody gets to speak.
- 7 And, I'm sorry, when you do speak, I want you
- 8 to state your name and spell it for the court reporters.
- 9 MR. JANKOWSKI: So I'm the lucky guy that
- 10 supports the wind turbines off of Ocean City. I'm
- 11 following all these great comments of the people -- or
- 12 with the officials here.
- MS. HEAFEY: Excuse me, sir.
- MR. JANKOWSKI: I'm sorry, my name is Joseph
- 15 Jankowski. That's J-a-n-k-o-w-s-k-i.
- MS. HEAFEY: Thank you.
- 17 MR. JANKOWSKI: I have to support your coming
- 18 out and trying to, you know, indicate your position with
- 19 regard to these. Being an engineer by training -- and
- 20 not a power engineer, a communications engineer -- I
- 21 always look toward facts about things. There's a lot of

Maryland Department of the Environment

1/9/2025

- 1 misinformation that's being talked about today,
- 2 unfortunately.
- 3 One of the things in the past was, well, you
- 4 know, when they're testing for these wind turbines,
- 5 they're killing all these whales. Well, US Wind and all
- 6 these companies are required to report any of that to the
- 7 government. And none was ever reported. So maybe that's
- 8 not exactly the truth about the matter, but when people
- 9 are talking about they're killing all these whales,
- 10 that's not exactly the truth, either.
- 11 One of the things that -- I've been thinking
- 12 about the viewshed for a long time here. You know, Okay,
- 13 wind turbines are a little closer now, but it looks like
- 14 -- if you look at the maps that were here at the
- 15 presentation several months ago, that it was only the
- 16 first three or four that are going to be about 10 miles
- 17 from the shore, and most of the others are going to be
- 18 further away, so harder to see.
- I know when I go out fishing and I come in, if
- 20 it's in the summertime and it's a little bit of a hazy
- 21 day, you know, I know if we keep going west we're going

Maryland Department of the Environment

1/9/2025

- 1 to run into land sooner or later. But I really -- like,
- 2 sometimes looking through the haze to see, I can see the
- 3 skyline of Ocean City. So are they really going to be
- 4 that visible from the land here? Well, probably. But
- 5 the other thing that impacts that is if there are -- if
- 6 you're looking at windmills, wind turbines -- and I've
- 7 been to Palm Desert in California, where they've got
- 8 thousands of them, if you're looking at them and you're
- 9 looking from the side, you can't even really tell whether
- 10 they're working or not. You have to sort of come around
- in front to see the blades going.
- 12 So why is that important? Well, what are the
- 13 prevailing winds here in Ocean City? Are they from the
- 14 west? The east? The north? South? As it turns out, I
- 15 looked that up at one point. They're from the south,
- 16 which means these wind turbines out there, you're going
- 17 to be looking at them from the side. You're not going to
- 18 be able to even see the blades going around very much.
- 19 It's probably going to look like a little stick out
- 20 there, and when the blade goes by it goes up in the air a
- 21 little bit more, and then it comes down when the blade

Maryland Department of the Environment

1/9/2025

- 1 swings by.
- 2 So that's what they're going to look like. So
- 3 is the viewshed really going to be terribly damaged by
- 4 wind turbines that are 10 miles offshore? Probably a
- 5 little bit. And I appreciate people bringing up that as
- 6 a concern. Is it going to destroy the people, you know,
- 7 coming out and wanting to come to Ocean City? Maybe. I
- 8 don't think it's going to drop things by 50 percent.
- 9 For one, I love to come to Ocean City. I come
- 10 here a lot. One of the things that concerns me is if you
- 11 get an extreme high tide here, some of the streets are
- 12 flooded. And if we're talking about sea level rise,
- 13 that's only going to get worse. And why are we talking
- 14 about sea level rise? Because we're producing so much
- 15 energy with natural gas, and coal and that, that's
- 16 putting all these greenhouse gases in the air, and it's
- 17 causing our climate to, you know, increase in
- 18 temperature. So that's a big negative impact.
- 19 Okay. They're going to take these boats out
- 20 and put these turbines in, and they're going to do this.
- 21 I don't see how all of that activity isn't more than

Maryland Department of the Environment

1/9/2025

- 1 offset by producing all the electricity with the current
- 2 coal and gas-fired plants in Maryland. They're producing
- 3 greenhouse gases that go in the air. Some of those
- 4 greenhouse gases turn into acid rain, which is falling
- 5 here in -- in this area. You look at the pH of the rain
- 6 in -- throughout Maryland, we're downwind from all these
- 7 power stations that are running on coal and gas. So we
- 8 get a lot of acid rain around here; typical to deal with.
- 9 I think that's really all I hope to say. I do
- 10 support the wind turbines, but I also understand all the
- 11 concerns that people here have. Thank you.
- 12 MS. HEAFEY: Thank you. Okay. So we don't
- 13 have Linda, I quess. Okay.
- 14 MR. STRONG: My name is Jim Strong. That's J-
- 15 i-m, S-t-r-o-n-q. Good evening. I want to thank the
- 16 Maryland Department of the Environment for your time and
- 17 effort for putting this public hearing together.
- 18 My name is Joe Strong. I'm the offshore wind
- 19 sector assistant to the international president of the
- 20 United Steelworkers of America. I'm a life-long resident
- 21 of Maryland and visit Ocean City quite frequently with my

Maryland Department of the Environment

1/9/2025

- 1 family for vacation.
- 2 My job as the offshore wind sector assistant is
- 3 I am the liaison between our union and US Wind. I work
- 4 with US Wind on state and federal policy, legislation. I
- 5 work with them with community outreach; work with the
- 6 workforce economic development staff of the counties and
- 7 the city. I work with the various training schools, high
- 8 school outreach, to recruit future employment, and I'm
- 9 also charged with the responsibility of putting together
- 10 an apprenticeship program working with the Catonsville
- 11 Community Colleges of Baltimore County.
- 12 A little history: In 2009, the Maryland
- 13 General Assembly passed legislation that was referred to
- 14 as the Greenhouse Gas Reduction Act. Our union was a
- 15 major stakeholder in drafting that legislation and
- 16 supporting it for its passage. It basically was a
- 17 guideline to help Maryland reduce its carbon footprint,
- 18 but at the same time making sure that as we do that we
- 19 create economic improvements for the State of Maryland.
- 20 US Wind does both of those. Let me just talk
- 21 about the economic development. When, in 2021, US Wind

- 1 made that major announcement down at Tradepoint Atlantic
- of its plans to build a monopile tower production
- 3 facility at what used to be the home of Bethlehem Steel,
- 4 part of that announcement was our partnership that those
- 5 workers returning there would be steel workers at full
- 6 capacity. It's expected there will be over 550 employees
- 7 there.
- 8 Now, that's not the only jobs that we're
- 9 talking about. There's actually the construction of the
- 10 facility. There's construction of the turbines once
- 11 they're going to be installed, which will create
- 12 thousands of jobs to my brothers and sisters in the
- 13 trades. It's also attracting secondary jobs to the
- 14 state. Hellenic Cable, a company that wants to make
- 15 cables to connect to the grid, has purchased land right
- 16 across the Patapsco River from the site of US Wind, where
- 17 they've announced they're going to hire beginning around
- 18 150 employees. So there are jobs that are tied into this
- 19 project. So there's an economic plus to this US Wind
- 20 development.
- 21 But on the greenhouse gas reductions, here's

Maryland Department of the Environment

1/9/2025

- 1 what I can tell you: That at a full buildout, the
- 2 project could result in a net 139 million ton reduction
- 3 of CO2 emissions, and will produce net clean energy after
- 4 one and a half months of operations. Over its life span,
- 5 the project is expected to reduce nitrogen oxide by over
- 6 60,000 tons; sulfur dioxide by 104,000 tons, and
- 7 particulate matter by 12,000 tons.
- 8 This project fits in line with the 2009
- 9 Greenhouse Gas Reduction Act, and we would ask MDE to
- 10 support US Wind's application. Thank you.
- MS. HEAFEY: State your name.
- MS. GRINDROD: Jacky Grindrod, Jacky, J-a-c-k-
- 13 y, and then G-r-i-n-d-r-o-d. Okay. I'm Jacky Grindrod.
- 14 I live in Berlin; great lover of Assateague Island. And
- 15 I'm here tonight in support of US Wind because honestly I
- 16 don't really think we have another rational choice. We
- 17 don't want wind turbines, nobody wants a wind turbine.
- 18 Nobody does this for fun. But we're at a tipping point
- 19 now, and anyone who wants to can see what's going on.
- 20 North Carolina, Florida, California, Texas, Vermont, we
- 21 aren't going to be immune to this. We are not going to

Maryland Department of the Environment

1/9/2025

- 1 escape this in Worcester County, or across this wonderful
- 2 peninsula.
- 3 So we have to make some hard choices. And
- 4 actually all we can really do right now is mitigate the
- 5 damage, make it less horrible than it would otherwise be.
- 6 I think we have to think ahead, not only to ourselves,
- 7 but to our children and grandchildren. This is bigger
- 8 than Ocean City, unfortunately. It's bigger than
- 9 Worcester County.
- So, yes, I do support US Wind. I believe the
- 11 Maryland Department of Environment has done a wonderful
- 12 job in vetting them. I believe US Wind is doing
- 13 everything it possibly can to make the impacts of this as
- 14 minimal as possible because of the necessity for getting
- 15 clean energy into Maryland and the rest of the country.
- 16 And I hope that the opposition can be brought to the
- 17 table and that this can be worked out in a rational way.
- 18 Thank you.
- MS. HEAFEY: State your name.
- 20 MR. TAYLOR: Hello. My name is Shane Taylor,
- 21 S-h-a-n-e, T-a-y-l-o-r. And I'm with the Oceantic

Maryland Department of the Environment

1/9/2025

- 1 Network. I'd like to start by thanking the Department of
- 2 the Environment for hosting this hearing tonight,
- 3 allowing people from both sides of support and opposition
- 4 to speak regarding the air quality permit.
- 5 So a little bit of background on our
- 6 organization. Nearly 15 years ago, Maryland businesses
- 7 founded the Business Network for Offshore Wind, which
- 8 works towards achieving the vision of a thriving ocean of
- 9 renewables industry by building a robust supply chain of
- 10 local companies. And now as the Oceantic Network we've
- 11 expanded past just Maryland to national and international
- 12 supply chain focus.
- 13 And then a little bit of context that I'd like
- 14 to add for the record. When Orsted withdrew from its
- 15 Skipjack Wind project, US Wind applied to absorb their
- 16 offshore renewable energy credits, increasing the total
- 17 capacity of the project for which this air quality permit
- 18 is being sought to 600 megawatts. And this represents a
- 19 significant portion of the 8.5 by 2031 -- or 8.5 gigawatt
- 20 by 2031 goal set by the Power Act. And, additionally,
- 21 the project comes with a commitment to create 6,200 jobs

Maryland Department of the Environment

1/9/2025

- 1 across its four phases. These are both primary jobs
- 2 through US Wind and secondary jobs, as Mr. Strong
- 3 mentioned, through the Hellenic Cables array facility and
- 4 the Sparrows Point steel facility. And our support for
- 5 this project is tied to our excitement for those two
- 6 significant investments in the supply chain. The \$90
- 7 million investment in Hellenic Cables array cable
- 8 facility, which will be the first of its kind in the
- 9 nation, and Sparrows Point steel will be the second
- 10 monopile and first tower facility in the US.
- 11 And as Mr. Strong mentioned, this facility will
- 12 created hundreds of unionized jobs due to the MOU that US
- 13 Wind has established with both the United Steel Workers
- 14 and the Baltimore/D.C. building and construction trades.
- 15 The US Wind's project meets coastal zone management
- 16 standards and importantly will cause little to no
- 17 detriment to the environment. US Wind conducted air
- 18 quality modeling analyses for all phases of the project,
- 19 concluding that the project will meet all federal and
- 20 state air quality standards. And it's our understanding
- 21 that the project will achieve significant emission

Maryland Department of the Environment

1/9/2025

- 1 reductions over its lifetime due to the displacement of
- 2 fossil fuel generation, resulting in improved air quality
- 3 in Ocean City and the surrounding regions.
- 4 And to ensure compliance with this permit, US
- 5 Wind will be required to perform extensive, ongoing
- 6 rigorous emission monitoring and recordkeeping. It is
- 7 for these reasons that we as an organization, and myself
- 8 as an environmental policy student with family in the
- 9 region, urge that US Wind's permit be approved. Thank
- 10 you.
- 11 MS. HEAFEY: Okay. The next folks I have are
- 12 Earl Gwin, Charles Stegman, Jen Pawloski, John Groutt,
- 13 and Kim Quillin.
- MS. QUILLIN: Hi, I'm Kim Quillin. That's K-i-
- m, Q-u-i-l-i-n. I am a biology professor at Salisbury
- 16 University, but I'm here just representing myself as a
- 17 resident of the coastal bays.
- 18 I've reviewed US Wind's air quality permit
- 19 application through the lens of my work setting, the
- 20 current biodiversity and climate crises. We humans are
- 21 causing five major types of threats to biodiversity. We

Maryland Department of the Environment

1/9/2025

- 1 can see all five types right here in Ocean City. We see
- 2 habitat destruction and degradation, invasive species,
- 3 new diseases, over-exploitation, pollution, and climate
- 4 change.
- 5 I mention that because I think it bears
- 6 mentioning the context with which this permit is being
- 7 viewed, the past harm that occurs right here where we are
- 8 standing.
- 9 Today's hearing on US Wind's air quality permit
- 10 addresses the latter two threats. I have two major
- 11 takeaways from my review of the permit application.
- 12 First, I'm very impressed with the high bar of
- 13 accountability that the EPA and MDE have set with the
- 14 permit applicants, and I thank you for these high
- 15 standards for both the construction and commissioning
- 16 phase, and for the operations and maintenance phase of
- 17 the wind project, including, as you have heard, the
- 18 ongoing recordkeeping and reporting.
- 19 Second, while my default position from a
- 20 biological perspective is to be very wary of industrial
- 21 proposals, the takeaway from this application is

Maryland Department of the Environment

1/9/2025

- 1 overwhelmingly positive. Yes, there will be emissions
- 2 during the construction and operation of the project.
- 3 But the wind turbines will enable a net reduction of
- 4 greenhouse gases and particulate matter. That's the
- 5 point of the project. We are avoiding -- one number I
- 6 see is 139 million tons of carbon.
- 7 So I see comparison of these numbers compared
- 8 to zero. So there's emissions; oh, no, they're higher
- 9 than zero, but really we need to compare them to fossil
- 10 fuels, which are, as we've heard earlier, really the
- 11 beast in the room that we're trying to address.
- 12 To get my head around this number, I used EPA
- 13 greenhouse gas equivalencies calculator online -- check
- 14 it out; super cool -- to say if we stuck with the high
- 15 pollution fossil fuel status quo instead of turbines, we
- 16 have to plant about 77 million trees to compensate for
- 17 the carbon release, and this wouldn't even address
- 18 habitat destruction by the extraction of fossil fuels and
- 19 the increased morbidity and mortality of people who live
- 20 near these plants.
- 21 So we have to look at the big picture. This is

Maryland Department of the Environment

1/9/2025

- 1 displacing a very destructive practice regarding fossil
- 2 fuels. So I strongly support your approval of US Wind's
- 3 air quality application. And I just want to say on the
- 4 PR side, firstly to the ladies and gentlemen who
- 5 represent me who spoke earlier, you do not represent my
- 6 views. And I think there is increasing dissonance on
- 7 this topic. It's an interesting PR strategy to stir up
- 8 upset about the issue. So more and more people are
- 9 getting concerned because of the stirring up of concern.
- 10 I would like to propose an alternate PR
- 11 strategy. This PR strategy would be stir up excitement.
- 12 I work with young people, young adults, who are
- 13 depressed. The mental illness is intense. Part of this
- 14 is climate anxiety. People like my students and me, we
- 15 vote with our dollars. We look for who is providing
- 16 solutions to these major global crises. And we vote with
- 17 our dollars to go towards places that are part of
- 18 solutions.
- 19 So imagine a PR strategy that said, come enjoy
- 20 the wind-powered energy here at Ocean City. You know,
- 21 it's free. Come enjoy dropping off your children at

Maryland Department of the Environment

1/9/2025

- 1 school that's using green energy. Be happy when you turn
- 2 on the kitchen lights. I'm a constituent I would like to
- 3 turn on my lights and have that electricity be provided
- 4 by green energy. Thank you.
- 5 (Applause.)
- 6 MR. GWIN: Thank you. My name's Earl Gwin, E-
- 7 a-r-l-, G-w-i-n. I go by Sonny Gwin, everybody knows me
- 8 by Sonny Gwin. I'm president of the Waterman's
- 9 Association of Worcester County. I'm here representing
- 10 the local watermen. We also -- in addition, I own a
- 11 commercial fishing business in West Ocean City, as well
- 12 as a seafood retail business that sells fresh seafood
- 13 that is packed through the harbor in West Ocean City.
- I am not only speaking to you as a president of
- 15 the Watermen's Association, but as a concerned citizen.
- 16 I'm going to tell you this, the week before Christmas, my
- 17 vessel, the Skilligalee, fished that week. We figured we
- 18 fed at least 10,000 people off the fish I caught off my
- 19 boat.
- I fish -- 100 percent of my fishery is in the
- 21 -- in and around the wind leased area. And if this

Maryland Department of the Environment

1/9/2025

- 1 project goes through, we're out of business. That's
- 2 10,000 people in one week that we fed, and none of these
- 3 people that's speaking here today can say that, you know,
- 4 this wind power is going to feed them. It might be
- 5 giving them good jobs, but at what cost is it giving
- 6 these good jobs? It's going to go out there and destroy
- 7 the -- destroy the environment. They're putting this
- 8 wind-leased area in one of the most diverse areas, the
- 9 first, second, third lump, where any kind of species you
- 10 can name, including our beloved blue crabs, go out there
- 11 and bed down in the wintertime.
- 12 I'm asking you to not give this permit out and
- 13 let us go to work and keep these windmills out of here.
- 14 Thank you very much.
- 15 (Applause.)
- MS. PAWOLOSKI: Hi, my name is Jen Pawloski, J-
- 17 e-n, P-a-w-l-o-s-k-i. I am here as a resident of the
- 18 Eastern Shore, and I also run a boat club that operates
- in the waters of Ocean City and in the lease area.
- 20 My comments today are directed specifically at
- 21 the air quality permit. I echo the sentiments of our

Maryland Department of the Environment

1/9/2025

- 1 elected officials regarding concerns for our environment,
- 2 marine life, the commercial fisheries, and our tourism
- 3 industry.
- 4 When US Wind's Maryland offshore wind project,
- 5 outer continental shelf air permit application filed in
- 6 November of 2023 by US Wind under Section 2.1 OCS sources
- 7 page 17 cites, U.S. EPA's implementing OCS air
- 8 regulations at 40 CFR Part 55 about the statutory
- 9 definition of an OCS source from Section 328(a)(f)(c) of
- 10 the Clean Air Act. Any equipment, activity, or facility
- 11 which emits, or has the potential to emit, any air
- 12 pollutant is regulated or authorized under the Outer
- 13 Continental Shelf Lands Act, and is located on the Outer
- 14 Continental Shelf or in the waters above the Outer
- 15 Continental Shelf.
- 16 Regulations at 40 CFR Part 55 state that
- 17 vessels are only considered OCS sources when they are
- 18 permanently or temporarily attached to the seabed and
- 19 erected thereon, and used for purposes of exploring,
- 20 developing, or producing sources therefrom within the
- 21 meaning of Section 4(a)(1) of the OCSLA 43 USC Part 1331,

Maryland Department of the Environment

1/9/2025

- 1 or physically attached to the OCS facility, in which the
- 2 case, the stationary source's aspects and the vehicle
- 3 will be regulated.
- 4 In accordance with the Environmental Appeals
- 5 Board decision, In re: Shell Gulf of Mexico, Inc., and In
- 6 re: Shell Offshore, 15 EAD 193, the potential emissions
- 7 of an OCS source must also include emissions from the
- 8 associated support vessels when they are within 25
- 9 nautical miles of the outer continental shelf source, but
- 10 only during the time that it is considered an OCS source.
- 11 During US Wind's final addendum in November of
- 12 2024, it stated, and I quote, "US Wind has provided
- 13 vessel specification literature for sample vessels
- 14 utilizing emissions calculations in attachment A. Sample
- 15 vessel specifications currently built vessels used for
- 16 constructing OCS wind facilities that may be used for the
- 17 project, or closely representative of the type of vessel
- 18 anticipated to be used for the project. These
- 19 specifications provide typical vessel engine sizes for a
- 20 vessel and for the types of vessels that are anticipated
- 21 to be utilized."

Maryland Department of the Environment

1/9/2025

- 1 This statement I believe to be inaccurate, as
- 2 US Wind's application fails to address a safe water
- 3 vessel to bring the permit and the project into
- 4 compliance with the Jones Act. From US Wind's own
- 5 Mariner's page, a documented vessel DMMSI Number
- 6 993672393, a 419-foot vessel, safe water vessel, that has
- 7 been anchored off the end of the Delaware Bay shipping
- 8 channel, and at the Maryland-Delaware line on the edge of
- 9 the US Wind OCS-A 0490 lease area, the Delaware-Ocean
- 10 City, Maryland line since at least December of 2024.
- 11 I have screenshots here, and I will supply
- 12 those to you documented for multiple AIS trackers on US
- 13 Wind's Mariner's section of their website, as well as the
- 14 Atlantic Shores offshore wind project website, and marine
- 15 traffic, the ship's position over the last several weeks.
- 16 During US Wind's subsequent addendums filed in January,
- 17 September, and November of 2024, US Wind has not
- 18 documented any indications that they have accounted for a
- 19 safe water vessel classification, nor the pollution that
- 20 the vessel emits over the course of this project.
- 21 For this reason, and the reasons that our

Maryland Department of the Environment

1/9/2025

- 1 elected officials have supplied tonight, I urge the
- 2 Maryland Department of the Environment to deny US Wind's
- 3 OCS air permit.
- 4 (Applause.)
- 5 MR. STEGMAN: My name is Charles Stegman.
- 6 That's Charles, C-h-a-r-l-e-s, Stegman, S-t-e-g-m-a-n.
- 7 I'm a medical doctor with a 45-year career in family
- 8 practice and public health. I live in Wicomico County.
- 9 I'm here to testify in favor of permitting by the
- 10 Maryland Department of the Environment concerning the
- 11 outer continental shelf air regulations.
- 12 The benefits of offshore wind with respect to
- 13 converting Maryland's electric power grid away from
- 14 polluting fossil fuels to renewable energy are well
- 15 documented. The US Wind project will provide 1,710
- 16 megawatts of wind energy to the state, enough to power
- 17 approximately 700,000 homes.
- 18 The project will increase the share of
- 19 Maryland's wind energy production from 1.3 percent to 20
- 20 percent, and reduce the state's CO2 emissions by 14
- 21 million tons in the first 20 years of operation. Other

Maryland Department of the Environment

1/9/2025

- 1 pollutants, such as nitrous oxide, sulfur dioxide, and
- 2 particulate matter, are also greatly reduced.
- 3 By facilitating Maryland's transition from
- 4 fossil fuels to clean, renewable energy sources, we
- 5 reduce the release of harmful pollutants into the air.
- 6 These pollutants trigger health conditions such as asthma
- 7 attacks, emphysema symptoms, and other lung and heart
- 8 conditions.
- 9 Reducing greenhouse gas emissions also helps
- 10 mitigate climate change. Climate change leads to more
- 11 extreme weather events, heat waves, and increased air
- 12 pollution, all of which impact public health.
- 13 With the transition to renewable energy sources
- 14 such as offshore wind, we can expect reduced health care
- 15 costs associated with treating lung conditions and
- 16 enhanced quality of life for everyone, especially people
- 17 with these conditions.
- 18 I followed the issue of offshore wind for the
- 19 past four to five years, and noted that much of the
- 20 opposition to this project is based on the belief that
- 21 having wind turbines offshore will have a negative impact

Maryland Department of the Environment

1/9/2025

- 1 on tourism and the commercial and charter fishing
- 2 industries. I have scoured the literature and have been
- 3 unable to find any evidence to support these arguments
- 4 faced in other communities with offshore wind facilities,
- 5 such as in Massachusetts, Rhode Island, and several
- 6 countries in Europe.
- 7 Tourism has increased in these communities, and
- 8 fishing has improved because of the reef effect of wind
- 9 turbine pilings. The real threat to the beach tourism
- 10 industry, and fishing industries, is the climate crisis,
- 11 which is causing rising seas, warming oceans, and more
- 12 frequent and severe storms that threaten beach
- 13 communities and businesses. The year that just ended was
- 14 the hottest in the recorded history.
- 15 Companies in the U.S. have built more than 153
- 16 gigawatts of wind power capacity in Texas, Iowa,
- 17 Oklahoma, Kansas, South Dakota, and Indiana. In
- 18 addition, 24 gigawatts of wind farms is currently under
- 19 development with major projects planned for Wyoming,
- 20 Montana, North Dakota, Oklahoma, and Texas, according to
- 21 the American Clean Power Association.

Maryland Department of the Environment

1/9/2025

- 1 These projects, as well as the one here in
- Ocean City, will all help keep us within safe limits of
- 3 global warming, as well as cleaner air, and healthier
- 4 air. Thank you.
- 5 MS. HEAFEY: State your name for the record,
- 6 please.
- 7 MR. GROUTT: My name is John Groutt, J-o-h-n,
- 8 G-r-o-u-t-t. And I live nearby on the Eastern Shore of
- 9 Maryland for over 50 years, and I'm a constituent of some
- 10 of the representatives who've spoken today, with whom I
- 11 respectfully disagree.
- 12 Most of us here tonight -- like most of us here
- 13 tonight, I've read many of the relevant documents and
- 14 attended many, if not most, of the past hearings. We've
- 15 all listened to the positions and facts presented by all
- 16 sides.
- One of the things that I would respectfully --
- 18 just one question of the Mayor on, he talked about the
- 19 fast track, but then he also talked he spoke seven and a
- 20 half years ago at this. And I -- I just wonder how seven
- 21 and a half years can be considered a fast track, but

Maryland Department of the Environment

1/9/2025

- 1 that's a question.
- 2 But after some long thinking about this
- 3 project, I believe that the air quality modeling analysis
- 4 of the project is a fair decision, and I support it. It
- 5 includes at every phase of the project, from
- 6 construction, vessel use, operations and maintenance,
- 7 will all be federal and state quality standards, which
- 8 have been mentioned are quite high.
- 9 In fact, it was pled, as we know, fossil fuels
- 10 currently producing the energy which is not even going to
- 11 come close to meeting those standards. And as some of
- 12 the earlier speakers spoke, the large amount considerably
- 13 of the -- the emissions that this project will permit --
- 14 or emit -- will be reduced by this project. So the fact
- 15 that it produces, it does -- emissions -- but this will
- 16 reduce it. And so I think that should weigh heavily into
- 17 our considerations.
- 18 Compliance with the required standards will be
- 19 assured by monitoring emissions and requiring records to
- 20 document compliance with air quality standards.
- 21 Noncompliance will result in huge fines.

Maryland Department of the Environment

1/9/2025

- 1 Now, most of us here tonight -- probably all of
- 2 us -- value clean air and water. We don't disagree on
- 3 that, as well as the moderate and generally pleasant
- 4 climate that we have experienced over most of our lives.
- 5 One of the alternatives is what we are watching on the
- 6 nightly news from California. Do we want air quality
- 7 produced by uncontrollable forest fires here in Delmarva,
- 8 that will be our future if we don't -- do not get climate
- 9 warming, climate heating, under control.
- 10 This new undertaking using energy from non-
- 11 polluting sources will support all those human blessings
- 12 that we love, including clean air, our topic for tonight.
- 13 Naturally occurring wind energy will replace our current
- 14 burning of dead dinosaurs.
- 15 It's already been mentioned by earlier
- 16 speakers, and I won't repeat, the wind will reduce
- 17 polluting CO2 emissions, net clean energy after a year --
- 18 after a year -- after only one and a half months will
- 19 catch up; over its life span of 25 years, will reduce
- 20 thousands of tons of sulfur dioxide, wreaking like rotten
- 21 eggs, thousands of tons of particulate matter -- we like

Maryland Department of the Environment

1/9/2025

- 1 to think soot. That's a lot of nasty stuff, material
- 2 that our eight million visitors that have been mentioned,
- 3 come to the beach will not have to breathe into their
- 4 filters through our lungs, and incidentally live with the
- 5 rest of our lives.
- 6 If we pick this, we will -- if we adopt this
- 7 and build the wind power, we will be spared unnecessary
- 8 and all too frequently major health issues, which has
- 9 been mentioned by Dr. Stegman, along with a healthier
- 10 life not cut short by invisible tons of poisons that this
- 11 project will eliminate during our lifetime. Thank you.
- 12 MS. HEAFEY: Is there anybody else who had
- 13 signed up that I might have missed who would like to make
- 14 a statement?
- 15 Please come up.
- 16 MS. BASSICH: Hi, there. Thank you for being
- 17 here and listening to our comments today. My name is
- 18 Kimberly, K-i-m-b-e-r-l-y, Bassich, B-a-s-s-i-c-h. I'm a
- 19 year-round resident of Ocdean City, and I am very
- 20 strongly opposed to this project. I agree with Mayor
- 21 Meehan, a lot of what he said earlier, and also Ms.

Maryland Department of the Environment

1/9/2025

- 1 Carozza.
- 2 Anyway, so I've been -- when I found out about
- 3 this hearing -- and I've been to many of them -- that US
- 4 Wind, whose green energy needed to apply for an air
- 5 quality permit, that sounds a little crazy to me. I'm
- 6 not -- I'm an R.N., I'm not a scientific person, but I
- 7 looked into some research on this. And these turbines
- 8 that they can create reduce energy air plumes, which
- 9 increase the ozone layer in nearby urban areas.
- 10 So the upper air, when the turbine spins, these
- 11 plumes I'm talking about come from the air that goes down
- 12 into the ocean -- goes down, not the upper air. Anyway,
- 13 how will this be in compliance with the EPA's ozone
- 14 standard? The EPA should be required to investigate the
- 15 potential impact on reduced energy air on ozone
- 16 compliance.
- Wind turbines are being built to reduce carbon
- 18 emissions, but, in fact, due to the intermittent wind
- 19 speeds, the turbines require backup gas-fired power
- 20 emissions to increase when the wind is not blowing. How
- 21 is this green energy?

Maryland Department of the Environment

1/9/2025

- 1 There's a little chemical that I did some
- 2 research on also today. It's called sulfur hexoflouride.
- 3 Sulfur hexofluoride, also called FF-6, is used in wind
- 4 turbines, not directly in the turbine, but in the switch
- 5 gear that controls electricity generated by the turbine,
- 6 and has a global warming potential greater than carbon
- 7 dioxide.
- 8 And that is all the research I could do today.
- 9 But I thank you for listening to me, and I am strongly
- 10 opposed to these turbines, and I hope you deny this
- 11 permit. Thank you.
- 12 (Applause.)
- 13 MS. HEAFEY: Okay. So I want to thank
- 14 everybody for coming out tonight. I want to remind
- 15 everyone that the comment period goes through January
- 16 14th. If you would like to read or amend your statement,
- 17 or send in a statement, just send an email to my
- 18 attention. And my business card is out on the sign-in
- 19 tables, and it has my email address on it, or my phone
- 20 number if you wanted to give a call.
- So, again, thank you so much for coming out in

Maryland Department of the Environment

1/9/2025

```
this freezing cold weather. Safe home, everybody.
 1
                                                            Thank
 2
     you.
 3
                (Applause.)
                (Whereupon, the hearing was concluded at 7:37
 4
 5
     p.m.)
 6
 7
 8
 9
10
11
12
13
14
15
16
17
18
19
20
21
```

Public Hearing Maryland Department of the Environment

1/9/2025

1	CERTIFICATE OF COURT REPORTER
2	
3	I, George Quade, do hereby certify that the
4	foregoing transcription was reduced to typewriting via
5	audiotapes recorded by me; that I am neither counsel for,
6	nor related to, nor employed by any of the parties to the
7	case in which these proceedings were transcribed; that I
8	am not a relative or employee of any attorney or counsel
9	employed by the parties hereto, nor financially or
10	otherwise interested in the outcome of the action.
11	
12	
13	
14	1 .
15	Greay Quale
16	GEORGE QUADE, CERT
17	Court Reporter
18	
19	
20	
21	



Fwd: Offshore Wind Air Quality Permit US Wind

1 message

Carol Frazier < carol.frazier54@gmail.com>

Fri, Jun 21, 2024 at 3:15 PM

To: "shannon.heafey@maryland.gov" <shannon.heafey@maryland.gov>

1 cross + 3 nails = 4 given. God is good, always.

Carol Frazier

----- Forwarded message ------

From: Carol Frazier <carol.frazier54@gmail.com>

Date: Fri, Jun 21, 2024 at 2:46 PM

Subject: Offshore Wind Air Quality Permit US Wind

To: shannon.heafey@maryland.gov <shannon.heafey@maryland.gov>

I accidentally hit "send" earlier - this is the completed email.

Ms. Healey:

I was in attendance and commented at the Public Information Meeting in Ocean City on June 13th.

I have attended several other such meetings (and Congressional Hearings) in both Maryland and Delaware. I have educated myself on this issue and have written many letters to editors as well as columns for local papers.

One issue that has constantly amazed and concerned me is this:

You are the MARYLAND Dept. of the Environment, and, as such, you are paid by and work for the citizens and taxpayers of Maryland. Not Gov. Moore, not President Biden, not the EPA, and certainly not US Wind. Am I correct?

That said, I have a hard time understanding why the MARYLAND Dept. of the Environment, as well as BOEM and NOAA (Federal Agencies which are, again, paid by and responsible to American citizens and taxpayers), are rushing headlong into offshore wind farms, which, to my knowledge, have never been constructed in hurricane zones. In addition, US Wind has no experience to speak of in the construction of offshore wind farms. At least, no experience about which it can boast.

So, the Maryland coast, including Ocean City, Worcester County and Assategue Island, is being turned over to a novice. We are the guinea pig, so to speak.

Another issue that should be of great concern to the MARYLAND Dept. of the Environment, as well as the Governor, is that Offshore Wind Farms have never been constructed in hurricane zones. We saw just a few months ago that wind turbines do not stand up well to tornado-force winds, the speed of which can be less than hurricane winds, and are certainly of less duration.

The State of Maryland needs to call a halt to this activity until proper studies have been completed. It is simply wrong for the State of Maryland and the U.S. government to rely on assurances from an inexperienced foreign owned company.

Thank you for your attention.

Carol Frazier 64 Bramblewood Drive, Ocean Pines, MD 21811 410-430-4456 carol.frazier54@gmail.com



OCMD Wind Project Public Comment

1 message

Chris Reese <chris@revolvesolutions.com>
To: "shannon.heafey@maryland.gov" <shannon.heafey@maryland.gov>

Sat, Jan 18, 2025 at 4:43 PM

Good day.

I am writing to express my opposition to the wind farm off the coast of Ocean City, Maryland. I do not support the wind farm as I understand it today. Although I personally support alternative energy initiatives, I believe that the plan for the OCMD wind farm is detrimental to the environment and the economy of the region.

As a homeowner in Ocean City, I do not support the wind farm initiative.

Regards,

Chris Reese

703-517-7761



Mario Cora -MDE- <mario.cora@maryland.gov>

Attn: Shannon Heafey - Delegate Hartman Written Comments - Notice of Scheduled Public Hearing for Maryland Offshore Wind Project

1 message

Hartman, Wayne Delegate <Wayne.Hartman@house.state.md.us>

Wed, Jan 8, 2025 at 5:37 PM

To: Shannon Heafey -MDE- <shannon.heafey@maryland.gov>

Cc: Mario Cora <mario.cora@maryland.gov>, Suna Sariscak -MDE- <suna.sariscak@maryland.gov>

Good evening Ms. Heafey,

Please see the attached written comments from Delegate Hartman on the air quality permit applications from US Wind, Inc. for the Maryland Offshore Wind Project.

Let us know if you have any questions at all.

Respectfully,

Will Smith

Legislative Aide

Delegate Wayne Hartman

District 38C

Worcester & Wicomico Counties

6 Bladen Street Suite 213

Annapolis, MD. 21401

Annapolis Office 410-841-3356

Fax: 410-841-3098

Wayne.Hartman@house.state.md.us

From: Shannon Heafey -MDE- <shannon.heafey@maryland.gov>

Sent: Thursday, December 5, 2024 9:38 AM

To: Hartman, Wayne Delegate < Wayne. Hartman@house.state.md.us>

Cc: Mario Cora <mario.cora@maryland.gov>; Suna Sariscak -MDE- <suna.sariscak@maryland.gov>

Subject: Notice of Scheduled Public Hearing for Maryland Offshore Wind Project

2/14/25, 10:06 AM	State of Maryland Mail - Attn: Shannon Heafey - Delegate Hartman Written Comments - Notice of Scheduled Public Hearing for M
Dear Delegate	Hartman:

On behalf of Deputy Air Director Angelo Bianca, please find attached a letter and Notice of a Scheduled Public Hearing for the U.S. Wind Maryland Offshore Wind Project.

Regards,

Shannon Heafey

Shannon Heafey Public Participation Coordinator
Air Quality Permits Program, Air and Radiation Administration
Maryland Department of the Environment
1800 Washington Boulevard, Baltimore, Maryland 21230
shannon.heafey@maryland.gov
410-537-4433

>

MDE Air and Radiation Administration - US Wind Air Quality Permit Application - Delegate Hartman.pdf 295K

WAYNE HARTMAN

Legislative District 38C
Worcester and Wicomico Counties

CHIEF DEPUTY MINORITY WHIP

Ways and Means Committee

Subcommittees
Racing and Gaming

Revenues



The Maryland House of Delegates
6 Bladen Street, Room 213
Annapolis, Maryland 21401
410-841-3356 · 301-858-3356
800-492-7122 Ext. 3356
Fax 410-841-3273 · 301-858-3273
Wayne.Hartman@house.state.md.us

THE MARYLAND HOUSE OF DELEGATES ANNAPOLIS, MARYLAND 21401

Ms. Shannon Heafey Maryland Department of the Environment Air and Radiation Administration 1800 Washington Boulevard Baltimore, Maryland 21230

RE: ARA Premises No. 047-0248

January 6, 2025

Dear Ms. Heafey,

I am writing you to respectfully submit comments on the air quality permit applications submitted by US Wind, Inc. for the proposed Maryland Offshore Wind Project.

The implementation of offshore wind turbines continues to be a significant cause for concern to the residents and property owners of Ocean City and Worcester County, Maryland. I along with many others have consistently raised these concerns regarding the negative environmental, economic, and visual impacts that will come from the industrialization of the Atlantic Ocean. The development of offshore wind turbines will cause irreversible damage to our local ecosystems, interfere with the bio-sonar capabilities and migratory patterns of wildlife, and bring harm to our local fishing and tourism economies.

Local environments along Maryland's coastline, both in the ocean and the air, now face serious endangerment with the construction and maintenance of 121 offshore wind turbines. The approval of these air quality permits will allow US Wind to produce 41,673 tons of CO2 per year during their first three years of construction and operations. Within this same time frame, they will also be granted permission to discharge 616 tons of Nitrous Oxide per year which is equivalent to the amount emitted by 56,000 cars. Nitrous Oxide is known to contribute to smog and acid rain, which can eventually lead to elevated levels of nutrient pollution in our waterways and the emanation of algae blooms. Additionally, there is no certainty that the volume of clean energy generated by these turbines will offset the amount of carbon emissions produced during their construction and operations.

Maryland Department of the Environment Air and Radiation Administration ARA Premises No. 047-0248

We as a State should not industrialize the Atlantic Ocean and diminish our air quality to collect wind energy. I firmly believe that we should explore other forms of technology to harvest clean energy to fuel our grid in ways that are economically and environmentally sound. For all of these reasons, I remain strongly opposed to any offshore wind development in the Atlantic Ocean.

Thank you for your time and consideration. Please do not hesitate to contact me at wayne.hartman@house.state.md.us or call 410-841-3356 if you would like to discuss this further.

Sincerely,

Delegate Wayne Hartman

District 38C

Worcester & Wicomico Counties



Air Quality Permit for US Wind

1 message

Dianna Harris <diannaharris@me.com>
To: Shannon Heafey -Mde- <shannon.heafey@maryland.gov>

Wed, Jun 19, 2024 at 4:35 PM

Ms. Heafey,

As promised below are articles with regard to poor air quality around wind turbines as well as other pertinent topics. I have also added some information on the very dangerous CF6 used in the turbines, it escapes more often than people think. If you read all of these documents you will notice, these turbines need attention every day — imagine what all those diesel powered boat trips will do to our environment.

I understand the Governors desire to "push" this "green energy" but it is not "green" and as a person with some say in the future of Maryland's environment, the future for our children and grandchildren, I beseech you to listen to "the other side." I'd like you to consider the following: if the VA project can alter air at 27 miles off the coast, what will happen 10 miles off?

Ms, Heafey, this project has changed significantly since its inception and sadly this federal administration's desire to industrialize our ocean are superseding NEPA laws requiring a new Environmental Impact Study. Getting this wrong is irreversible. Saving our last undeveloped treasure for future generations is of paramount importance; most especially because we understand, and US Wind states in its own documents, this project will have no positive effect on climate change. As you will learn from below, quite the opposite is true.

Although unrelated to air quality, the State should also take into consideration the lack of experience of those involved in building this project. As I said at the hearing, Block Island would not be my proudest moment, if I were Mr. Grybowski. Mr. Dunmeyer may have some environmental experience, but admits to no experience, what so ever, in this type of industrial size development and Mr. Wilson, who the company had tell us to "listen to the science," is an ex commercial fishing deckhand.

Please, please, all we are asking for is for you not to rush this project. We need complete and independent review of what is happening in and around the current projects. Doesn't Maryland deserve that?

I thank you in advance for your consideration of this information.

Dianna Harris Founder, Protect our Coast Delmarva 410-725-6848

https://www.baconsrebellion.com/wp/epa-asked-to-rule-on-cvow-air-quality-impacts/#:~:text=The%20Virginia% 20offshore%20wind%20facility,flourishes%20in%20low%20energy%20air.

https://www.bbc.com/news/science-environment-49567197

https://ijr.com/frank-lasee-wind-turbines-and-lobsters-mean-less-lobsters-and-not-enough-electricity/

https://stopthesethings.com/2024/06/14/propaganda-overload-offshore-wind-industrys-costs-claims-hit-peak-delusion/

https://www.theguardian.com/business/2022/nov/08/greenhouse-gas-uk-windfarm-seagreen-project-scotland?fbclid=lwAR1nF7QwaGpazWkwKuT51JSAceJ217uvPi6Z8aWKJfdXB8ncpqXzUbgSDAM&mibextid=Zxz2cZ

https://www.wind-watch.org/documents/how-offshore-wind-drives-up-global-carbon-emissions/

https://www.wind-watch.org/documents/taking-the-wind-out-of-climate-change/

https://www.wind-watch.org/documents/climatic-impacts-of-wind-power/

https://docs.wind-watch.org/Miller-Keith-Climatic-impacts-wind-power.pdf

https://docs.wind-watch.org/Miller-Keith-Climatic-impacts-wind-power.pdf

https://www.americanexperiment.org/harvard-study-finds-wind-turbines-will-cause-more-warming-in-minnesota-than-emissions-reductions-would-avert/?fbclid=lwZXh0bgNhZW0CMTAAAR1rkoRChTsx LuXTHfK8s770hEP2Cb1vbDt46aQx6G_yC7x8WVp77M9sr8g_aem_ZmFrZWR1bW15MTZieXRlcw#:~: text=According%20to%20the%20study%2C%20wind,animals%20living%20near%20the%20turbines

https://www.theepochtimes.com/article/environmental-pollutant-how-a-key-climate-agenda-tool-harms-endangered-species-5637456?utm_campaign=socialshare_email&utm_source=email&fbclid= lwZXh0bgNhZW0CMTEAAR3vwMcWchy-YVFT2QNNc6h0McflNjN5ZqqcDoRXjUeYJgBoUTVKoH1kTn8_aem_ AbzKkD25pVrtGYrvoT5XPwlEJpX9tXRmHXGa6PvqM2PMmtvRQEMb0A3KdzBA1G_aJjo56P5jNKZb4dinepIIIRgA

https://windeurope.org/newsroom/news/wind-energy-and-sf6-in-perspective/

https://patch.com/new-hampshire/merrimack/power-people-eversource-seeks-42-percent-rate-hike?fbclid=lwZXh0bgNhZW0CMTEAAR3rrrLIHQCHXbsU2HIJqrQ4o_x7i9e-Pa53fzR7Gm0jITdWwha8z8eh96k_aem_ZmFrZWR1bW15MTZieXRlcw

https://www.northjersey.com/story/opinion/2024/06/19/northeast-offshore-wind-will-impact-taxpayers/74137608007/? fbclid=lwZXh0bgNhZW0CMTEAAR22kbzgnRV4J7clHc93KHOgqYDnqhPiZjdSt3SpgpB6LUvfyzw43Bzip6E_aem_ZmFrZWR1bW15MTZieXRlcw

Offshore wind energy will come at a high cost to Northeast taxpayers northjersey.com

BOEM: No Impact On Global Warming by Wind Projects saynotoosw.wordpress.com

6 attachments



72003156007-ripro-011621-ne-raimondo-environment.jpeg 64K



image-10.png 224K

NAitonal WindNo measurable influence on climate change Wind Energy News.pdf 291K

GCAM™ Summary Point Paper (© M. Koetz 2022) .pdf 952K

Economic Report Filed with the NJ BPU Estimates Proposed Wind Turbines Off Long Beach Island to Result in Approximately \$668.pdf
51K

Allison-Wind-energy.pdf
1090K



Re: Air Quality Permit for US Wind

1 message

Dianna Harris diannaharris@me.com
To: Shannon Heafey -MDE- heafey@maryland.gov

Wed, Jul 3, 2024 at 9:06 AM

Good Morning Ms. Heafey,

Thank you for forwarding my June 19th information to the engineers for consideration during the review process of the US Wind air quality permit. Please see the attached and include it for further review.

As I stated in my oral comments at the hearing, we are in the unique position of having projects in various stages of construction to our north and south. We should not be in a rush to permit this project, rather, take the time to truly assess the environmental impacts as the happen before our eyes.

Below is the latest video from Nantucket's Madaket Beach. What you are seeing is the night view of the 21 installed Vineyard Wind turbines. The closest turbine is 15.5 miles off Madaket Beach. The bright lights in the center is the transfer station (US Wind is planning on 4 transfer stations). Image the night light pollution impact 5 miles closer, as these proposed turbines will only be 10.5 miles off the Ocean City coast.

Ms. Heafey, as per usual with the US wind project, permits are reviewed individually. As the department charged with protecting Maryland's environment, I humbly suggest the environmental impacts be considered in the entirety.

I am fully aware US wind will speak to the ADSL lighting that will be installed atop the turbines, Nantucket was promised the same. The problem is, that system has yet to be approved by the FAA. Further complicating matters is the fact that we have no control over when the system will be approved or what company, for that matter, will have ownership of this project when and if that system is ever approved. At the very least the public should be made aware of where the ADSL system is in the FAA approval process.

You have one chance to get this right and do what is best for the State of Maryland. Once done, this is irreversible. US Wind can leave whenever they want, which is why parts of this project are stand alone LLCs. (i.e. DE power plant land purchase)

Again, I ask for MDE to slow down, see how the projects to our north and south fair before committing to building a power plant off the shores of Maryland.

(A side note, this morning 5 of the 21 turbines are turning in 14-23 knots of wind, this is normal to date.)

Respectfully, Dianna Harris

On Jun 20, 2024, at 9:41 AM, Shannon Heafey -MDE- <shannon.heafey@maryland.gov> wrote:

Good Morning Ms. Harris,

Thank you for the articles. I sm adding your email to a file for comments for the permit engineers to include as the application is under review.

Shannon

Shannon Heafey Public Participation Coordinator Air Quality Permits Program, Air and Radiation Administration Maryland Department of the Environment 1800 Washington Boulevard, Baltimore, Maryland 21230 shannon.heafey@maryland.gov 410-537-4433

On Wed, Jun 19, 2024 at 4:35 PM Dianna Harris diannaharris@me.com wrote: Ms. Heafey,

As promised below are articles with regard to poor air quality around wind turbines as well as other pertinent topics. I have also added some information on the very dangerous CF6 used in the turbines, it escapes more often than people think. If you read all of these documents you will notice, these turbines need attention every day — imagine what all those diesel powered boat trips will do to our environment.

I understand the Governors desire to "push" this "green energy" but it is not "green" and as a person with some say in the future of Maryland's environment, the future for our children and grandchildren, I beseech you to listen to "the other side." I'd like you to consider the following: if the VA project can alter air at 27 miles off the coast, what will happen 10 miles off?

Ms, Heafey, this project has changed significantly since its inception and sadly this federal administration's desire to industrialize our ocean are superseding NEPA laws requiring a new Environmental Impact Study. Getting this wrong is irreversible. Saving our last undeveloped treasure for future generations is of paramount importance; most especially because we understand, and US Wind states in its own documents, this project will have no positive effect on climate change. As you will learn from below, quite the opposite is true.

Although unrelated to air quality, the State should also take into consideration the lack of experience of those involved in building this project. As I said at the hearing, Block Island would not be my proudest moment, if I were Mr. Grybowski. Mr. Dunmeyer may have some environmental experience, but admits to no experience, what so ever, in this type of industrial size development and Mr. Wilson, who the company had tell us to "listen to the science," is an ex commercial fishing deckhand.

Please, please, all we are asking for is for you not to rush this project. We need complete and independent review of what is happening in and around the current projects. Doesn't Maryland deserve that?

I thank you in advance for your consideration of this information.

Dianna Harris Founder, Protect our Coast Delmarva 410-725-6848

https://www.baconsrebellion.com/wp/epa-asked-to-rule-on-cvow-air-quality-impacts/#:~: text=The%20Virginia%20offshore%20wind%20facility,flourishes%20in%20low%20energy%20air.

https://www.bbc.com/news/science-environment-49567197

https://ijr.com/frank-lasee-wind-turbines-and-lobsters-mean-less-lobsters-and-not-enough-electricity/

https://stopthesethings.com/2024/06/14/propaganda-overload-offshore-wind-industrys-costs-claims-hit-peak-delusion/

https://www.theguardian.com/business/2022/nov/08/greenhouse-gas-uk-windfarm-seagreen-project-scotland?fbclid=IwAR1nF7QwaGpazWkwKuT51JSAceJ217uvPi6Z8aWKJfdXB8ncpqXzUbgSDA M&mibextid=Zxz2cZ

https://www.wind-watch.org/documents/how-offshore-wind-drives-up-global-carbon-emissions/

https://www.wind-watch.org/documents/taking-the-wind-out-of-climate-change/

https://www.wind-watch.org/documents/climatic-impacts-of-wind-power/

https://docs.wind-watch.org/Miller-Keith-Climatic-impacts-wind-power.pdf

https://docs.wind-watch.org/Miller-Keith-Climatic-impacts-wind-power.pdf

https://www.americanexperiment.org/harvard-study-finds-wind-turbines-will-cause-more-warming-in-minnesota-than-emissions-reductions-would-avert/?fbclid=lwZXh0bgNhZW0CMTAAAR1rkoRChTsx LuXTHfK8s770hEP2Cb1vbDt46aQx6G_yC7x8WVp77M9sr8g_aem_ZmFrZWR1bW15MTZieXRlcw#:~: text=According%20to%20the%20study%2C%20wind,animals%20living%20near%20the%20sturbines

https://www.theepochtimes.com/article/environmental-pollutant-how-a-key-climate-agenda-tool-harms-endangered-species-5637456?utm_campaign=socialshare_email&utm_source=email&fbclid=lwZXh0bgNhZW0CMTEAAR3vwMcWchy-YVFT2QNNc6h0McflNjN5ZqqcDoRXjUeyJgBoUTVKoH1kTn8_aem_AbzKkD25pVrtGYrvoT5XPwlEJpX9tXRmHXGa6PvqM2PMmtvRQEMb0A3KdzBA1GaJjo56P5jNKZb4dinepIIIRgA

https://windeurope.org/newsroom/news/wind-energy-and-sf6-in-perspective/

https://patch.com/new-hampshire/merrimack/power-people-eversource-seeks-42-percent-rate-hike?fbclid=IwZXh0bgNhZW0CMTEAAR3rrrLIHQCHXbsU2HJqrQ4o_x7i9e-Pa53fzR7Gm0jlTdWwha8z8eh96k_aem_ZmFrZWR1bW15MTZieXRlcw

https://www.northjersey.com/story/opinion/2024/06/19/northeast-offshore-wind-will-impact-taxpayers/74137608007/?fbclid=lwZXh0bgNhZW0CMTEAAR22kbzgnRV4 J7clHc93KHOgqYDnqhPiZjdSt3SpgpB6LUvfyzw43Bzip6E_aem_ZmFrZWR1bW15MTZieXRlcw

Offshore wind energy will come at a high cost to Northeast taxpayers northjersey.com

BOEM: No Impact On Global Warming by Wind Projects saynotoosw.wordpress.com

n.	21 Nantucket Turbines.mp4	
ш	3921K	



Necessity to understand the manufacturer.

1 message

Dianna Harris < diannaharris@me.com>

Fri, Jul 5, 2024 at 7:35 PM

To: Shannon Heafey -MDE- <shannon.heafey@maryland.gov>

Cc: Pat Schrawder <pat.schrawder@gmail.com>, "Graffius, Keith" <Keith.graffius@mail.house.gov>, Terry McGean <Tmcgean@oceancitymd.gov>, Caryn Abbott <cabbott@co.worcester.md.us>

Ms. Heafey,

Please make sure, if you approve this environmental permit, made is aware of the parts manufacture.

Dianna Harris.



GE sued over turbine design flaws energywatch.com



Protecting Maryland's Environment and Air from OSW

1 message

Dianna Harris <diannaharris@me.com>
To: Shannon Heafey -MDE- <shannon.heafey@maryland.gov>

Tue, Jul 16, 2024 at 9:19 AM

Good morning Ms. Heafey,

As my point person for sharing information regarding the Air Quality permitting decision, please read the following information below. The first concerning the horrid gas used in these turbines, Sulfur Hexafluoride (SF6), which BOEM believes will leak from the turbines of these projects at least .5-1% equalling tons of emissions over the life of these projects. The EPA warns that SF6 has a 1/2 life of 3,200 years and that a very small amount will "have a significant impact on global climate change." Why would we put that 10 miles off of MD's coast? Most especially now that we are seeing these massive turbines, never built to this size before, break before our very eyes?

They are not even a year old and already falling apart. Why should the East Coast be a guinea pig, let alone MD? "The large Haliade-X turbines are just coming off GE's assembly line and developers are buying them despite the absence of any sort of lengthy track record because the enormous blades are expected to allow the companies to produce electricity with fewer turbines, saving them a lot of money."

Isn't our air quality more important than the profits of an Italian company?

As I have suggested, and will suggest again, what is the rush? Why don't we see how these experiments play out to our noth and south. VA is still installing bases, but Vineyard wind has 10 turbines up and, frankly, not running, as many observers share with those of us intently trying to save our environment. One turbine of 10, is not unopperational and broken, in less than a year. Again, what is the rush to let an inexperienced company try this experiment off the shores of MD?

Please make a decision based on facts and protecting the environment, which is your charge, rather than politics. This is too important to be political.

Again, thank you for your time, Dianna Harris.



Why Are Massive Amounts of the World's Most Potent Greenhouse Gas Being Ferried Out into the Ocean off the Eastern Seaboard?


https://vineyardgazette.com/news/2024/07/15/vineyard-wind-turbine-damaged-over-weekend

https://nantucketcurrent.com/news/vineyard-wind-reports-turbine-blade-damage-in-offshore-incident

https://commonwealthbeacon.org/energy/vineyard-wind-1-turbine-experiences-undisclosed-damage/









THE INADEQUACY OF WIND POWER

Wade Allison




The Inadequacy of Wind Power

Wade Allison

Note 40, The Global Warming Policy Foundation

© Copyright 2023, The Global Warming Policy Foundation



About the author

Wade Allison is Emeritus Professor of Physics at the University of Oxford, and a Fellow of Keble College. In addition to teaching mathematics and physics at Oxford and researching at CERN, he is also deeply involved in medical physics and the biological effects of radiation, on which he has published three books: *Fundamental Physics for Probing and Imaging* (OUP, 2006), *Radiation and Reason* (2009) and *Nuclear is for Life* (2015). He is the Honorary Secretary of the Supporters Of Nuclear Energy (SONE), which was started by Bernard Ingham and others. He is a member of International Scientists for Accurate Radiation Information (SARI).







The inadequacy of wind power

The plan dramatically to cut the combustion of fossil fuels was accepted at the 2015 Paris Conference. The instinctive reaction around the world has been to revert to 'renewables', the sources of energy delivered intermittently by the power of the Sun. Unfortunately this power, attenuated by the huge distance that it must travel to reach the Earth, is extremely weak. That is why, before the advent of the Industrial Revolution, it was unable to provide the energy to sustain even a small global population with an acceptable standard of living.

Today, modern technology is deployed to harvest these weak sources of energy. Vast 'farms' that monopolise the natural environment are built, to the detriment of other creatures. Developments are made regardless of the damage wrought. Hydro-electric schemes, enormous turbines and square miles of solar panels are constructed, despite being unreliable and ineffective; even unnecessary.¹

In particular, the generation of electricity by wind tells a disappointing story. The political enthusiasm and the investor hype are not supported by the evidence, even for offshore wind, which can be deployed out of sight of the infamous My Back Yard. What does such evidence actually say?

That the wind fluctuates is common knowledge. But these fluctuations are grossly magnified to an extent that is not immediately obvious – and has nothing to do with the technology of the wind turbine. The energy of the wind is that of the moving air, and, as every student knows, such energy is $\frac{1}{2}Mv^2$, where M is the mass of air and v the speed. The mass of air reaching each square metre of the area swept by the turbine blade in a second is $M = \rho v$, where ρ is the density of air: about 1.2 kg per cubic metre. So, the maximum power that the turbine can deliver is $\frac{1}{2}\rho v^3$ watts per square metre.

If the wind speed is 10 metres per second (about 20 mph) the power is 600 watts per square metre at 100% efficiency.² That means to deliver the same power as Hinkley Point C (3200 *million* watts) by wind would require 5.5 *million* square metres of turbine swept area – that should be quite unacceptable to those who care about birds and to other environmentalists.

But the performance of wind is much worse than that, as a look at the simple formula shows. Because the power carried by the wind depends on the *third* power of the wind speed, if the wind drops to half speed, the power available drops by a factor of 8. Almost worse, if the wind speed doubles, the power delivered goes up 8 times, and as a result the turbine has to be turned off for its own protection. This is not related to the technology of the turbine, which can harvest no more than the power that reaches the area swept by its blades.




Figure 1: Power demand and generation in EU+UK in 2021 Source: WindEurope

The effect of the enhanced fluctuations is dramatic. In Figure 1, the blue area shows the total EU and UK wind energy generated each day in 2021. The installed nominal generating *capacity* was 236 GW (the brown dashed line), but the highest *output* in the year was 103 GW (26 March). This is not the headline plot that the industry shows to its investors, the media and politicians, but it comes from their own published annual WindEurope Report.³

The wind blows somewhat more steadily offshore than onshore, as every sailor knows. Nevertheless, the unreliability inherent in wind energy persists. Figure 2 shows the wind power generated by all UK offshore windfarms in March 2022, as presented online on the Crown Estate website.4 Over some periods, it rose to the nominal installed capacity of 10 GW. However, for 8 days at the end of the month it averaged no more than 1.2 GW. The green rectangle (added) illustrates that 8.8 GW was not available for this time, presumably because the average wind speed halved. That much energy, 1600 GWh, is 1000 times the capacity of the world's largest grid storage battery (1.6 GWh at Moss Landings, California). Battery technology has its own problems. It can provide for laptops and other portable applications, even car batteries at up to 75 kWh, but larger batteries have problems with safety⁵ and mineral shortages.⁶ Batteries 20 million times larger are never going to be available and storage batteries will never make good the failure of offshore wind farms, even for a week. And the wind can drop for longer periods than that.

However, the bluster of windfarm politics, as pursued by the UK Government, ignores evidence, it seems. The industry is keen to promote onshore wind also. However there the fluctuations are greater than offshore and the political deterrence from My Back Yard is stronger. Consequently, the Government has promoted offshore projects. On 6 October 2020, Boris Johnson an-




Figure 2: Offshore wind production in the UK, March 2022

Source: Redrawn from Crown Estate data.

nounced that 'wind farms could power every home by 2030'. He continued to harangue the public in Churchillian tone 'Your kettle, your washing machine, your cooker, your heating, your plug-in electric vehicle – the whole lot of them will get their juice cleanly and without guilt from the breezes that blow around these islands.' He was describing Government policy to expand existing offshore wind power from the existing capacity of 10.4 GW by an additional 40 GW, in addition to the already installed onshore capacity of 13.6 GW.

The significant word in the announcement was 'could'. Evidently, offshore wind might provide such lighting in the UK – sometimes. But Great Britain needs reliable energy all the time. British consumers should follow the example of Alice who, in negotiating terms with the White Queen, insisted on clarification of the day on which jam should be delivered. Evidently, they should not look to wind power for reliable energy, but elsewhere.

With general energy shortages, the war in Europe, high prices and the likelihood of failures in electricity supply, many popular scientific presumptions underlying energy policy should be questioned. Wind power fails on every count.

Notes

- 1 https://www.mdpi.com/2673-4362/3/3/13
- 2 Coincidentally, this is about the same power per sq. m as the solar flux on the illuminated globe. However, the share of this received at the latitude of the UK is reduced, especially in winter and at night, of course, when most energy is needed.
- 3 https://windeurope.org/intelligence-platform/product/wind-energy-in-europe-2021-statistics-and-the-outlook-for-2022-2026/
- 4 On its website, Crown Estate publishes a plot showing the running output over the previous 30 days. https://www.thecrownestate.co.uk/en-gb/what-we-do/asset-map/.
- 5 https://www.researchgate.net/publication/352158070_Safety_of_Grid_Scale_Lithium-ion_Battery_Energy_Storage_Systems
- 6 https://www2.bgs.ac.uk/mineralsuk/statistics/rawMaterialsForALowCarbonFuture.html
- 7 https://en.wikipedia.org/wiki/Jam_tomorrow

About the Global Warming Policy Foundation

People are naturally concerned about the environment, and want to see policies that protect it, while enhancing human wellbeing; policies that don't hurt, but help.

The Global Warming Policy Foundation (GWPF) is committed to the search for practical policies. Our aim is to raise standards in learning and understanding through rigorous research and analysis, to help inform a balanced debate amongst the interested public and decision-makers. We aim to create an educational platform on which common ground can be established, helping to overcome polarisation and partisanship. We aim to promote a culture of debate, respect, and a hunger for knowledge.

Views expressed in the publications of the Global Warming Policy Foundation are those of the authors, not those of the GWPF, its trustees, its Academic Advisory Council members or its directors.

THE GLOBAL WARMING POLICY FOUNDATION

Director Honorary President

Benny Peiser Lord Lawson

BOARD OF TRUSTEES

Dr Jerome Booth (Chairman) Professor Michael Kelly FRS

The Hon. Tony Abbott Terence Mordaunt
Lord Frost Graham Stringer MP

Kathy Gyngell Professor Fritz Vahrenholt

ACADEMIC ADVISORY COUNCIL

Professor Christopher Essex (Chairman) Professor Terence Kealey

Professor Wade Allison Bill Kininmonth
Professor Anthony Barrett Brian Leyland

Professor J. Ray Bates Professor Richard Lindzen
Sir Ian Byatt Professor Ross McKitrick

Dr John Constable Professor Robert Mendelsohn

Professor Vincent Courtillot Professor Garth Paltridge

Professor John Dewey Professor Ian Plimer

Professor Peter Dobson Professor Gwythian Prins
Professor Peter Edwards FRS Professor Paul Reiter
Professor Samuel Furfari Professor Peter Ridd

Christian Gerondeau Dr Matt Ridley Professor Larry Gould Sir Alan Rudge

Professor William Happer Professor Nir Shaviv

Professor Ole Humlum Professor Henrik Svensmark

Professor Gautam Kalghatgi Dr David Whitehouse

		LOBER
 r - r		NOTES
	'A'	

REC	ENT GWPF NOTES	
5	Andrew Montford	Consensus? What Consensus?
6	Various	The Geological Perspective of Global Warming: A Debate
7	Michael Kelly	Technology Introductions in the Context of Decarbonisation
8	David Whitehouse	Warming Interruptus: Causes for the Pause
9	Anthony Kelly	Global Warming and the Poor
10	Susan Crockford	Healthy Polar Bears, Less Than Healthy Science
11	Andrew Montford	Fraud, Bias and Public Relations
12	Harry Wilkinson	UK Shale Developments
13	Peter Lilley	The Helm Review and the Climate-Industrial Complex
14	Constable and Hughes	Bubble or Babble?
15	Patricia Adams	The Road from Paris: China's Climate U-Turn
16	Mikko Paunio	Save the Oceans: Stop Recycling Plastic
17	John Christy	The Tropical Skies: Falsifying Climate Alarm
18	Gordon Hughes	Who's the Patsy? Offshore Wind's High-stakes Poker Game
19	J. Ray Bates	What Caused Hurricane Lorenzo?
20	Andrew Montford	Reducing Emissions Without Breaking the Bank
21	Andrew Montford	£3 Trillion and Counting: Net Zero and the National Ruin
22	David Whitehouse	The Next Solar Cycle and Why it Matters for Climate
23	Gautam Kalghatgi	The Battery Car Delusion
24	John Constable	Who Are They Fooling? The UK Energy White Paper 2020
25	William M Briggs	The Climate Blame Game: Are We Really Causing Extreme Weather?
26	Ross McKitrick	Suboptimal Fingerprinting
27	William M Briggs	How the IPCC Sees What Isn't There
28	J. Ray Bates	Polar Sea Ice and the Climate Catastrophe Narrative
29	Susan Crockford	The State of the Polar Bear 2021
30	Michael Kelly	Achieving Net Zero: A Report from a Putative Delivery Agency
31	Michael Kelly	Net Zero for New Zealand
32	Andrew Montford	Ten Things Everyone Should Know About Climate Models
33	Peter Ridd	The Good News on Coral Reefs
34	William Kininmonth	Rethinking the Greenhouse Effect
35	Alexander Stahel	The Crisis of the European Energy System
36	Ralph Alexander	Chinese Whispers: How Climate Science Gets Lost in Translation
37	Wade Allison	Confidence in Nuclear Energy
38	Bryan Leyland	Do We Need A New Electricity Market?
39	Michael Kelly	The Feasibility of a Net-zero Economy for the USA by 2050
40	Wade Allison	The Inadequacy of Wind Power





News & Insights

Economic Report Filed with the NJ BPU Estimates Proposed Wind Turbines Off Long Beach Island to Result in Approximately \$668 Million in Total Economic Losses, Including 6,700 Jobs Lost, Throughout Ocean County

News

4.24.24

The Shore Municipalities (Long Beach Township, Beach Haven, Ship Bottom, Barnegat Light, Surf City, Harvey Cedars, Brigantine, and Ventnor City) continue to oppose the Atlantic Shores Offshore Wind, LLC proposal to build RELATED ATTORNEYS

Frank Huttle III

Timothy P. Malone

Michael S. Stein

offshore wind turbines just miles from Long Beach Island and nearby shore towns. As counsel for the Shore Municipalities, Pashman Stein Walder Hayden P.C. filed a public comment letter on their behalf to address the New Jersey Board of Public Utilities' (BPU) planned fourth solicitation for offshore wind projects to be constructed off the New Jersey coast. The public comment letter includes an economic analysis (the Report) prepared on behalf of Long Beach Township by Tourism Economics, an Oxford Economics Company.

Of note, the Report concluded that:

"The proposed wind turbines would represent visual disamenities that would generate negative impacts within the economies of the affected areas of coastal New Jersey. Existing research shows that these negative impacts include reduced tourism as a result of wind turbines being visible from beaches and shores."

Furthermore, the Report estimates the total economic losses throughout Ocean County attributable to the proposed wind turbines as follows:

"The \$450.2 million in reduced visitor spending will generate \$668.2 million in total economic losses throughout Ocean County. The \$668.2 million in total economic losses will include approximately 6,700 total lost jobs and \$47.6 million in reduced state and local tax revenue."

Joseph Mancini, Mayor of Long Beach
Township, said, "This Report confirms what
we've long-stated – that the Atlantic Shores
project will devastate the economies of the
Shore Municipalities by deterring visitors and
eliminating thousands of jobs. It is imperative
that any offshore wind projects are placed far
enough out to avoid these drastic impacts,
which adversely affect not only the Shore
Municipalities' residents, visitors, and businesses,
but all of New Jersey's residents."

Vincent Sera, Mayor of Brigantine said, "The Report substantiates the economic impact on our shore communities is devastating, this massive industrialization of the ocean will not only destroy the scenic view from our communities, but it will also destroy our local economies and much of our marine way of life."

"We will not stop advocating for the protection of the diverse businesses and residential communities of Long Beach Island and nearby towns," added Frank Huttle, Partner at Pashman Stein Walder Hayden P.C. who, together with firm Chair and Managing Partner Michael S. Stein, and Partner Timothy P. Malone, represent the Shore Municipalities. "We urge the BPU and other agencies to carefully consider the Report and specifically the economic losses that are estimated to occur as a result of reduced tourism."

The Report, "Potential Economic Loses of Reduced Tourism Attributable to Proposed Wind Turbines in Long Beach Island, NJ," can be viewed here



News & Insights

Economic Report Filed with the NJ BPU Estimates Proposed Wind Turbines Off Long Beach Island to Result in Approximately \$668 Million in Total Economic Losses, Including 6,700 Jobs Lost, Throughout Ocean County

News

4.24.24

The Shore Municipalities (Long Beach Township, Beach Haven, Ship Bottom, Barnegat Light, Surf City, Harvey Cedars, Brigantine, and Ventnor City) continue to oppose the Atlantic Shores Offshore Wind, LLC proposal to build RELATED ATTORNEYS

Frank Huttle III

Timothy P. Malone

Michael S. Stein

offshore wind turbines just miles from Long Beach Island and nearby shore towns. As counsel for the Shore Municipalities, Pashman Stein Walder Hayden P.C. filed a public comment letter on their behalf to address the New Jersey Board of Public Utilities' (BPU) planned fourth solicitation for offshore wind projects to be constructed off the New Jersey coast. The public comment letter includes an economic analysis (the Report) prepared on behalf of Long Beach Township by Tourism Economics, an Oxford Economics Company.

Of note, the Report concluded that:

"The proposed wind turbines would represent visual disamenities that would generate negative impacts within the economies of the affected areas of coastal New Jersey. Existing research shows that these negative impacts include reduced tourism as a result of wind turbines being visible from beaches and shores."

Furthermore, the Report estimates the total economic losses throughout Ocean County attributable to the proposed wind turbines as follows:

"The \$450.2 million in reduced visitor spending will generate \$668.2 million in total economic losses throughout Ocean County. The \$668.2 million in total economic losses will include approximately 6,700 total lost jobs and \$47.6 million in reduced state and local tax revenue."

Joseph Mancini, Mayor of Long Beach
Township, said, "This Report confirms what
we've long-stated – that the Atlantic Shores
project will devastate the economies of the
Shore Municipalities by deterring visitors and
eliminating thousands of jobs. It is imperative
that any offshore wind projects are placed far
enough out to avoid these drastic impacts,
which adversely affect not only the Shore
Municipalities' residents, visitors, and businesses,
but all of New Jersey's residents."

Vincent Sera, Mayor of Brigantine said, "The Report substantiates the economic impact on our shore communities is devastating, this massive industrialization of the ocean will not only destroy the scenic view from our communities, but it will also destroy our local economies and much of our marine way of life."

"We will not stop advocating for the protection of the diverse businesses and residential communities of Long Beach Island and nearby towns," added Frank Huttle, Partner at Pashman Stein Walder Hayden P.C. who, together with firm Chair and Managing Partner Michael S. Stein, and Partner Timothy P. Malone, represent the Shore Municipalities. "We urge the BPU and other agencies to carefully consider the Report and specifically the economic losses that are estimated to occur as a result of reduced tourism."

The Report, "Potential Economic Loses of Reduced Tourism Attributable to Proposed Wind Turbines in Long Beach Island, NJ," can be viewed here



PLANET A* STRATEGIESSM

*Because there is no Planet B

GeoCapital Asset Management (GCAM)TM Summary Points

- As confirmed by the United Nations Environment Program (UNEP), air, land, and water supply (GeoCapital) is the defining capital capacity that can limit sustained and sustainable economic productivity and development.¹
- ◆ UNEP's findings confirm that the global economy has bumped up against the Law of Conservation of Matter, making GeoCapital supplies the primary determinant of production output. The era of the zero-sum supply of planetary capital capacity is upon us.
- Political economy decision-making must now evolve from policing geocapital use practices (behavior) to productivity sustainment analytics (supply optimization) that generate the systemic knowledge needed for an expandable and sustainable global economy.
- ◆ GeoCapital Asset ManagementTM provides the now necessary methodologies to quantify, optimize, and manage these limited capital components as first order requirements for operational capability, enterprise sustainment, and human quality of life.

♦ GCAM[™] is founded on the following principles:

- Air, land, and water capacities (GeoCapital) usable for public and private economic and social enterprise are a quantified default function of capital asset supplies retained in public trust reserves to sustain current and future human and ecological systems
- Public and private owners and trustees of GeoCapital asset supplies must quantify both usable (working) and reserved (conservation) capital capacities, and implement planning, access, and use practices to optimize limited asset capacity volumes in both working and reserve capital accounts. These include full requirements definition, use controls, supply management, and recapitalization investment.
- Quantified knowledge of scarce (snd non-expandable) Geocapital asset capacities must be used to
 mass-balance among competing requirements based on social and economic development and/or
 production achieved per unit of GeoCapital infrastructure asset capacity expended (i.e., working
 GeoCapital spent)
- Goals for GeoCapital asset trustees and users must extend beyond legal compliance and police power factors (such as annual notices of violation received) to continuous operational improvement and recapitalization that lowers GeoCapital asset expenditure per unit of economic activity
- GeoCapital and financial asset accounting practices must be harmonized using common managerial standards for acquisition, expenditure, investment, recapitalization, credit, and exchange to assure that enterprise shareholders and decision-makers, public asset trustees, lenders and investors, and the public have transparent data, information, and knowledge regarding expenditures and availability of non-expandable GeoCapital asset supplies
- Enterprise reporting must fully integrate quantified GeoCapital asset data along with financial data to accurately disclose material risk, and demonstrate valid return for GeoCapital capital investment and expenditure from public and private supply pools
- Quantified Geocapital knowledge can inform the multiple public and private entities exercising formal and informal geocapital access-denial activities that influence public trustees, compound

¹ United Nations Environment Assembly of the United Nations Environment Programme, Fourth Session: *Global Resources Outlook* 2019: *GeoCapital Resources for the Future We Want: Summary for Policymakers*, UNEP/EA.4/22 Distr.: General 21 January 2019, Nairobi, 11–15 March 2019, p. 9

physical supply limitations, and further limit economic enterprise operations using out-of-date legal, scientific, medical, and social knowledge and values, as well as unscrupulous mechanisms.

♦ GeoCapital Asset Management™ Methodology is based on the following steps:

- Quantification of enterprise geocapital requirements (all operational categories including spatial, input, residual harboring, and setback)
- Inventory of available supply (owned, leased, or otherwise accessed through permit, license, or other legal or regulatory mechanism)
- Management of requirement/supply differentials through acquisition, disposition, operational requirement modifications, production changes, or other options
- Requirement, use, and supply data compiled is also usable by:
 - 1. Public Asset Trustees and Managers in determining which enterprise systems should/can have access to publicly held GeoCapital
 - 2. Public and Private Enterprise Owners and Managers to optimize operations for the lowest Geocapital expenditure per unit of productivity
 - 3. Enterprise to index GeoCapital requirements and consumption against a range of performance or investment factors to generate multiple additional knowledge indices that inform production, including but not limited to costing, market share, pricing, social license, harm reduction, and job satisfaction

♦ GCAMTM further provides a quantified evidence platform to:

- Resolve controversy when GeoCapital assets supplies have zero-sum implications (e.g., agriculture versus industry use)
- Determine highest and best use of scarce public and private GeoCapital
- Identify and market green products sans "washing"
- Prevent GeoCapital asset cross subsidies (green enterprise forgoes GeoCapital asset consumption providing cheap or free access by brown industry)
- Non-discriminatory, non-arbitrary access to credits and other rewards/incentives
- · Replace aging and ineffective "Impact Analysis"

◆ GCAM[™] architecture and practices revise out-of-date terminology and labels to recognize GeoCapital capital's equal place at the enterprise capital management table.

- Depiction, labels, and operational importance of GeoCapital are upgraded to carry the necessary gravity and connectivity to enterprise decision-making and achieve the needed parity with other capital components of enterprise systems (human, physical, and financial)
- Public and private enterprise that generate production output with lower geocapital spend rates can book earned ROI in the form of market share, price competition, and credits

♦ GCAM™ Summary

- Non-expandable air, land, and water supplies used in enterprise operations are definitionally scarce, in greater demand, and increasingly rationed; working capital supplies continue to shrink as reserves allocated to ecosystem recapitalization and species sustainment grow, and competitive requirements generated by economic development increase zero-sum circumstances
- Public and private enterprises that generate output with lower geocapital spend rates should be securing the resulting earned return-on-investment, and not conceding this value to competitors advantaged by off-shored production in locations offering at-will geocapital access
- The first step to reversing unsustainable enterprise design is to use **GeoCapital Asset Management**TM methodologies, including inventories, revised allocation and access rules, production requirements efficiencies, analysis and disclosure, and marketing systems to prevent inefficient and dangerous use of public geocapital assets in economic ic systems.



Presenting the facts about industrial wind power

Sign up for daily updates

Keep Wind Watch online and independent

Donate \$10

Donate \$5

Selected Documents

All Documents

Research Links

Alerts

Press Releases

FAQs

Publications & Products

Photos & Graphics

Videos

Allied Groups

Search all NWW

« Later Post • News Watch Home • Earlier Post »

filed: February 16, 2023 • Opinions, Rhode Island

No measurable influence on climate change

Credit: Posted Wednesday, February 15, 2023 | By Lisa Quattrocki Knight, M.D., Ph.D. and Bill Thompson | eastbayri.com ~~

Translate: FROM English | TO English

Officially, offshore wind developers anticipate their projects will "have no measurable influence on climate change." Knowing this, they offer a different rationale. In the "purpose and need" section of the draft environmental impact statement for Revolution Wind, Ørsted justifies the offshore wind project based on its ability to fulfill Rhode Island's mandate for "renewable" energy. Meeting a political mandate differs rather significantly from combating climate change. Ørsted seems to understand this difference, but the public may not.

First, although offshore projects will produce electricity for 20-25 years, this renewable energy will replace only a small fraction of the fossil-fuel-generated electricity on the grid. As Richard York, an environmental studies professor at the University of Oregon, reported in the journal Nature Climate Change, real-world data indicate that alternative energy replaces only one-tenth the amount of fossil-fuel-based energy. For each 10 kWh produced by renewable sources, just 1 kWh of fossil-fuel-generated power will disappear. The German experience underscores the shortcoming of assuming otherwise. Despite spending \$222 billion to install renewable capacity that exceeds twice their consumption rate, they have replaced only 8% of their carbon-based fuel generation. Germany remains Europe's highest carbon dioxide emitter, and consumers pay double the amount for electricity as their neighbors in France. [See also report from China in Nature Communications. -NWW

Considering the dismal 8-10% fossil-fuel replacement value of these projects, their carbon footprints eclipse any advantages. The diesel-powered ships used for construction alone will likely emit more carbon dioxide than the projects will replace within their lifetimes. Furthermore, carbon emissions from maintenance and repair, decommissioning, steel and concrete production, and mining



copper and rare-earth metals all contribute to this footprint. The estimated 18 million gallons of oils, lubricants, and coolants stored within the turbines and offshore substations along the Atlantic Coast will add even more. The destruction of plankton, the trees of the ocean, will also worsen the carbon dioxide cost. Ørsted is correct—the totality of these hidden carbon emissions outweighs any possible benefit to climate change.

No environmentally conscious individual wants to hear such depressing facts, including us. Despite numerous articles from prowind enthusiasts touting the promise of offshore wind, the carbon savings of these projects fail to justify their construction. On its website, Ørsted announces that offshore wind will "help the U.S. meet its growing energy demands." They make no claims to help climate change or to reduce our dependence on fossil fuels. They make no claims because they cannot back up such assertions with facts.

Other aspects undermine the "greenness" of offshore wind projects as well. The substations and turbines will house over 40,000 lbs of sulfur hexafluoride, a greenhouse gas 23,500 times more potent than carbon dioxide. The football field-length blades that require replacement during the lifetime of the turbine cannot be recycled. Leading edge erosion of the blades results in a substantial release of fiberglass and epoxy particles that will contaminate the marine food web. These microplastics contain the harmful bisphenol A (BPA) and the "forever" PFAS chemicals. The marine food web accumulates and magnifies these toxic substances. Moreover, heavy metals from the corrosion protection on the turbines will leach into the water, further compromising the health of marine life.

Although offshore wind developments will have no measurable positive effect on climate change, they will have a measurable and potentially tragic impact on the number of whales, dolphins, birds, bats, and fish. They will also have a quantifiable effect on wave height and current strength, biodiversity, the ecology of the marine environment, and the financial cost to taxpayers. Absent climate change mitigation, corporate profits and political expediency appear to be providing the impetus for offshore wind development.

Written on behalf of Green Oceans (info@green-oceans.org) by Quattrocki Knight of Little Compton and Thompson of Tiverton.

[More links at source]

Source: Posted Wednesday, February 15, 2023 | By Lisa Quattrocki Knight, M.D., Ph.D. and Bill Thompson | eastbayri.com

This article is the work of the source indicated. Any opinions expressed in it are not necessarily those of National Wind Watch.

The copyright of this article resides with the author or publisher indicated. As part of its noncommercial effort to present the environmental, social, scientific, and economic issues of

changers because of wind farm caveat US: **Costs of wind** production tax credits to more than double France: Éoliennes "tueuses" de Nozay: l'éleveur a vendu sa ferme mais poursuit son combat judiciaire Texas:

Property owners, conservationists, wind energy:
Tension grows in West Texas

Australia:

Public pressure yields results in wind turbine saga

Australia:

Giant wind farm appeals order for turbine shutdowns as opponents fight approval

lowa:

Gone with the wind? Apex closes up shop in Tama County

U.K.:

Why Britain is suddenly blowing cold on a wind power revolution

U.K.:

Giant UK offshore wind farm 'at risk without government support'

Spain:

400 personas caminan contra los eólicos en los Juarros

Spain:

Nueva Canarias Arrecife rechaza la instalación de aerogeneradores marinos en el litoral

Spain:

La desconfianza sopla contra las renovables

Spain:

basta a los molinillos: aluvión de llamadas a esRadio desde todo el país

Spain:

Rebelión de los bodegueros de Jerez ante la large-scale wind power development to a global audience seeking such information, National Wind Watch endeavors to observe "fair use" as provided for in section 107 of U.S. Copyright Law and similar "fair dealing" provisions of the copyright laws of other nations. **Send requests to excerpt, general inquiries, and comments** via e-mail.

Wind Watch relies entirely on User Funding





Share:



[Short URL: https://wind-watch.org/news/?p=105614]

« Later Post • News Watch Home • Earlier Post »

invasión de molinos y "espejos' Ohio: Columbiana County bans big solar, wind farms in four townships, ban sought in seven more communities Israel, Syria: **Syrians in Golan** reiterate rejection of Israeli scheme to build wind turbines on their land Newfoundland and Labrador: **Protesters** granted a partial victory in fight against World **Energy GH2's** activity on the Port au Port **Peninsula** Norway: In Oslo, young Sámi protesters demand the dismantling of two wind farms Scotland: **Scots ignite UN** probe over public rights to challenge on planning Norway: Norway wind farms at heart of Sami protest violate human rights, minister says Denmark: Offshore wind farm projects on the rocks Norway: Norway apologises for 'illegal' wind farms on indigenous land Norway: Police break up **Norway wind** farm protest by Thunberg Europe, U.S.:

Electricity prices are soaring in leading windenergy states Norway: Norway energy minister seeks to save illegally approved wind energy facilities

CONTACT • DONATE • PRIVACY • ABOUT • SEARCH Follow:

CE FACIS PROPERTY OF THE PROPE

© National Wind Watch, Inc. Use of copyrighted material adheres to Fair Use. "Wind Watch" is a registered trademark.





Mario Cora -MDE- <mario.cora@maryland.gov>

EPA Comments - US Wind Draft PSD Approval, Permit No. PSD-2024-01

Supplee, Gwendolyn <Supplee.Gwendolyn@epa.gov>

Fri, Dec 20, 2024 at 1:23 PM

To: "shannon.heafey@maryland.gov" <shannon.heafey@maryland.gov>

Cc: "suna.sariscak@maryland.gov" <suna.sariscak@maryland.gov>, "Mario.Cora@Maryland.gov"

<Mario.Cora@maryland.gov>, "Leon-Guerrero, Tim" <Leon-Guerrero.Tim@epa.gov>, "Opila, MaryCate"

<Opila.MaryCate@epa.gov>, "Chow, Alice" <chow.alice@epa.gov>, "Payne, Katharine" <Payne.Katharine@epa.gov>

Ms. Heafey -

Please see the attached comment from US EPA Region 3 on the draft PSD Approval (Permit No. PSD-2024-01) for the US Wind, Inc. Maryland Offshore Wind Project.

Many thanks.



Gwendolyn K. Supplee (She, her, hers)

Senior Permit Specialist/Life Scientist

U.S. Environmental Protection Agency, Region 3

Permits Branch (3AD10)

Air & Radiation Division

Phone 215-814-2763

Email supplee.gwendolyn@epa.gov



EPA Comments-Draft PSD Authorization US Wind_12-20-24.pdf 417K

EPA Comments on Draft Prevention of Significant Deterioration Approval, U.S. Wind, Inc.
Maryland Offshore Wind Project, Permit No. PSD-2024-01

PERMIT SUMMARY

The Maryland Department of the Environment (MDE) received an air quality permit application from US Wind, Inc. (US Wind) for the construction and operation of the Maryland Offshore Wind Project consisting of up to 121 wind turbine generators, up to four (4) offshore substations, and one (1) meteorological tower. The application included an air quality permit-to-construct application, an application for a New Source Review (NSR) Approval, and an application for a Prevention of Significant Deterioration (PSD) Approval. The proposed project will be located approximately 10 nautical miles (NM) at its closest point off the coast of Worcester County, Maryland on the outer continental shelf (OCS). The United States Environmental Protection Agency (US EPA) has the following comment on the draft PSD Approval.

Comment 1: MDE should ensure that US Wind establishes an enforceable public safety zone within the project lease area in accordance with 40 CFR §55.8 and §55.13 and 33 CFR §147. US Wind's modeling analysis supporting its proposed emission limits utilized 500-meter exclusion zones for its construction & commissioning (CC) activities. This 500-m safety exclusion zone was integral in establishing the project's working ambient air boundary, and should preclude public access. Without formally establishing these 500-meter safety exclusion zones utilized in US Wind's modeling analysis, there is no mechanism to ensure the National Ambient Air Quality Standards and PSD will be protected during the CC phase of this project. MDE should include a requirement in the final PSD approval that requires US Wind to establish an enforceable 500-meter exclusion zone to prevent incursion into the exclusion zone by unauthorized entities.

Prepared by:

Gwendolyn K. Supplee US EPA Region 3 Supplee.gwendolyn@epa.gov (215) 814-2763 US Wind Maryland Offshore Wind Project OCS Air Permit Application

On US Wind's Maryland Offshore Wind Project Outer Continental Shelf Air Permit Application filed in November of 2023, under Section 2.1 OCS Sources page 17 cites

"USEPA's implementing OCS Air Regulations at 40 CFR Part 55 adopt the statutory definition of an OCS source from Section 328 (a)(4)(c) of the Clean Air Act (CAA): " any equipment, activity, or facility which – (i) emits or has the potential to emit any air pollutant, (ii) is regulated or authorized under the Outer Continental Shelf Lands Act [43 U.S.C. 1331 et seq.], and (iii) is located on the Outer Continental Shelf or in or on waters above the Outer Continental Shelf." The regulations at 40 CFR Part 55 state that vessels are only considered OCS sources when they are: "(1) Permanently or temporarily attached to the seabed and erected thereon and used for the purposes of exploring, developing or producing resources therefrom, within the meaning of section 4(a)(1) of OCSLA (43 USC. Part 1331 et seq.) or (2) physically attached to an OCS facility, in which case only the stationary sources aspects of the vessels will be regulated."

At the bottom of page 20 under section 2.1.1 Support Vessels and continuing onto the top of page 22, US Wind's Permit Application reads

"In accordance with the Environmental Appeals Board (EAB) decision in roe Shell Gull of Mexico, Inc. and in re Shell Offshore, Inc., 15 EAD 193 (220), the potential emissions of an OCS source must also include emissions from associated support vessels when they are within 25 NM of the OCS source, but only during the time it is considered an OCS source (i.e. attached to the seabed)."

It then goes on to state at the bottom of page 21

"Therefore, for purposes of the OCS air permit, all vessels within 25 NM of the centroid of the wind turbine array are conservatively included in the potential emissions of the construction phase of the Project, including those which are anticipated to be utilized prior to the first instance of an OCS source. Therefore, the OCS source includes all vessels associated with the construction phase of the Project when those vessels are on-site (within the wind turbine array area) or enroute to or from the wind turbine array area when within 25 nautical miles 10 of the centroid of the wind turbine array area."

During US Wind's final addendum in November of 2024, it is stated:

"US wind has provided vessel specification literature for sample vessels utilized in the emissions calculations in Attachment A. The sample vessels specifications are currently built vessels used for constructing OCS wind facilities that may be used for the Project or are closely representative of the type of vessel anticipated to be used for the Project. These specifications provide typical vessel engine sizes for vessels for the types of vessels that are anticipated to be utilized."

This statement I believe to be inaccurate as the US Wind application fails to address a safe water vessel to bring the project into compliance with the Jones Act. From US Wind's own mariners page, I have documented Vessel "D" MMSI: 993672393, a 419' foot safe water vessel has anchored off the end of the Delaware Bay shipping channel at the Maryland Delaware line and at the edge of the US Wind OCS-A 0490 Lease Area , Delaware Ocean City, Maryland line since at least early December. Screenshots here documented from multiple AIS trackers on US Wind's Mariners section of their

website, as well as Atlantic Shores Offshore Wind Project's website, and MarineTraffic.com the ships position over the last several weeks.

During US Wind's subsequent addendums filed in January, September, and November of 2024, US Wind has not documented any indications that they have accounted for the safe water vessel classification, nor the pollution that the vessel emits over the course of the project. For this reason, I urge the Maryland Department of the Environment to deny US Wind's OCS Air Permit.





US Wind controls the rights to an 80,000-acre lease area located off the coast of Maryland, which can support close to 1,800 MW of offs 2023, the Bureau of Ocean Energy Management ("BOEM") issued a draft environmental impact statement on US Wind's construction a company to secure final federal permits by the end of 2024.

Automatic Identification System (AIS) window showing maritime activity

US Wind is conducting geophysical and geotechnical survey campaigns to support our federal site characterization requirements seafloor and near-surface sub-bottom using a variety of non-intrusive acoustic and magnetic technologies while geotechnical sur seabed core samples, analyzing those samples to inform foundation design, turbine locations, and cable routing.

This Automatic Identification System (AIS) window will show maritime activity in the region for vessels equipped with and using coordination with all mariners.





giver planing



(/en/data/?asset_type=vessels&flag_in=USIUSA) D

(/en/data/? Safe Water asset_type=vessels&ship_type_in=1|MC.MAP_CONTROLS_PRIMARY_VESSEL_FILTER_NAVIGATION_AID)

MMSI: 993672393

Overview In the news Is/ships/shipid:5185665/mmsi:993672393/imo:0/vessetails/ships/sh





Businesses

No data available at the moment

Summary

Where is the ship?

Safe Water D is currently located in the Caribbean Sea (reported 7 hours, 16 minutes ago)

What kind of ship is this?

D (MMSI: 993672393) is a Safe Water and is sailing under the flag of USA. Her length overall (LOA) is 128 meters and her width is 62 meters.

General

Be the first to upload a photo for this vessel

Upload a photo

Name

D

Flag

USA

IMO

1/9/25, 1:33 PM

Vessel Characteristics: Ship D (Safe Water) Registered in USA - Vessel details, Current position and Voyage information - | AIS Mari...

MMSI 993672393
Call sign -

AIS transponder class Class A

General vessel type Safe Water

Detailed vessel type Safe Water

Service Status Upgrade to unlock

Port of registry Upgrade to unlock

Year built Upgrade to unlock

Latest AIS information

Navigational status Aid to Navigation

Position received 7 h 17 mins ago

Vessel's local time -

Latitude/Longitude Upgrade to unlock

Speed -

Course -

True heading -

Rate of turn 0 °/min

Draught -

Reported destination -

Matched destination -

Estimated time of arrival

AIS source Terrestrial - Atlantic (/en/ais/details/stations/11709) Operated By Dixie53

Upgrade to global AIS coverage

Notes

Locked content

Upgrade your account to unlock this

♦‡ Upgrade


ABOUT US RESOURCES

PROJECTS

PRESS & MEDIA

Mariners Information

TRACK OUR VESSELS




https://atlanticshoreswind.com/mariners/


The Atlantic Shores geoscience team is conducting a multi-year investigation of seabed conditions in our lease areas and cable corridors to support project engineering.

Geoscience, which includes geophysical and geotechnical- or G&G, combines both science and engineering. Atlantic Shores' G&G campaign works to create a map of the seabed in order to better understand the environment in which turbines will be constructed. This work is integral to designing the front end engineering aspects of an offshore wind project and is necessary for meeting both permitting and regulatory requirements.

More than 85 United States based personnel and 6 US survey vessels are engaged in the campaign, including 3 New Jersey-owned and operated vessels.

GPS COORDINATES FOR LEASE AREA BOUNDARIES










US Wind Mariners Briefings can be found on the US Wind website at https://uswindinc.com/mariners/ or requested from Benjamin Cooper, US Wind's Director of Marine Affairs (b.cooper@uswindinc.com/mariners/ or requested from Benjamin Cooper, US Wind's Director of Marine Affairs (b.cooper@uswindinc.com/. You may also wish to contact US Wind's Fisheries Liaison Officers for fisheries specific information (Wolfgang Rain: 206-427-6553; wrain@searisksolutions.com and Ron Larsen: 570-242-5023; ronlarsen@searisksolutions.com) or the Offshore Fisheries Liaison (OFL6@Offshorewfs.com): 401-871-0557.








US Wind¹ Mariners Briefing – April 24, 2022

Near Shore Geophysical Survey Activity

The **R/V Westerly** has been conducting nearshore geophysical survey operations along the potential Export Cable Corridors within 3 nautical miles of the Delaware shoreline since April 3, 2022 and will continue to do so until mid-May, weather dependent. The **R/V Westerly** is accompanied by the **Ocean City Girl**, which carries Protected Species Observers and an Offshore Fisheries Liaison to support survey operations. Local scout vessels are also being used to identify fishing gear to ensure avoidance. US Wind has worked with stakeholders to reduce the area being surveyed to the areas outlined on the chartlet below. US Wind will continue to coordinate with fishermen to share information on fishing activity and the status of our survey progress. The **R/V Westerly** requests a 250 yard closest point of approach from passing vessels and will monitor VHF-FM channels 13 and 16 for safe passing arrangements.



R/V Westerly - 50 ft LOA; Call Sign: WDF7918

Geotechnical Survey Activities

The **PSV Regulus** completed its geotechnical survey campaign in the southeastern portion of the Lease area on April 23, 2022.

Looking Ahead:


US Wind will begin conducting geophysical surveys with three vessels (**R/V Yeti**, **Almar 31**, and **WAV-V 8**) within Indian River Bay on **May 9**, **2022** and lasting approximately 6 weeks. After Labor Day, US Wind anticipates conducting geotechnical investigations along the very near shore of the Delaware coast and within Indian River Bay.







Almar 31



WAM-V8


¹ In 2014, US Wind acquired a federal Lease area off the coast of Maryland, which has the potential to generate approximately 2,000 MW in offshore wind power. In 2017, Maryland approved the company's ~300 MW MarWin project, and in December 2021, the state approved the 808 MW Momentum Wind project. For more information, please visit our website: https://uswindinc.com.


BUOY DATA SUPPORTS RESEARCH AND IS SHARED WITH WARINERS

Our survey activities are critical in understanding the seabed conditions within Atlantic Shores' Lease Areas.

We deployed four metocean buoys near Lease Area 0499 to gather ocean and air observations. The data collected by the buoys helps us to measure wind, ocean and weather conditions in order to inform the best development strategy for turbines. The data also contributes to the ongoing research, monitoring, modeling and analysis efforts of US governmental and academic institutions in the Mid-Atlantic region.

As part of our efforts we are proud to partner with MARACOOS to publicly release the data from all the buoys by using their web platform.





*Photos courtesy of Fugro

FISHERIES COMMUNICATION PLAN


Atlantic Shores Offshore Wind is actively working with the fishing community – both commercial and recreational – to understand their concerns and create a development plan with as little impact on fishing as possible. Our team aims to find a balance in the shared use of our ocean by seeking to understand and mitigate any potential effects our activities may have on the environment, wildlife, and industries that fuel our local economies. Our fisheries communication plan outlines ways fishermen can communicate concerns to our development team and methods Atlantic Shores will utilize to keep the fishermen informed and educated about our projects.

Fisheries Communications Plan – Lease Area OCS-A 0499

MEET OUR MARINERS

Kevin Wark

Fisheries Liaison Officer



Kevin is the owner of the Dana Christine, a fishing vessel he operates out of Barnegat Light, and a member of the Garden State Seafood Association. As a third-generation resident of Long Beach Island who's been fishing full-time for 39 years, he understands both the commercial and recreational fishing industry in New Jersey. Kevin's job as the Atlantic Shores Fisheries Liaison Officer is to bring fishermen's voices to Atlantic Shores Offshore Wind as a developer, so that we can work together to find the right balance in the shared use of our ocean and collaborate for the betterment of both our industries. He is here to listen to fishermen of all sectors and welcomes your questions, concerns and ideas.

kevin.wark@atlanticshoreswind.com | 609-290-8577

Brady Lybarger

Mobile Gear Fishing Representative

Brady is the owner of a direct-to-consumer seafood business based out of Cape May. He is the owner of F/V Salted and takes part in the commercial hook and line fishery. Brady has also participated in the commercial scallop fishery since 1999 and has been a captain for the past 13 years. He is a scallop advisory panel member for the New England Fishery Management Council and understands both the commercial and recreational fishing industry in New Jersey. Brady's job as the Atlantic Shores Mobile Gear Fishing Representative is to bring fishermen's voices, ideas, and concerns to Atlantic Shores




Offshore Wind. Brady is here to listen to fishermen of all sectors and welcomes your questions, concerns, and ideas.

jettyhunter@mac.com | 609-602-1417

Adam Nowalsky

Recreational Fishing Representative




Adam has been a licensed charter fishing captain for over two decades. He has long been involved in fisheries management, beginning by serving on citizen advisory committees of the New Jersey Marine Fisheries Council before becoming a New Jersey representative to both the Atlantic States Marine Fisheries Commission and Mid-Atlantic Fishery Management Council. Adam also serves on the Board of Directors and is a past chairman of the New Jersey Chapter of the Recreational Fishing Alliance. Adam is the main point of contact within the NJ-based recreational fishing industry for Atlantic Shores. He will share information to and from the recreational fishing community stakeholders that are actively fishing in proximity to the Atlantic Shores Lease area, in a timely and all-inclusive manner.

captadamnj@gmail.com | 609 618-0366

SURVEY VESSEL OPERATIONS SIGNUP

By filling out the information below you will receive email updates about survey vessel operations taking place in the Atlantic Shores Lease Areas. We will be providing many different pieces of information within our bulletins, including:

- Lease Area locations (including maps)
- Survey vessel descriptions (project details, vessel information, contact information, location, etc.)
- Other miscellaneous updates & more!



GEAR LOSS REIMBURSEMENT FOR M

Atlantic Shores and our contractors will make every attempt to avoid damaging fishing gear in our lease area during surveys, construction, and operations. If a fisherman experiences gear loss or damage that they believe was caused by or the result of Atlantic Shores' activities, they should complete our Gear Loss Reimbursement Form.

Download the Form Here

We look forward to connecting with you.

First

Last

Email

Affiliation

Are you involved with commerical or recreational fishing?

Street Address

City

State / Province / Region

ZIP / Postal Code

Country

SUBMIT



r Fr





LEASE AREA 0	499	LEASE AREA 0	549	LEASE AREA 0	541
39.13976193	-74.095	39.32220694	-73.941	39.47995625	-73.632 1 4275
39.26254699	-73.944	39.67574952	-73.938:	39.45346416	-73.63315032
39.32158277	-73.942	39.57842437	-74.051	39.45363171	-73.64717070
39.3227818 1	-73.9969	39.54563139	-74.0488	39.19437014	-73.65203542
39.37124038	-74.045	39.52971889	-73.994	39.19401612	-73.62441085
39.37072214	-74.191	39.45700366	-74.105	39.42591382	-73.44600466
39.30795700	-74.191	39.37127270	-74.107	39.47995625	-73.63214275
39.30627164	-74.248	39.37071064	-74.045(in a second
39.27574837	-74.248	39.32338181	-73.9961	2002	For the rest of the rest
39.27500009	-74.226	39.32220694	-73.941	97663	
39.24260937	-74.193		***************************************		
39.21613229	-74.191	96190	afi Geografia (1903) Geografia		
39.13976193	-74.095	76420			

Stephanie Starty

Start Brady

Shallerd Concast

Roy Pexitors

• , ,



Shannon Heafey -MDE- <shannon.heafey@maryland.gov>

Re: US Wind Comment Period Extension

1 message

Katherine Azbell <davis.kathy459@gmail.com>
To: Shannon Heafey -MDE- <shannon.heafey@maryland.gov>

Fri, Jan 10, 2025 at 6:33 PM

Thank you for the email. This is copy of letter I sent to NOAA I would like to send this to you as my comments on the US Wind project off the coast of Ocean City MD

I am hoping and praying the wind turbine project will not be allowed to go forward.

Thank you for your time and attention

NOAA/National Oceanic and Atmospheric Administration 1401 Constitution Avenue NW, Room 5128 Washington, DC 20230

I am writing you concerning the US Wind project off the coast of Ocean City, MD.

I wish to share with you my concerns about the off shore wind projects that have been in the making.

I am asking that you please do not allow this project to be done. The risks involved in this are not worth the vast amount of damage that will be done to marine life as a result of the construction and creation of a wind farm here in Maryland.

There are many reasons that this should not be allowed to come about.

- 1. We cannot allow the security risks that this project will create by the interference of radar/sonar operations used by our military to protect our country.
- 2. The INCIDENTAL TAKE AUTHORIZATION that US Wind is trying to get approved for this project should not be allowed. The harm done to this amount of marine life is not acceptable !!! Please do not approve this destruction of marine life!!!
- 3. US Wind is not an American company. Why should we be dependent on a foreign company for this wind project??
- 4. The cost of construction of this project will be extremely expensive and will be passed on to our fellow citizens of our country. Our citizens do not need any more increased costs to provide energy for our homes.
- 5. Wind turbines have never been in existence in a hurricane prone area here on the east coast of Maryland. How will these wind turbines be able to stand up to this type of destructive weather. Wind turbines are very, very costly to build and how much energy and resources are going to be used to create these? How is that creating a more green environment?? The turbines may last 20 years, what happens when they are no longer able to stay in operation???? What will you do with all this debris??

Your organization's purpose is to protect and preserve our Oceans. Please do not continue to pursue this project. It is NOT the solution to going green and/or stopping climate change. I am asking to please cease and desist!!!!

Please do not let your agency be responsible for NOT protecting our Oceans!!!
Sincerely and Respectfully
Katherine J Azbell
10423 Friendship RD
Berlin, MD 21811

On Fri, Jan 10, 2025 at 4:41 PM Shannon Heafey -MDE- <shannon.heafey@maryland.gov> wrote: Dear Concerned Community Members:

The Department has received requests for a one-time 60-day extension to the public comment period for the US Wind Air Quality permit to construct, which has been granted.

The extended comment period will expire on March 17, 2025. Please send comments for the formal record in writing to my attention by this date.

The draft permit conditions and supporting documents may be reviewed here: https://mde.maryland.gov/programs/permits/AirManagementPermits/Pages/U.-S.-Wind-Maryland-Offshore-Wind-Project-.aspx If you have any questions or concerns, please do not hesitate to contact me at your convenience.

Thank you for your interest in this Air Quality Permit project, Shannon Heafey

Shannon Heafey Public Participation Coordinator Air Quality Permits Program, Air and Radiation Administration Maryland Department of the Environment 1800 Washington Boulevard, Baltimore, Maryland 21230 shannon.heafey@maryland.gov 410-537-4433 Maryland Department of Environment,

I am an Ocean City resident who is strongly opposed to this Offshore Wind project. I am been to many hearings and the fact that US Wind so called green energy, has to apply for an air quality permit sounded crazy to me. Then I did some research. These turbines can cause a reduced energy air plumes which could increase the ozone level in nearby urban areas. US Wind wants to place these turbines 10 miles from shore. How will this be in compliance with the EPA's ozone standard? The EPA should be required to investigate the potential impact on reduced energy air on ozone compliance.

Wind turbines are being built to reduce carbon emissions but in fact due to intermittent wind speeds the turbines require back up gas-fired power emissions to increase when the wind is not blowing. How is this green energy?

What many often overlook when it comes to air quality and wind farms is the supply chain emissions. More diesel emissions due to increased boat traffic, mining and processing metals and minerals used to construct the turbines, more diesel trucks bringing supplies to ports, construction of the turbines and operating and maintaining them will increase emissions. The supply chain for these turbines is global and will globally increase CO2 emissions. In closing building these wind turbines will not reduce CO2 emissions.

I hope you do some more research before you issue this permit.

Sincerely,

Kimberly Bassich



Shannon Heafey -MDE- <shannon.heafey@maryland.gov>

Stop Offshore Wind Public Comment - US Wind Air Quality Permit Application

1 message

Kevin <kevin@stopoffshorewind.com>

Fri, Mar 14, 2025 at 9:34 AM

To: "shannon.heafey@maryland.gov" <shannon.heafey@maryland.gov>

Cc: "chris.hoagland@maryland.gov" <chris.hoagland@maryland.gov>, "Anna.A@mail.house.gov"

<Anna.A@mail.house.gov>, "Travis.Trejo@mail.house.gov" <Travis.Trejo@mail.house.gov>,

"marybeth.carozza@senate.state.md.us" <marybeth.carozza@senate.state.md.us>, "Wayne.Hartman@house.state.md.us"

<Wayne.Hartman@house.state.md.us>, "RMeehan@oceancitymd.gov" <RMeehan@oceancitymd.gov>

Dear Ms. Heafey,

Attached please find a written comment from the Stop Offshore Wind Coalition challenging the permit application of US Wind for their offshore wind project in Worcester County, MD.

Thank you in advance, and please let us know if you need anything additional from us to submit the comment.

Regards,

Kevin Gibbs

Stop Offshore Wind Board Member

Stop Offshore Wind Comment to MDE - US Wind Air Permit Application.pdf



US Wind Maryland Air Quality Permit Challenge

Secretary Serena McIlwaine Maryland Department of the Environment 1800 Washington Blvd Baltimore, MD 21230

Dear Secretary McIlwaine,

Below please find our comment for submission regarding the Air Quality Permit Application for US Wind's proposed project off the coast of Ocean City. Thank you in advance for reviewing our comment and let us know if you have any questions.

Introduction

On December 7, 2023, US Wind, Inc. filed an air permit application (electronically) with the Maryland Department of the Environment MDE for the construction and operation of the 114 turbine Maryland Offshore Wind Project. MDE has extended the public comment period for US Wind's Air Quality Permit application to March 17, 2025.

Once in operation, the Maryland Offshore Wind Project will be constrained to emissions limits. The emissions will be generated from marine vessel engines used to support crew transfers to turbines, turbine maintenance, and for system monitoring.

This paper will reveal the emission limits during the operations phase of the project will be greatly exceeded as US Wind has <u>significantly</u> underestimated the degree of maintenance that will be required of the 114 offshore wind turbines. This analysis is based on the application of European offshore turbine failure rates to the 114 Maryland offshore wind turbine fleet (European offshore wind turbines are the most mature in the industry). Further, many additional studies have been conducted that reveal the larger 10+MW turbines as planned to be utilized off the Maryland Coast will incur significantly higher failure rates than their smaller less than 5MW offshore wind turbine predecessors referenced in the European studies.

With higher than projected turbine failure rates, more vessels will be required to service the turbines making the MDE air emission limits unattainable.

Narrative

As the proposed US Wind Maryland Offshore Wind Project will have 114 wind turbines from roughly 10 miles offshore to the outer continental shelf, a significant marine vessel fleet will be required to support project maintenance and monitoring activities. This fleet will be constrained to the MDE emissions limits as detailed below:

Pollutant	Maximum Annual C&C and O&M, Combined During C&C (tons/rolling 12- months)	Total C&C and O&M, Combined During C&C (tons)	Maximum O&M (tons/rolling 12- months)			
NOx	616	1380	25			
CO	149	344	24			
PM-10	20	45	0.66			
PM-2.5	19	44	0.65			
VOC	11	26	2			
SO ₂	2	4	0.07			
Pb	0.003	0.007	0			
GHG 41,673 (as CO₂e)		95,898	6763			

US Wind has stated that they intend to comply with the above emission limits via the Table A-39 detail below as filed in Sept 2024 as an addendum to the air permit application that was filed in Dec 2023.



Table A-39
US Wind, Inc. - Maryland Offshore Wind Project
Operations and Maintenance - Maximum Angual Emissio

				Vessel liit	ny matteu					_							uperaughai Years		_	_		
Activity	Representative Vessel Type	AERMOD ID	Engine Type	Number of Engines	Individual Equipmen Size (kW)	t Total Equipment Size (kW)	Engine Load Factor (%)	Distance per Round Trip (nautical miles)	Number of Round Trips	Total Distance Traveled (nautical miles)	During	NOx (ton/year)	VOC (ton/year)	CO (ton/year)	PM10 (ton/year)	PM2.5 (ton/year)	502 (ton/year)	Pb (ton/year)	HAPs (ton/year)	CO2 (ton/year)	CH4 (ton/year)	N2D (ton/y
CS All Permit Emissions I	During Operations																					
our Protection Repairs																						
cour protection repair F	silnine veccei	OMVITI	Main Engine - in Transit		4.500	13,500	0.83	50	1	50	Sparrows	4.83E-01	6.40E-03	1.13E-01	1.42E-02	1.37E-02	2.84E-04	1.72E-06	8.09E-04	3.11E+01	1.24E-04	1.52E-0
and processor region is supply to the	ample resear	OMV1M1	Main Engine - Maneuvering	- ,	4,500	13,500	0.2	- 10	-	~	Point	2.11E-01	2.80E-03	4.96E-02	6.20E-03	6.00E-03	1.24E-04	7.50E-07	3.54E-04	1.36E+01	5.40E-05	6.64E-0
	-	OMV1AT1	Auxiliary Engines - Transit	1	492	492	0.43	50	1	50		9.11E-03	1.21E-04	2.14E-03	2.68E-04	2.59E-04	5.35E-06	3.24E-08	1.53E-05	5.87E-01	2.33E-06	2.87E-0
	-	OMV1AM1	Auxiliary Engines - Maneuvering	- ,	1200	1200	0.43				1	4.03E-02	5.35E-04	9.48E-03	1.18E-03	1.15E-03	2.37E-05	1.43E-07	6.76E-05	2.60E+00	1.03E-05	1.27E-0
SSOMM			hammed and and an arrangement	1 -	****		9074		1	-		41000 00	31995 51	01100 110	3.540-95	1404.44	2,012.95	2,432.31	4.194.44	N149E-199	1.031-03	
efueling operations to C	rew transfer vessel	OMV2T1	Main Engine - In Transit	_	749	1,498	0.83	33	20	651	Ocean City	3.50E-01	1.53E-02	6.42E-02	1.53E-02	1.50E-02	2.21E-04	1.87E-06	1.56E-03	2.42E+01	2.93E-04	1.18E-0
SS	On Section Street	OMV2M1	Main Engine - Maneuvering	-	749	1,498	0.2					3.11E-02	1.36E-03	5.71E-03	1.36E-03	1.33E-03	1.97E-05	1.66E-07	1.38E-04	2.15E+00	2.60E-05	1.05E-0
	1	OMVZAT1	Auxiliary Engines - Transit		20	40	0.43	33	20	651	1 1	4.84E-03	2.12E-04	9.87E-04	3,60E-04	3.51E-04	3.06E-06	4,38E-08	2.46E-05	3.35E-01	4.05E-06	1.64E-0
		OMV2AM1	Auxiliary Engines - Maneuvering		20	40	0.43	44			1	1.78E-03	7.83E-05	3.64E-04	1.33E-04	1.29E-04	1.13E-06	1.62E-08	9.07E-06	1.24E-01	1.49E-06	6.04E-0
VTG Inspection/ Mainten	ance /Repairs	Unit Edition	Landon Landon A. Managaran R.	1	20	40	4-14	-				2.7.00.003	7.030-03	3.545.04	2.32.04	22,000	2.232.00	2.022.00		2.2-10-02	2000	0.042-0
	ack-up vessel	OMV3T1	Main Engine - In Transit		2,350	4,700	0.83	50	1	50	Sparrows	4.73E-01	1.90E-02	3.94E-02	6.81E-03	6.09E-03	1.44E-02	7.61E-07	1.66E-03	2.36E+01	3.58E-04	1.04E-03
	and process	OMV3M1	Main Engine - Maneuvering		2,350	4,700	0.00			-	Point	0.00E+00	0.00E+00	0.00E+00	0.00E+00	0.00E+00	0.00E+00	0.00E+00	0.00E+00	0.00E+00	0.00E+00	0.00E+0
	1	OMV3AT1	Auxiliary Engines - Transit	- 4	1.000	2,000	0.43	50	- 1	50	100	8.33E-02	1.11E-03	1.96E-02	2.45E-03	2.37E-03	4.90E-05	2.96E-07	1.40E-04	5.37E+00	2.13E-05	2.62E-04
		OMV3AM1	Auxiliary Engines - Maneuvering	,	1,000	2,000	0.43	- 20	-		1	1.09E+00	1.45E-02	2.57E-01	3.22E-02	3.11E-02	6.43E-04	3.89E-06	1.84E-03	7.05E+01	2.80E-04	3.44E-0
d hoc survey workand N	Aulti-mie survey vessel	DMV4T1	Main Engine - In Transit	-	392	784	0.83	50	8	400	Sparrows	1:68E-01	2.23E-03	3.95E-02	4.94E-03	4.78E-03	9.88E-05	5.98E-07	2.82E-04	1.08E+01	4.30E-05	5.29E-0
ble survey/inspections		OMV4M1	Main Engine - Maneuvering	,	392	784	0.20		-	- 75	Point	7.00E-02	9.296-04	1.65E-02	2.06E-03	1.99E-03	4.11E-05	2.49E-07	1.17E-04	4.51E+00	1.79E-05	2.20E-0
	1	DMV4AT1	Auxiliary Engines - Transit	- 4	135	270	0.43	50	8	400	7	2.79E-02	1.22E-03	5.69E-03	2.08E-03	2.02E-03	1.76E-05	2.52E-07	1.42E-04	1.93E+00	2.33E-05	9.44E-0
		OMV4AM1	Auxiliary Engines - Maneuvering	,	135	270	0.43	20	-	1460	1	4.82E-02	2.11E-03	9.83E-03	3.59E-03	3.49E-03	3.05E-05	4.36E-07	2.45E-04	3.34E+00	4.03E-05	1.63E-0
able Inspection/Repairs		****	1 - 0 - 1 - 0 - 1	-	-	710	71,14		_				71117.70	2347.74	4746-44	477-44	*****	7,444		44.444		
	Aulti-role survey vessel	OMV5T1	Main Engine - In Transit		392	784	0.83	50	5	250	Sparrows	1.05E-01	1.39E-03	2.47E-02	3.09E-03	2.99E-03	6.18E-05	3.74E-07	1.76E-04	6.77E+00	2.69E-05	3.31E-04
		OMV5M1	Main Engine - Maneuvering	9.00	392	784	0.2		-	150	Point	8.75E-02	1.16E-03	2.06E-02	2.57E-03	2.49E-03	5.14E-05	3.11E-07	1.47E-04	5.64E+00	2.24E-05	2.75E-04
		DMVSAT1	Auxiliary Engines - Transit	- 4	135	270	0.43	50	5	250		1.74E-02	7.64E-04	3.55E-03	1.30E-03	1.26E-03	1.10E-05	1.58E-07	8.86E-05	1.21E+00	1.46E-05	5.90E-05
	-	OMV5AM1	Auxiliary Engines - Maneuvering	- 1	135	270	0.43				1	6.02E-02	2.64E-03	1.23E-02	4.48E-03	4.36E-03	3.81E-05	5.45E-07	3.06E-04	4.17E+00	5.04E-05	2.04E-04
ally O&M and Miscellane	iniic		1 0 0 0 0 0 0 0 0 0 0 0 0 0 0 0 0 0 0 0	-								7777					1975.50			1075,00		
CONTRACTOR DESCRIPTION OF	rew transfer vessel #1	OMV6T1	Main Engine - In Transit	$\overline{}$	749	1,498	0.83	33	365	11,880	Ocean City	1.17E+00	1.24E-01	150E+00	2.61E-02	2.61E-02	3.91E-03	3.26E-06	1.05E-02	4.43E+02	5.34E-03	2.16E-02
esse		OMV6M1	Main Engine - Maneuvering	- ,	749	1,498	0.2		343	11,000	action and	2.60E+00	2.75E-01	3.33E+00	5.79E-02	5.79E-02	8.68E-03	7.23E-06	2.34E 02	9.83E+02	1.19E-02	4.80E-02
	- t	OMV6AT1	Auxiliary Engines - Transit	-	20	40	0.43	33	365	11,880	1 1	5.23E-02	1.26E-03	2.23E-02	1.35E-03	1.35E-03	5.41E-05	1.69E-07	1.316-04	6.12F+00	7.39E-05	2.99E-04
	-	OMV6AM1	Auxillary Engines - Maneuvering		20	40	0.43	- 22	303	11,000	1	4.82E-01	1.16E-02	2.06E-01	1.25E-02	1.25E-02	4.98E-04	1.56E-06	1.206-03	5.64E+01	6.81E-04	2.76E 03
ally crew transfer C	rew transfer vessel #2	OMV7T1	Main Engine - In Transit		749	1,498	0.83	33	365	11,880	Ocean City	1.17E+00	1.24E-01	1.50E+00	2.61E-02	2.61E-02	3.91E-03	3.26E-06	1.05E-02	4.43E+02	5.34E-03	2.16E-02
essel	Tew transier vesser #2	OMV7M1	Main Engine - Maneuvering	,	749	1,498	0.2	33	303	11,000	ocean city	2.60E+00	2.75E-01	3.33E+00	5.79E-02	5.79E-02	8.68E-03	7.23E-06	2.346-02	9.83E+02	1.19E-02	4.80E-02
	-	DMV7AT1	Auxiliary Engines - Transit	-	20	40	0.43	33	365	11,880	1	5.23E-02	1.26E-03	2.23E-02	1.35E-03	1.35E-03	5.41E-05	1.69E-07	1.31E-04	6.12E+00	7.39E-05	2.99E-04
		OMV7AM1	Auxiliary Engines - Maneuvering	1	20	40	0.43	-		11,000	1	4.82E-01	1.16E-02	2.06E-01	1.25E-02	1.25E-02	4.98E-04	1.56E-06	1.20E-03	5.64E+01	6.81E-04	2.76E-03
ally crew transfer C	rew transfer vessel #3	DMV8T1	Main Engine - In Transit	-	749	1,498	0.83	33	365	11,880	Ocean City	1.17E+00	1.24E-01	1.50E+00	2.61E-02	2.61E-02	3.91E-03	3.26E-06	1.056-02	4.43E+02	5.34E-03	2.16E-00
essel	Tew translet viesses wa	OMV8M1	Main Engine - Maneuvering	- ,	749	1,498	0.2	33	303	11,000	Ocean City	2.60E+00	2.75E-01	3.33E+00	5.79E-02	5.79E-02	8.68E-03	7.23E-06	2.34E-02	9.83E+02	1.19E-02	4.80E-0
		OMV8AT1	Auxiliary Engines - Transit	-	20	40	0.43	33	365	11,880	1	5.23E-02	1.26E-03	2.23E-02	1.35E-03	1.35E-03	5,41E-05	1.69E-07	1.31E-04	6.12E+00	7.39E-05	2.99E-0
	-	OMV8AM1	Auxiliary Engines - Maneuvering	1	20	40	0.43	- 33	300	11,000	1	4.82E-01	1.16E-02	2.06E-01	1.256-02	1.25E-02	4.98E-04	1.56E-06	1.205-03	5.64E+01	6.81E-04	2.76E-0
ally crew transfer C	rew transfer vessel #4	OMV9T1	Main Engine - In Transit	- 1	749	1,498	0.43	33	365	11,880	Ocean City	1.17E+00	1.24E-01	1.50E+00	2.61E-02	2.61E-02	3.91E-03	3.26E-06	1.05E-02	4.43E+02	5.34E-03	2.16E-0
esal	Jew Dansier vesser##	OWANT	Main Engine - Maneuvering	9.5	749	1,498	0.2	33	303	11,000	OceanCity	2.60E+00	2.75E-01	3.33E+00	5.79E-02	5.79E-02	8.68E-03	7.23E-06	2.34E-02	9.83E+02	1.196-02	4.80E-0
-		DMV9AT1		- 4	20	40	0.43	33	365	11,880	1	5.23E-02	1.26E-03	2.23E-02	1.35E-03	1.35E-03	5.41E-05	1.69E-07	1.316-04	6.12E+00	7.39E-05	2.99E-0
		OMV9ANI	Auxiliary Engines - Transit	-		_		33	303	11,000	1	5.23E-02 4.82E-01	1.16E-02		777777					77.555 555	F1P10079	
		- 61931-393	Auxiliary Engines - Maneuvering	2	20	40	0.43	**	100		Decision Pro-			2.06E-01	1.25E-02	1.25E-02	4.98E-04	1.56E-06	1.20E-03	5.64E+01	6.81E-04	2.76E-0
Environmental Spe monitoring Vessel	partfisher	OMV1071	Main Engine - In Transit	3.1	749	1,498	0.83	33	100	3,255	Ocean City	4.37E+00	1.92E-01 6.82E-03	8.03E-01	1.92E-01	1.87E-01	2.77E-03	2.34E-05	1.95E-02	3.03E+02	3.66E-03 1.30E-04	1.48E-0
Automobility version		OMV10M1	Main Engine - Maneuvering	2	749	1,498	0.2	- 12	100	1300		1.55E-01		2.85E-02	6.82E-03	6.66E-03	9.83E-05	8.32E-07	6.92E-04	1.08E+01		5.26E-0
		OMV10AT1	Auxiliary Engines - Transit	100		40	0.43	33	100	3,255	1	6.05E-02	2.65E-03	1,23E-02	4.50E-03	4.38E-03	3.83E-05	5.48E-07	3.07E-04	4.19E+00	5.06E-05	2.05E-0
		OMV10AM1	Auxiliary Engines - Maneuvering	2	20	40	0.43					8.92E-03	3.91E-04	1.82E-03	6.64E-04	6.46E-04	5.64E-06	8.08E-08	4.53E-05	6.18E-01	7.46E-06	3.02E-05
lectrical Service 1	50 kW standard diesel	OMD1	Engine	4	150	600	1.00	N/A	N/A	N/A	N/A	2.65E-01	1.26E-01	2.31E+00	1.98E-02	1.98E-02	4.50E-03	0.00E+00	1.16E-02	4.89E+02	1.98E-02	3.97E-03

It should be noted that the US Wind projected emissions are essentially at the MDE limits so there is no allowance for additional emissions should turbine maintenance necessitate additional vessel support.

Little data exists for offshore wind turbine failure rates. However, Carroll, McMillan, and McDonald published a detailed paper in the August 2015 edition of *Wind Energy* titled "Failure rate, repair time and unscheduled O&M cost analysis of offshore wind turbines" [1]. Their study is based on roughly 350 offshore wind turbines throughout Europe as the European turbine fleet are the most mature offshore wind turbines in the world. Their data set consists of over 1768 turbine years of operational data. Further, turbine sizes in the data set are between 2MW and 4MW (i.e. much smaller than the 10+ MW machines slated to be anchored off the Maryland Coast).

The results of the Carroll, McMillan, and McDonald study revealed an average turbine failure rate of 8.3 failures per turbine per year consisting of 6.2 minor repairs, 1.1 major repairs, and 0.3 major replacements. Minor repairs can be assumed to be addressed in one shift (i.e. one transfer vessel trip to affected turbine tower). Major repairs were found to take roughly 75 hours or 6 shifts (i.e. six transfer vessel trips to affected turbine tower). Major replacements were found to take roughly 250 hours or 20 shifts (i.e. twenty transfer vessel trips to affected turbine tower).

The following annual transfer vessel trips would be required if one applies the above failure rate to the 114 Maryland Offshore Wind Project Fleet:

6.2 minor repairs = 6.2 trips/yr

1.1 major repairs = $6 \cdot 8 \cdot 1.1 = 6.6 \cdot$

0.3 major replacements = $20 \text{ shifts x } 0.3 = \frac{6.0 \text{ trips/yr}}{20 \text{ shifts x } 0.3}$

Average annual trips/turbine = 18.8 trips/yr

TOTAL estimated annual trips for 114 turbines = 2143.2 trips

In order to maintain the 114 turbine fleet, **5.9 transfer vessels** will be required to operate 365 days/yr (2143.2/365 = 5.9 vessels). Recognize, the US Wind emissions are already at limit with their planned 4 vessel marine fleet.

One also needs to understand that major replacements will require large cranes to be transported to the affected towers to address the failed components. The emissions generated to transport and operate cranes and other heavy equipment is <u>not</u> estimated but will only add to the annual emissions total.

Further, all turbines require routine and preventive maintenance PMs as required by the turbine original equipment manufacturers OEMs to help prevent premature component failures. Routine greasing and battery checks are examples of these preventive maintenance tasks. It's estimated that each tower will require an additional 3 trips/yr to address PMs and routine maintenance which equates to an additional 342 trips/yr for all 114 turbines. That said, one additional transfer vessel will be required to address PMs and routine maintenance tasks. Hence, at least **7** transfer vessels will now be required to meet the maintenance needs.

More importantly, the Maryland Offshore Wind Project will construct amongst the largest wind turbines available. These turbines will be significantly greater in size than the 2-4 MW turbines analyzed in the Carroll, McMillan, and McDonald study. As pointed out by Carroll, McMillan, and McDonald "larger turbines have higher failure rates". Similarly, Hoffman and state in a paper published in Energy Precedia "Based on the results of this paper, it can be concluded that higher failure rates will quite fast counterbalance the benefits of large wind turbines" [2]. Even the Department of Energy recognizes "the lack of maturity of larger offshore wind turbines can lead to high finance, reliability (e.g. premature component failures) and safety risks" [3].

Because limited reliability data exists of large (10+ MW) offshore wind turbines, Alejandro Sanchez at the University of Ferrara has developed a reliability model to predict the failure rates of a 10MW offshore wind turbine [4]. His model predicts greater than 16 failures/turbine/yr which is essentially double

the failure rate as tabulated by Carroll, McMillan, and McDonald with their 2-4 MW turbine population. If Sanchez's model is correct, a transfer vessel fleet of **14** will be required. Focusing on NOx emissions alone, US Wind projects each transfer vessel to generate 4.3 tons of NOx/yr. A **14** vessel fleet would generate in excess of 60 tons of NOx each year far exceeding the 25 tons/yr limit. Recognize, these figures don't account for the additional emissions generated from the cranes, heavy equipment, and transport of such.

Conclusion

US Wind is constrained to operate within the emission limits as mandated by the Maryland Department of the Environment. These emissions are generated from marine vessel engines used to support crew transfers to turbines, turbine maintenance, and for system monitoring. US Wind has projected a support vessel fleet that narrowly falls within the MDE emissions limits. However, US Wind has significantly underestimated the marine vessel fleet that will be required to maintain the Maryland Offshore Wind Project 114 turbines by orders of magnitude. Many studies exist that identify or project offshore wind turbine failure rates, and no studies indicate failure rates that align with the proposed US Wind support vessel fleet. To keep up and address the failed turbines, US Wind will need to double, triple, or quite possibly quadruple the size of their marine support fleet to ensure reasonable levels of turbine availability.

Kevin Gibbs

Stop Offshore Wind Board Member

Cc:

Chris Hoagland – Director of Air and Radiation Administration - chris.hoagland@maryland.gov
U.S. Rep. Andy Harris R (MD 1) - Anna.A@mail.house.gov, Travis.Trejo@mail.house.gov
MD State Senator Mary Beth Carozza R (D 38) - marybeth.carozza@senate.state.md.us
MD State Delegate Wayne Hartman R (D 38C) - Wayne.Hartman@house.state.md.us
Ocean City Mayor Rick Meehan - RMeehan@oceancitymd.gov

References

- [1] Carroll J, McMillan D, McDonald A. Failure Rate, Repair Time and Unscheduled O&M Cost Analysis of Offshore Wind Turbines. Wind Energy 2015
- [2] Hoffman M, Sperstad I. Will 10 MW Wind Turbines Bring Down the Operation and Maintenance Cost of Offshore Wind Farms? Energy Procedia 2014
- [3] U.S. Department of Energy. An Operations and Maintenance Road Map for U.S. Offshore Wind. May 2024
- [4] Sanchez A. Reliability of a 10MW Offshore Wind Turbine. EWEA Conference Paper. Nov 2015



Shannon Heafey -MDE- <shannon.heafey@maryland.gov>

Offshore wind- I oppose air quality permits being granted for the offshore wind operations

1 message

kwolfsden@gmail.com < kwolfsden@gmail.com > To: shannon.heafey@maryland.gov

Mon, Jan 13, 2025 at 5:04 PM

I am strongly against the issuance of any air quality permits for offshore wind in the Ocean City area, or anywhere that can be seen from the Maryland coast. Object to the amount of pollutants that this construction would inflict upon this precious environmental area. Thank you

Kenneth D Wolf

636 magothy view dr Arnold MD 21012



Re: Air Quality Permits

1 message

Roger B WOOLEYHAN <4WOOLEYS@msn.com>

To: Shannon Heafey -MDE- <shannon.heafey@maryland.gov>

Fri, Jan 17, 2025 at 10:47 AM

Good morning Ms Heafey, Thank you for kindly catching this! Yes please direct our email to

draft Air Quality Permit for the Department of the Environment's Air Quality Permits Program Appreciate your support, Sincerely, Elizibeth Wooleyhan Watermen's Association of Worcester County

Sent from my iPhone

On Jan 17, 2025, at 9:31 AM, Shannon Heafey -MDE- <shannon.heafey@maryland.gov> wrote:

Good Morning Ms. Wooleyhan,

Your email is addressed to the Public Service Commission, not to the Department of the Environment. If you intended to submit this email as formal testimony for the draft Air Quality Permit for the Department of the Environment's Air Quality Permits Program, please let me know.

Thank you, Shannon Heafey

> Shannon Heafey Public Participation Coordinator Air Quality Permits Program, Air and Radiation Administration Maryland Department of the Environment 1800 Washington Boulevard, Baltimore, Maryland 21230 shannon.heafey@maryland.gov 410-537-4433

On Fri, Jan 17, 2025 at 7:30 AM Roger B WOOLEYHAN <4wooleys@msn.com> wrote: Dear Public Service Commission,

I oppose all 3 air quality related permits in consideration.

Air pollution from the US Wind Project will come from the following sources:

- o Marine vessels used during construction (47)
- o Marine vessels used for operations/maintenance (10)
- o Diesel generators located at the four offshore power substations (4)

The proposed permits allow US Wind to produce the following levels of Emissions each

year during the initial 3 years of construction and operations:

- o 616 tons of NOx (nitrous oxides
- o 149 tons of CO (carbon monoxide)
- o 39 tons of PM-10/2.5 (particulate matter)
- o 11 tons of VOC (Volatile Organic Compounds)
- o 2 tons of SO2 (Sulphur dioxide)

Thank you for this opportunity to comment. Sincerely, Elizibeth Wooleyhan Watermen's Association of Worcester County

Sent from my iPhone



Re: Air Quality permits

1 message

Roger B WOOLEYHAN <4WOOLEYS@msn.com>

To: Shannon Heafey -MDE- <shannon.heafey@maryland.gov>

Fri, Jan 17, 2025 at 10:44 AM

Thank you Ms Heafey, yes please direct my email to draft Air Quality Permit for the Department of the Environment's Air Quality Permits Program Thank you, sincerely Roger Wooleyhan

Sent from my iPhone

On Jan 17, 2025, at 9:32 AM, Shannon Heafey -MDE- <shannon.heafey@maryland.gov> wrote:

Good Morning Mr. Wooleyhan,

Your email is addressed to the Public Service Commission, not to the Department of the Environment. If you intended to submit this email as formal testimony for the draft Air Quality Permit for the Department of the Environment's Air Quality Permits Program, please let me know.

Thank you, Shannon Heafey

> Shannon Heafey Public Participation Coordinator Air Quality Permits Program, Air and Radiation Administration Maryland Department of the Environment 1800 Washington Boulevard, Baltimore, Maryland 21230 shannon.heafey@maryland.gov 410-537-4433

On Fri, Jan 17, 2025 at 7:27 AM Roger B WOOLEYHAN <4wooleys@msn.com> wrote: Dear Public Service Commission

I oppose all 3 air quality related permits in consideration.

Air pollution from the US Wind Project will come from the following sources:

- o Marine vessels used during construction (47)
- o Marine vessels used for operations/maintenance (10)
- o Diesel generators located at the four offshore power substations (4)

The proposed permits allow US Wind to produce the following levels of Emissions each

year during the initial 3 years of construction and operations:

- o 616 tons of NOx (nitrous oxides
- o 149 tons of CO (carbon monoxide)
- o 39 tons of PM-10/2.5 (particulate matter)
- o 11 tons of VOC (Volatile Organic Compounds)
- o 2 tons of SO2 (Sulphur dioxide)

Thank you, I appreciate the chance to comment.

Sincerely, Roger B Wooleyhan with The Watermen's Association of Worcester

Sent from my iPhone

LAW OFFICES OF STEPHANI J. BALLARD, LLC 100 ROCKLAND ROAD P.O. BOX 614 MONTCHANIN, DE 19710

PHONE: (302) 379-9549

FAX: (302) 504-4789

EMAIL: SJBALLARD@COMCAST.NET

STEPHANI J. BALLARD, ESQUIRE

March 7, 2025

Ms. Shannon Heafey via email: shannon.heafey@maryland.gov Maryland Department of Environment

RE: Comments re: Application for Air Quality Permit by US Wind

I am a Delaware resident and property owner in North Bethany Beach, Delaware, within the scope of the area directly affected by the proposed Maryland Offshore Wind/US Wind Project, which has sought, and is required to obtain, various federal, state and local permits. I have also previously filed comments, including to the DEIS, in the federal permitting process for this Project, as well as in related Delaware State and local proceedings. I am also an attorney specializing in administrative and regulatory law, land use, and government-related matters. Should the subject permit be granted, I reserve all applicable rights to file appeals or litigation on behalf of myself and/or other impacted parties.

1. Background and Procedural Posture of the Subject Application.

On August 5, 2022, US Wind (USW) initially filed a NOI with US EPA to apply for an Outer Continental Shelf (OCS) Air Permit – one of the required permits to obtain federal approval for the Project. Federal action was "cancelled" and the permit application was redirected to the State of Maryland for action, as the EPA

¹ Federal Permitting Dashboard, https://www.permits.performance.gov/permitting-project/fast-41-covered-projects/maryland-offshore-wind-project

found the required Air Permit to be "attributable to the State of Maryland." Air Quality permitting for certain states have been delegated by the OCS permitting program to certain states (DE and MD among them)). USW proceeded accordingly and applied to MD for the air quality permit on November 30, 2023 (electronic filing) and December 7, 2023 (hard copy filing). The USW application to MD, acknowledging the regulatory framework, and the fact that the application is subject to the statutory and regulatory requirements of the federal Clean Air Act (CAA), as well as MDDOE requirements, with Maryland being the EPA-delegated body for regulatory review.³

The Clean Air Act at Section 328(a)(1) requires that the United States Environmental Protection Agency (USEPA) establish air pollution control requirements for OCS sources located within 25 NM of states' seaward boundaries that are the same as onshore requirements. USEPA's implementing OCS Air Regulations, found at 40 CFR Part 55, apply to all OCS sources in federal waters except those located in certain areas of the Gulf of Mexico. OCS sources located within 25 NM of a states' seaward boundaries are subject to the federal requirements set forth in 40 CFR Part 55.13 and the federal, state, and local requirements of the Corresponding Onshore Area (COA) set forth in 40 CFR Part 55.14. Maryland has been designated as the COA. Notable federal, state, and local requirements of the COA incorporated by reference into 40 CFR Part 55.13 and 55.14 that pertain to the OCS air permit application include New Source Performance Standards (NSPS), National Emission Standards for Hazardous Air Pollutants (NESHAPs), Prevention of Significant Deterioration (PSD) review, Maryland Department of the Environment (MDE) air regulations at 26 Code of Maryland Air Regulations (COMAR), and Nonattainment New Source Review (NNSR). This OCS air permit application documents compliance with applicable air quality requirements incorporated into the OCS permitting program at 40 CFR Part 55. In accordance with 40 CFR 55.4, the USEPA has delegated the MDE authority to implement 40 CFR Part 55, which requires new OCS stationary sources to obtain a permit from MDE prior to commencing construction. A Notice of Intent (NOI) for the Project was submitted to the USEPA and MDE on August 5, 2022, which is included in the Agency correspondence in Appendix B-1.

_

² Id.

³ Maryland Offshore Wind Project OCS Air Permit Application (November 2023), pp. 1-1; 3-1.

3.0 REGULATORY REQUIREMENTS

Section 328(a) of the Clean Air Act requires that USEPA establish air pollution control requirements for OCS sources located within 25 nautical miles of states' seaward boundaries that are the same as onshore requirements. This includes, but is not limited to, state and local requirements for emission controls, emission limitations, emission offsets, permitting, monitoring, testing, and reporting. The purpose of this requirement is to attain and maintain Federal and State ambient air quality standards. USEPA's OCS implementing regulations, found at 40 CFR Part 55, apply to all OCS sources offshore of the states except those located in certain areas of the Gulf of Mexico.

OCS sources located within 25 NM of a States' seaward boundaries are subject to the Federal requirements set forth in 40 CFR Part 55.13 and the Federal, State, and local requirements of the COA set forth in 40 CFR Part 55.14. Because the Project's WDA is located on the OCS within 25 NM of Maryland's seaward boundary, the Project is subject to the applicable requirements of the most current Maryland Air Regulations that are listed in Appendix A of the OCS Air Regulations. Notable federal, state, and local requirements of the COA incorporated by reference into 40 CFR Part 55.13 and 55.14 include NSPS, PSD review, and NNSR review.

Similarly, the State of Maryland (DOE), in its Air Quality Permit-to-Construct Fact Sheet and Draft Permit acknowledges the applicable federal CAA laws and that it is acting as the federal delegee for purposes of the AQ permit:

II. PROJECT DESCRIPTION

In accordance with 40 CFR, Part 55, air pollution emissions generated from the construction, commissioning, operation, maintenance, and decommissioning of offshore wind turbine generators on the OCS are regulated under the Clean Air Act and subject to air quality permit requirements. The U.S. EPA has delegated authority to the State of Maryland to issue air permits for OCS projects for which Maryland is the corresponding onshore area (COA).

2. The Permit before this Agency may not be granted because such permits must, pursuant to the Clean Air Act, be granted or denied no later than one year after the application is deemed complete. The current permit Application is now time barred.

By federal statute, the Clean Air Act provides that air quality permits must be granted or denied "not later than one year" after the application is deemed "complete."

(c) Permit applications

Any completed permit application under section 7410 of this title for a major emitting facility in any area to which this part applies shall be granted or denied *not* later than one year after the date of filing of such completed application.

42 U.S.C.A. § 7475 (West) (Preconstruction Requirements) [CAA §165(c)] (emphasis added).

The EPA and BOEM, in their guidance on OCS permitting, recognize this one-year deadline.⁴

- By statute (CAA § 165(c)), the permitting authority has 1-year from the date that the permit application is determined complete to grant or deny the final permit. This is particularly relevant for those permits that are subject to the PSD preconstruction permitting requirements. For Title V operating permits, a final permit decision must be made within 18 months after the date the application is determined complete. Where an OCS permit addresses multiple requirements (PSD, Title V, etc.) we usually seek to make that final decision as early as possible.
- Once the permitting authority has all necessary information and determines the permit
 application complete, the permitting authority will begin to evaluate the permit application.
 If additional information is necessary during that evaluation, the permitting authority will
 request that information from the permit applicant.

The relevant dates concerning this application are as follows:

- US Wind submitted NOI for Air Permit to EPA on 8/5/22
- EPA "cancelled" action based on authorization being identified as attributable to MDDOE, on or about 7/7/23
- USW submitted its Air Quality Permit application to Maryland DOE 11/30/23, with hard copy follow up on 12/7/23
- The OCS Air Permit Application was deemed "administratively complete on Jan. 4, 2024"⁵

%20Maryland%20Offshore%20Wind%20Final%20EIS_%20AppA_RequiredPermits_2024_30Aug2024.pdf

⁴ https://www.epa.gov/system/files/documents/2024-07/outer-continental-shelf-air-permitting-seminar-2.26.24-notes.pdf

⁵ Appendix A, Required Environmental Permits and Consultations, BOEM FEIS, Volume 1, BOEM 2024-024, Docket Number: BOEM. (linked on Maryland DOE permit page). https://mde.maryland.gov/programs/permits/AirManagementPermits/Documents/US%20Wind/2%20-

Agency/Regulatory Authority	Permit/Approval	Status
State of Maryland		
Maryland Department of Environment (MDE) (delegated authority from U.S. Environmental Protection Agency)	Outer Continental Shelf (OCS) Clean Air Act Permit	US Wind submitted an OCS Air Permit Application on August 17, 2023. Alternative Model Requested approved by MDE on September 11, 2023. OCS Air Permit Application deemed administratively complete on January 4, 2024.

Pursuant to the statutory deadline imposed by the Clean Air Act, the final Air Quality Permit and related permits for this project were required to be granted or denied **no later than January 4, 2025.** It is undisputed that no final permits have been issued as indeed, as of January 4, 2025, the public comment and review period was (and is still) ongoing.⁶

While this agency did post a "draft/tentative" permit and approval document sometime prior to 1/4/25 (the relevant documents on the MD permitting site are undated), they remain in "draft" form, and unsigned, and in no way can be considered "final" approvals. Additionally, pursuant to <u>COMAR</u> §26.11.02.11, if the "Department receives adverse comments, it must review and address them and then is required to prepare a "final determination" as to whether to issue or deny the permit. In other words, in cannot simply adopt the "draft" permit as the final permit. Adverse comments, including these comments, have been received, and remain unaddressed.⁷ Again, it is undisputed that no final determination was issued by the January 4, 2025 statutory deadline.

The one-year limitations period to act on an OCS Air Quality permit is strict, clear and unambiguous. If the intent of Congress is clear, that is the end of the matter; for . . . the agency, must give effect to the unambiguously expressed intent of Congress. *Chevron, U.S.A., Inc. v. Nat. Res. Def. Council, Inc.*, 467 U.S. 837,

⁶ A public hearing was held, at which comments in opposition to the application were received, on January 9, 2025, and the public comment period for written comments remains open until March 17, 2025.

⁷ COMAR provides that the "Department shall consider all public comments that raise issues of law or material fact regarding an application for a permit or a tentative determination, but only if the issues are pertinent to requirements of the Clean Air Act...."

842–43, 104 S. Ct. 2778, 2781, 81 L. Ed. 2d 694 (1984), overruled on other grounds by Loper Bright Enterprises v. Raimondo, 603 U.S. 369, 144 S. Ct. 2244, 219 L. Ed. 2d 832 (2024).

There is nothing in COMAR 26.11.02, or other Maryland law, that would supersede or modify the EPA's 1 year deadline for action on a permit application, and any such provision would be subordinate to the federal law in any event. As an EPA delegee for purposes of the OCS Air Quality Permit, this body has only those powers set forth and delegated by the federal statutes it is administering.

For the foregoing reasons, **MDDOE must dismiss and/or administratively deny** the current US Wind application for Air Quality and related construction permit(s), as it is statutorily time-barred and cannot lawfully be granted. Any attempt by this body to do, following the expiration of the one-year deadline, so would be *ultra vires* and void.

Respectfully submitted,

/s/ Stephani Ballard Wagner

Stephani J. Ballard Wagner

Mary Beth Carozza

Legislative District 38

Somerset, Wicomico,
and Worcester Counties

Education, Health, and Environmental Affairs
Committee



Annapolis Office

James Senate Office Building

11 Bladen Street, Room 314

Annapolis, Maryland 21401

410-841-3645 · 301-858-3645

800-492-7122 Ext. 3645

Fax 410-841-3006 · 301-858-3006

MaryBeth.Carozza@senate.state.md.us

THE SENATE OF MARYLAND Annapolis, Maryland 21401

January 7, 2025

The Honorable Selena McIlwain Secretary, Maryland Department of the Environment 1800 Washington Boulevard Baltimore, Maryland 21230

Dear Secretary McIlwain:

Thank you for the opportunity to offer comments regarding US Wind's air quality permit application for the construction and operation of its Maryland Offshore Wind Project consisting of 121 wind turbine generators, up to four offshore substations, and one meteorological tower to be located 10 miles off the coast of Worcester County, Maryland.

As wind turbines have been installed in other locations, mostly in Europe, over time it is possible to gather quantitative information on their various impacts.

We now know that offshore wind turbines are subject to the "wake effect" which creates less energy in the airflow downwind than the airflow upwind. As turbines are in rows, each turbine reduces the airflow available to the one behind it. Not only does this reduce energy plume making the project inefficient, it increases the ozone levels in the surrounding area as ozone levels increase when airflow is reduced.

It is imperative that the Maryland Department of the Environment review the significance of the negative impact of the "wake effect" from the offshore wind turbines and respond to the following questions.

Is the negative impact of the "wake effect" from offshore wind turbines enough to justify the denial of this air quality permit?

What is the amount of increase in ozone levels?

Is it impacted by water salinity, current speed, ambient temperature, average wind speed, number and position of turbines, or distance between them?

In addition, multiple questions have been raised regarding the number of vessels that US Wind plans to use for the construction, operation, and maintenance of its offshore wind energy project.

Given these serious questions and unresolved issues, I believe it would be irresponsible for the Maryland Department of the Environment to rush to approve US Wind's air quality permit for this project.

My constituents and taxpayers across the State of Maryland have pointed out how dismayed they would be to discover that the proposed offshore wind energy solution for increased clean energy would actually be the cause for increased ozone with its many negative health effects.

As the sole State Senator representing Maryland's Coast and Maryland's only ocean beach town, I consistently have maintained that insufficient research and data collection are being used to justify moving forward with a project that will have long-range negative impacts on the environment, marine life, commercial fishing, and the hospitality industry at an enormous cost to Maryland's ratepayers and taxpayers at a time when Maryland faces a budget crisis.

The opposition to US Wind's proposed offshore wind energy project continues to mount with a working coalition made up of local residents and visitors, commercial watermen, boaters, environmentalists, hotel, motel and restaurant operators, small business owners and their employees, elected officials at every level of government, and a growing number of concerned Maryland residents and their families who have been enjoying their family vacations on Maryland's Coast for generations and are joining the fight to protect our Shore way of life.

We urge the leadership of the Maryland Department of the Environment and all of Governor Wes Moore's Administration to hear and respond to our voices.

Thank you for your kind consideration of my testimony.

In Service,

MARY BETH CAROZZA State Senator -District 38

Worcester, Wicomico, Somerset



U.S. Wind Inc. Maryland Offshore Wind Project

1 message

Sal Giordano <mrgiordano1075@gmail.com> To: Shannon.heafey@maryland.gov

Fri, Jan 10, 2025 at 12:13 PM

Dear Ms. Heafey,

I am writing to express my deep concerns regarding the proposed installation of wind turbines off the east coast of Ocean City, Maryland. While renewable energy is an important component of sustainable development, the specific location and impact of these turbines raise several critical issues that must be addressed. I urge you to reconsider this project due to its significant environmental, economic, and aesthetic drawbacks.

Environmental Impacts

The construction and operation of offshore wind turbines pose serious threats to marine ecosystems. The seabed disruption caused during the installation process can harm vital benthic habitats that support a diverse range of marine life. Ocean City's coastal waters are home to various fish species, shellfish, and migratory birds, many of which could be negatively affected by noise pollution, vibrations, and electromagnetic fields generated by the turbines. Additionally, studies have shown that wind farms can alter the natural migratory patterns of birds and marine mammals, increasing their risk of injury or death.

The long-term maintenance of these structures may also introduce pollution risks from potential oil and lubricant leaks. Furthermore, decommissioning outdated turbines creates another environmental challenge, as the disposal of turbine blades and other components often generates substantial waste that is difficult to manage.

Economic Concerns

Ocean City's economy relies heavily on tourism and recreational activities, including fishing, boating, and beachgoing. The visual impact of towering wind turbines, some reaching over 600 feet tall, could significantly diminish the natural beauty of the coastline, deterring visitors and damaging the town's tourism-dependent businesses. Studies from other coastal communities have shown a decline in property values and tourist interest when large-scale wind projects disrupt scenic ocean views.

The fishing industry, another cornerstone of the local economy, also faces potential threats. Changes in marine habitats, increased boat traffic, and restricted fishing zones near turbine areas could lead to reduced fish stocks and limit access for commercial and recreational fishermen, further impacting livelihoods.

Aesthetic and Cultural Considerations

The iconic, unobstructed ocean views of Ocean City are a cherished aspect of its cultural identity and appeal. Wind turbines visible from the shore could alter this landscape, turning serene seascapes into industrial zones. For generations, residents and visitors have enjoyed the pristine beauty of these beaches, and preserving this natural asset is critical to maintaining Ocean City's charm and economic vitality.

Alternatives to Consider

Rather than jeopardizing Ocean City's marine environment and tourism-driven economy, resources could be directed toward alternative renewable energy projects that have fewer localized impacts. Solar energy initiatives and land-based wind farms in less sensitive areas offer promising opportunities for sustainable development without compromising the natural beauty and ecological integrity of our coastal waters.

In conclusion, while renewable energy is essential for a sustainable future, the proposed wind turbine project off the coast of Ocean City poses too many significant risks to the environment, economy, and cultural landscape. I strongly urge decision-makers to explore alternative solutions that balance renewable energy goals with the preservation of Ocean City's unique and valuable resources.

Thank you for considering these important concerns. I hope that thoughtful reconsideration will lead to a more balanced and sustainable path forward.

Sincerely, Salvatore Giordano



Off Shore Wind

1 message

Tony Matrona <tonymatrona@comcast.net>

Tue, Jan 21, 2025 at 11:52 AM

To: "shannon.heafey@maryland.gov" <shannon.heafey@maryland.gov>

Offshore wind is wrong for MD and Wrong for USA

- 1. Most expensive energy.
- 2. Not reliable
- 3. Requires massive Government subsidies.
- 4. Not better for environment, harmful to birds and whales.
- 5. Destroys ocean vista's.
- 6. Windmills don't last more than 10 or 20 years.

Tony Matrona

Berlin, MD



Mario Cora -MDE- <mario.cora@maryland.gov>

US Wind comments - draft PSD approval

1 message

Jodziewicz, Laurie < l.jodziewicz@uswindinc.com>

Fri, Jan 24, 2025 at 11:40 AM

To: Shannon Heafey -MDE- <shannon.heafey@maryland.gov>

Cc: "mario.cora@maryland.gov" <mario.cora@maryland.gov>, "suna.sariscak@maryland.gov" <suna.sariscak@maryland.gov>, Lian Zhuang -MDE- - clian.zhuang@maryland.gov>, "Sumner, Todd" <t.sumner@uswindinc.com>, "Feinblatt, Michael" <mfeinblatt@trccompanies.com>, "Ometz, Darin" <DOmetz@trccompanies.com>

Dear Ms. Heafey,

Please see the attached comments from US Wind on the draft Prevention of Significant Deterioration Tentative Determination and Approval. We look forward to working with the Department to clarify any questions regarding our comments. Please do not hesitate to contact me.

Sincerely,

Laurie Jodziewicz



Laurie Jodziewicz (she/her)

Vice President, Environmental Affairs

401 East Pratt Street, Suite 1810

Baltimore, MD 21202

410-340-9428 (cell)

I.jodziewicz@uswindinc.com

The information contained in this email may be confidential and/or legally privileged. It has been sent for the sole use of the intended recipient(s). If the reader of this message is not an intended recipient, you are hereby notified that any unauthorized review, use, disclosure, dissemination, distribution, or copying of this communication, or any of its contents, is strictly prohibited. If you have received this communication in error, please reply to the sender and destroy all copies of the message. Thank you.

7

2025-01-24 US Wind Maryland_OCS Air Permit_Permit Comments_final.pdf 375K



January 24, 2025

Ms. Shannon Heafey
Public Information Officer
shannon.heafey@maryland.gov
Maryland Department of the Environment
1800 Washington Blvd.
Baltimore, MD 21230

Re: Comments on MDE draft PSD, NSR and Permit-to-Construct Permits Maryland Offshore Wind Project – US Wind, Inc.

Dear Ms. Heafey:

The purpose of this letter is to provide comments on the draft PSD, NSR and Permit-to-Construct permits for the US Wind, Inc. (US Wind) Maryland Offshore Wind Project (the Project) that the Department issued for a 30-day public review on December 5, 2024. The public comment period has since been extended for an additional 60 days, to March 17, 2025.

US Wind is providing the attached comments to the draft PSD approval. In addition to the PSD approval, US Wind requests that the Department incorporate the comments into the draft PSD approval fact sheet. The modeling files will be transmitted electronically under separate cover.

We look forward to working with you to address these comments. Please contact me at 410-340-9428 or 1.jodziewicz@uswindinc.com if you have any questions regarding these responses.

Sincerely,

Laurie Jodziewicz

Vice President, Environmental Affairs

US Wind, Inc.

Enclosures: US Wind Comments on the draft PSD Approval for the Maryland Offshore Wind

Project

cc: Todd Sumner, US Wind

Michael Feinblatt, TRC Companies

LiAn Zhuang, Air Quality Modeler, Modeling and Analysis Division



Maryland Offshore Wind Project - US Wind, Inc. Comments on the Draft PSD Approval issued December 5, 2024

Comment 1. PART D - EMISSIONS RESTRICTIONS - Table 4

The draft PSD approval includes Table 4, which provides total daily emissions limits, expressed as tons per day (tpd) derived from the emissions modeled in the application to ensure compliance with the NAAQS and PSD increments.

US Wind prepared supplemental NAAQS and PSD increment analyses as detailed in Comment 2. The supplemental NAAQS and PSD increment analysis expanded the modeling analysis to include simultaneous (i.e., cumulative) operation of vessels from separate operations.

Based on the supplemental NAAQS and PSD increment analyses, US Wind requests the following revisions to Table 4 for construction time periods that include both the OSS Installation and Commissioning Periods, which in Table 1A grouped vessels for both periods that otherwise would not occur simultaneously in a 24-hour (daily) period.

Note that US Wind is also requesting revisions to the daily limits during O&M. The daily limits for NO_x and CO in the draft PSD approval are not inclusive of vessel transit, which has higher emissions than from maneuvering. The table of emissions calculations to derive the proposed daily emission limits is provided electronically with the supplemental NAAQS and PSD increment modeling files included in Comment 2.

Table 4 – Daily Emissions Limits Pollutant Maximum C&C and O&M (tpd)

Pollutant	Maximum C&C during OSS Installation Periods ¹ combined with O&M (tpd)	Maximum C&C during OSS Commissioning Periods ² combined with O&M (tpd)	O&M (tpd)
NO_2	30.06	29.54	4.52
CO	3.37	3.89	0.59
PM-10	0.32	0.28	0.06
PM-2.5	0.31	0.27	0.05

- 1. OSS Installation Period consists of the following: Scour protection installation, WTG Installation, WTG Commissioning, OSS Installation (the Vessels listed as OSS Installation Vessels in Table 1A, excluding the Refueling Offshore Service Vessel and Hotel Jack-up Vessel), Inter-Array Cable Installation, Offshore Export Cable Installation; and O&M activities.
- OSS Commissioning Period consists of the following: Foundation Installation, Scour protection installation, WTG Installation, WTG Commissioning, OSS Commissioning (the Vessels listed as OSS Installation Vessels in Table 1A, excluding the Heavy Lift Vessel, Tug, Topside Tug, Noise Mitigation Offshore Service Vessel, and Acoustic Monitoring Offshore Service Vessel), Inter-Array Cable Installation, Offshore Export Cable Installation; and O&M activities.

As described in detail in Comment 2, the revised daily limits in Table 4 above allow for certain activities to occur no closer than 2 km during OSS Installation Periods and a small subset of

activities during OSS Commissioning Periods to occur simultaneously at the same location while other activities would still occur no closer than 2 km from one another.

In summary, US Wind requests the revisions to Table 4 in the draft PSD approval based on the results of the modeling for simultaneous operations during the OSS Installation and OSS Commissioning Periods that are detailed below in Comment 2. The proposed values in Table 4 are based on the supplemental NAAQS and PSD increment modeling analyses and the detailed tables of daily emissions to determine the maximum ambient concentrations. The proposed tables of daily emissions are based on the supplemental modeling files and are available electronically by request. Note that the requested values in Table 4 are significantly greater than the current limits in the draft PSD approval. The limits in Table 4 of the draft PSD approval are based on only a single operation (i.e., Foundation Installation) and include vessels when operating in a maneuvering mode when near to an OSS or WTG. The proposed Table 4 limits include the nine (9) operations discussed in the footnotes to Table 4 (and Table 1A of the draft PSD approval) and the contributions from both vessel transit and maneuvering modes of operation. The supplemental modeling detailed in Comment 2 demonstrates compliance with the NAAQS and PSD increments with the proposed limits in Table 4.

Comment 2. PART E – OPERATING AND MONITORING REQUIREMENTS

Part E(3) of the PSD approval specifies:

"To ensure compliance with the NAAQS and PSD increments and total daily emissions limits in Part D(2), Table 4 of this Approval, only vessels for one of the following operations may be operated simultaneously unless the Permittee can demonstrate, by conducting additional emissions modeling approved by the Department, compliance at other operating conditions: Foundation Installation, WTG Installation, WTG Commissioning, OSS Installation, Interarray Cable Installation, Export Cable Installation, and O&M. [emphasis added]"

As discussed in Comment 1, US Wind prepared supplemental NAAQS and PSD increment analyses to demonstrate compliance with the NAAQS and PSD increments for simultaneous (i.e., cumulative) operation of vessels from separate operating conditions. As the PSD Fact sheet notes on Page 13, "vessels used for each of the following operations may not be operated simultaneously unless the Permittee can ensure compliance at other operating conditions: Foundation Installation, WTG Installation, WTG Commissioning, OSS Installation, Interarray Cable Installation, Export Cable Installation, and O&M."

Based on the supplemental modeling analysis detailed below, US Wind requests the following revisions to the PSD approval conditions.

Proposed PSD Approval Conditions to Part E - (3), (4), and (5)

(3) To ensure compliance with the NAAQS and PSD increments and total daily emissions limits in Part D(2), Table 4 (Maximum C&C during OSS Installation Periods combined with O&M) of this Approval, vessels from the following operations may be operated simultaneously when located greater than 2 km away from a separate operation: WTG Installation, Scour Protection Installation, WTG Commissioning, OSS Installation (the

Vessels listed as OSS Installation Vessels in Table 1A, excluding the Refueling Offshore Service Vessel and Hotel Jack-up Vessel), Inter-array Cable Installation, Export Cable Installation, and O&M. The separation distance shall be calculated based on the GPS coordinates of the center point of each operation (e.g., the monopile foundation attached to OCS).

- (4) To ensure compliance with the NAAQS and PSD increments and total daily emissions limits in Part D(2), Table 4 (Maximum C&C during OSS Commissioning Periods combined with O&M) of this Approval, vessels from the following operations may be operated simultaneously when located greater than 2 km away from a separate operation: Foundation Installation, WTG Installation, Scour Protection Installation, WTG Commissioning, OSS Commissioning (the Vessels listed as OSS Installation Vessels in Table 1A, excluding the Heavy Lift Vessel, Tug, Topside Tug, Noise Mitigation Offshore Service Vessel, and Acoustic Monitoring Offshore Service Vessel), Inter-array Cable Installation, Export Cable Installation, and O&M. Vessels associated with OSS Commissioning specified above and Export Cable Installation or Inter-array Cable Installation may be operated simultaneously at distances less than 2 away from each other. The separation distance shall be calculated based on the GPS coordinates of the center point of each operation (e.g., the monopile foundation attached to OCS).
- (5) With submittal of the Report in condition C(3), which defines each vessel contracted, each anticipated representative vessel, and each marine and non-marine engine to be used during the initial C&C and O&M of the Maryland Offshore Wind Project, permittee may provide additional modeling for NAAQS and PSD increment compliance, upon approval from the Department, for simultaneous operations at distances less than 2 km.

Supplemental Modeling Analysis

US Wind prepared supplemental NAAQS and PSD increment analyses by expanding the modeling analysis summarized in the PSD Permit Fact Sheet to include simultaneous (i.e., cumulative) operation of vessels from separate operations.

The WTGs and OSS locations are separated by 1.4 km (East-West) and 1.9 km (North-South) in a grid pattern. With the proposed permit conditions in Conditions (3) and (4), US Wind would restrict the simultaneous operation of multiple operations to occur at locations separated by a minimum distance of 2 km. In practice, these permit conditions will restrict simultaneous operation of adjacent operations. Thus, the supplemental modeling analysis for simultaneous operation of multiple construction and O&M operations was based on the 2 km restriction and vessel source locations using a grid spacing of 1.4 km (East-West) and 1.9 km (North-South). The modeled receptor grid for Class II modeling discussed in the PSD Permit Fact Sheet on Page 15 was expanded to include additional receptors placed at the 500-meter exclusion zone from each construction and O&M operation for the purposes of modeling the maximum individual and cumulative impact locations from the multiple operating scenarios. Note that the maximum modeled impact was located at or less than 500 meters from the individual operations as noted in the OCS air permit application. Consistent with the PSD Permit Fact Sheet for the O&M

operations, supplemental receptors were placed within 500 meters from O&M operations as the exclusion zone will not be enforced for O&M activities.

An exception to the 2 km separation for operating conditions is the expectation for simultaneous operation of vessels associated with OSS Commissioning and Export Cable Installation or Interarray Cable Installation. The modeling analysis for the OSS Commissioning Period included collated simultaneous operation of the cable installation vessels. Note that Export Cable Installation operations and Inter-array Cable Installation operations would not occur simultaneously with OSS Commissioning at the same OSS location.

As discussed in the draft PSD Approval and Tentative Determination Fact Sheet on Page 14, in its refined modeling for operations, US Wind adjusted the modeling for 1-hour NO₂ and 24-hour PM to only include those vessels and engines that would be expected to operate together over an hourly or daily basis. As such, US Wind's construction management team prepared a matrix of emission sources and operating scenarios that may be operated simultaneously. Tables A-1 and A-2 provide a detailed list of emission sources and operating scenarios for the 1-hour NO₂ and 24-hour PM2.5/PM10 averaging periods. Note that the 1-hour and 8-hour CO averaging period modeling conservatively included all of the emission sources associated with each operation. This matrix was based on US Wind's construction management team's determination of the feasibility that a vessel may be in operation simultaneously with another vessel, while taking into consideration need, availability, logistics, and security. For example, foundation installation operations would not occur simultaneously with OSS installation operations. Oftentimes, US Wind determined that a duplicate vessel type could be excluded from the modeling analysis for short-term averaging periods during simultaneous construction and commissioning and O&M operations.

Based on US Wind's assessment of simultaneous operations, there are two (2) distinct periods of construction that are delineated by either OSS Installation or OSS Commissioning Periods. The potential simultaneous operations during these two (2) periods are provided below. These two periods were modeled as separate sets of simultaneous operations as part of the supplemental NAAQS and PSD increment analyses to ensure compliance with the NAAQS and PSD increments for simultaneous operation of vessels from separate operating scenarios.

OSS Installation Period – Simultaneous Operations

- Scour protection installation;
- WTG Installation;
- WTG Commissioning;
- OSS Installation;
- Inter-Array Cable Installation;
- Offshore Export Cable Installation; and
- Overlapping O&M activities.

OSS Commissioning Period – Simultaneous Operations

- Foundation Installation;
- Scour protection installation;
- WTG Installation;
- WTG Commissioning;

- OSS Commissioning;
- Inter-Array Cable Installation;
- Offshore Export Cable Installation; and
- Overlapping O&M activities.

US Wind prepared supplemental NAAQS and PSD Increment modeling analyses for the OSS Installation and Commissioning Periods described above to ensure compliance during simultaneous operations. The results of the NAAQS modeling analysis for each OSS Installation or Commissioning Periods are presented in Table 1. As shown in Table 1, the Project impacts, plus background, do not exceed or threaten to exceed the NAAQS.

The results of the PSD Class II increment analysis are provided in Table 2 and demonstrate that the simultaneous operation of multiple construction and O&M operations would not cause or contribute to air pollution in violation of any of the applicable PSD II increments. Similarly, the Class I increment analysis results are provided in Table 3 and demonstrate that the Project impacts are well below the Class I increments with simultaneous operation of multiple construction and O&M operations.

All modeling data files for the modeling analyses and tables of daily emissions to determine the maximum ambient concentrations are available electronically upon request.

Table 1: Maximum Modeled Concentrations for Comparison to NAAQS

Pollutant	Averaging Period	Scenario	NAAQS	Background	Maximum Modeled NAAQS Concentration	Total NAAQS Concentration with Background		
		Simultaneous Operation – OSS Installation Periods				668.8	2,738.8	
CO	1-Hour	Simultaneous Operation – OSS Commissioning Periods	40,000	2,070	669.5	2,739.5		
		Simultaneous Operation – OSS Installation Periods			289.2	1,784.2		
	8-Hour Simultaneous Operation – 10,000 1,495 OSS Commissioning Periods	289.2	1,784.2					
		Simultaneous Operation – OSS Installation Periods				Variable by	145.7	179.9
NO ₂	1-Hour	Simultaneous Operation – OSS Commissioning Periods	188	Season and Hour of Day	144.2	181.3		
		Simultaneous Operation – OSS Installation Periods			4.5	22.5		
PM2.5	24-Hour	Simultaneous Operation – OSS Commissioning Periods	35	35 18	4.4	22.4		
PM10	24-Hour	Simultaneous Operation – OSS Installation Periods	150	44	8.2	52.2		

Pollutant	Averaging Period	Scenario	NAAQS	Background	Maximum Modeled NAAQS Concentration	Total NAAQS Concentration with Background
		Simultaneous Operation – OSS Commissioning Periods			10.0	54.0

Note: All concentration in units of ug/m³.

PM2.5 impacts include secondary formation.

Table 2: Maximum Modeled Concentrations for Comparison to PSD Class II Increments

Pollutant	Averaging Period	Scenario	Class II Increment	Maximum Modeled Increment Concentration	Exceed Increment?
PM2.5	24-Hour	Simultaneous Operation – OSS Installation Periods	9	7.1	NO
PIVIZ.5	24-H0ui	Simultaneous Operation – OSS Commissioning Periods	9	7.8	NO
PM10	24-Hour	Simultaneous Operation – OSS Installation Periods	30	7.3	NO
FIVITO	24-110ul	Simultaneous Operation – OSS Commissioning Periods	30	8.0	NO

Note: All concentration in units of ug/m³.

PM2.5 impacts include secondary formation.

Table 3: Maximum Modeled Concentrations for Comparison to PSD Class I Increments

Pollutant	Averaging Period	Scenario	Class I Increment	Maximum Modeled Increment Concentration	Exceed Increment
DMO 5	24 Hour	Simultaneous Operation – OSS Installation Periods	2	0.35	NO
PM2.5	24-Hour	Simultaneous Operation – OSS Commissioning Periods	2	0.31	NO
PM10	24-Hour	Simultaneous Operation – OSS Installation Periods	0	0.33	NO
FIVITO	∠4-⊓0ui	Simultaneous Operation – OSS Commissioning Periods	8	0.29	NO

Note: All concentration in units of ug/m³

PM2.5 impacts include secondary formation.

Comment 3. PART G – REPORTING AND RECORDKEEPING REQUIREMENTS

As discussed in Comment 2, US Wind prepared supplemental NAAQS and PSD increment analyses to ensure compliance with the NAAQS and PSD increments for simultaneous (i.e.,

cumulative) operation of vessels from separate operating conditions. To ensure compliance with proposed conditions (3) and (4) of comment 2, US Wind requests the following additional PSD monitoring and record keeping permit condition.

Proposed PSD Permit Conditions (1)(j).

(1)(j) For each vessel deployed during C&C and/or O&M, the Permittee shall record on a daily basis, the GPS coordinates of the center point of the operation (e.g., the monopile foundation attached to OCS) from the list of the following operations: Foundation Installation, Scour Protection Installation, WTG Installation, WTG Commissioning, OSS Installation, OSS Commissioning, Inter-array Cable Installation, Export Cable Installation, and O&M.

Table A-1: Matrix of Modeled Simultaneous Emission Sources and Operating Scenarios during OSS Installation Periods

Activity	Representative Vessel Type	AERMOD ID
Scour protection installation vessel	Fallpipe vessel	FV1
WTG installation jack-up vessel	Jack-up installation	WV1
, ,	vessel	
WTG installation Tug	Tug	WV2
Commissioning crew transfer vessel 1	Crew transfer vessel	CV1
Commissioning crew transfer vessel 2	Crew transfer vessel	CV2
Commissioning crew transfer vessel 3	Crew transfer vessel	CV3
OSS installation lift vessel	Heavy lift vessel	OV1
Assisting tug for OSS installation	Tug	OV2
OSS Jacket and piles transport tug	Tug	OV3
OSS Noise Mitigation Vessel	OSV	OV4
Array cable transport, pre- lay survey, lay and pull	Cable lay vessel	IV1
Offshore export cable pre-lay survey, trenching,	Cable lay vessel	ECV1
cable lay and pull		
Pre-lay grapnel run & pre-lay survey; post lay	Multipurpose offshore	ECV2
survey after completion	support vessel	
Trenching vessel	Trenching Vessel	ECV3
HDD pull in lift vessel	Jack-up vessel	ECV4
Diving support for HDD pull in	Research / Survey	ECV5
HDD pull in support vessel	Multipurpose offshore	ECV6
	support vessel	
Scour protection repair	Fallpipe vessel	OMV1
Main repair vessel	Jack-up vessel	OMV3
Survey work and cable survey/inspections	Multi-role survey vessel	OMV4
Daily crew transfer vessel	Crew transfer vessel	OMV6

Table A-2: Matrix of Modeled Simultaneous Emission Sources and Operating Scenarios during OSS Commissioning Periods

Activity	Representative Vessel Type	AERMOD ID
Scour protection installation vessel	Fallpipe vessel	FV1
Foundation installation vessel	Heavy lift vessel	FV2
Foundation tug	Tug	FV4
Noise mitigation vessel	OSV	FV8
Acoustic monitoring vessel	OSV	FV9
Environmental Vessel	Crew transfer vessel	FV10
WTG installation jack-up vessel	Jack-up installation vessel	WV1
Tug to transport WTG	Tug	WV2
Tug to support WTG Installation	Tug	WV4

Activity	Representative Vessel Type	AERMOD ID
Commissioning crew transfer vessel 1	Crew transfer vessel	CV1
Commissioning crew transfer vessel 2	Crew transfer vessel	CV2
Commissioning crew transfer vessel 3	Crew transfer vessel	CV3
Refueling operations to OSS and resupply to Hotel vessel	OSV	OV7
Crew Hotel Vessel	Jack-up vessel	OV8
Array cable transport, pre- lay survey, lay and pull	Cable lay vessel	IV1
Offshore export cable pre-lay survey, trenching, cable lay and pull	Cable lay vessel	ECV1
Pre-lay grapnel run & pre-lay survey; post lay survey after completion	Multipurpose offshore support vessel	ECV2
HDD pull in lift vessel	Jack-up vessel	ECV4
Diving support for HDD pull in	Research / Survey	ECV5
HDD pull in support vessel	Multipurpose offshore support vessel	ECV6
Scour protection repair	Fallpipe vessel	OMV1
Main repair vessel	Jack-up vessel	OMV3
Survey work and cable survey/inspections	Multi-role survey vessel	OMV4
Daily crew transfer vessel	Crew transfer vessel	OMV6

US Wind Air Quality Permit Public Hearing

Statement from Worcester County Chief Administrative Officer Weston Young Jan. 9, 2025

Good evening, my name is Weston Young and I am the Chief Administrative Officer for Worcester County. I am a professional engineer and a member of MDE's Air Quality Control Advisory Council. What we have proposed here are permits that, if authorized, will allow the degradation of the air quality of Ocean City and Worcester County. We currently have no significant stationary emission sources in this area. The construction process and daily operations will add NOX and fine particulate to our air — the air our citizens and the 8 million visitors each year will breathe.

Further, in a November presentation in Salisbury, representatives from US Wind said the O&M facility proposed in the harbor will house 100 jobs. If you've been to the West Ocean City area and around the harbor, you're aware there are already parking and congestion concerns. Now add up to 100 more cars to the mix. This is not an insignificant increase in pollution either and will further expand the air quality impacts inshore.

Lastly, the wind does not always blow. What is powering all the homes that this project is allegedly supposed to power when nothing is being generated? The electrons will have to come from another power source, likely coal or natural gas generated power. So now, to power the homes that this project is supposed to power, at least two power generation systems have to be maintained, one supposedly green, one very likely not. This is inefficient and ineffective. This project is neither clean nor green. And, ultimately, it does not provide a single positive impact to our county, our citizens, or our visitors.

I ask that you deny these permits. I think a significantly more elaborate study needs to be performed that includes ALL the air quality impacts this project will bring. If you decide to move forward, I think any monitoring waivers should be denied and, given the project's timeline for completion, tier 5 emission reductions should be required on all boats, generators, and any other equipment, as those standards should be developed by then. Further, any and all offsets to be located in Worcester County. I thank you for your time and consideration.

US Wind Air Quality Permit Public Hearing

Statement from Worcester County Commissioner Joe Mitrecic

Jan. 9, 2025

My name is Joe Mitrecic and I'm speaking on behalf of the Worcester County Commissioners. We are opposed to the air quality permit and approvals sought by US Wind.

This project is doing nothing to improve local quality of life. While wind might be called clean energy, this project will bring pollutants to our air and water. The dozens of boats that will be required for construction and later maintenance and operations will produce hundreds of tons of nitrous oxide, contributing to smog and acid rain and potentially leading to algae blooms.

Construction won't last forever, but operations and maintenance will be required through the life of the turbines. Even when the turbines aren't operational, US Wind's boats will be. What does that mean for our residents? This project is already eliminating Worcester County's only remaining fish houses, crippling our commercial harbor, and is poised to drastically reduce tourism. If these latest approvals are granted, it will also be emitting nitrous oxide, carbon monoxide and greenhouse gasses in Worcester County. Where are our offsets?

If MDE moves forward with foolishly granting this permit and these approvals for US Wind, given the adverse local impacts no waivers should be granted. At a minimum, the state needs to mandate better controls and monitoring. The controls proposed are not enough to protect the local population from the impacts from this project. Worcester County will need increased air quality monitoring to ensure area residents aren't being unfairly burdened with the dirty side effects of clean energy.

10 January 2025

Ms. Shannon Heafey Air and Radiation Administration Maryland Department of the Environment shannon.heafey@maryland.gov

Dear Ms. Heafey,

I am writing to say that I highly recommend that the MDE approve the air pollution permits applied for by U.S. Wind for their offshore wind turbine project.

It is clear from the MDE review of the application that U.S. Wind meets all of the requirements for issuance of the approval. The project appears to be in full compliance, pending monitoring and continued cooperation. I am happy that the State of Maryland requires strict environmental controls and specifications, and pleased to see that U.S. Wind is meeting them.

Your purview is to evaluate the technicalities. Beyond that, however, this project is critical to the health of our region, our oceans, and our planet. We must switch to renewables, which for now means either wind or solar. Solar energy is great, and should be on the roof of every building, but by itself it is not enough. We need wind energy as well, and the best, most efficient location for wind power is offshore.

We have to do this or face continuing rising seas, stronger storms, hotter temperatures, rising extinction rates.

Thank you for your consideration of these views.

David D. Quillin, AIA

DDQARCH@COMCAST.NET



Fwd: US Wind air quality permit application in Worcester County, MD

1 message

Suna Yi Sariscak <suna.sariscak@maryland.gov>
To: Shannon Heafey -MDE- <shannon.heafey@maryland.gov>

Mon, Jul 1, 2024 at 11:31 AM

Hi Shannon,

Please add this comment to our US Wind records. Thanks.

Suna Yi Sariscak

Manager, Air Quality Permits Program
Air and Radiation Administration
Maryland Department of the Environment
1800 Washington Boulevard
Baltimore, Maryland 21230
suna.sariscak@maryland.gov
410-537-4129 (O)
Website | Facebook | Twitter

	Forwarded	message	
--	-----------	---------	--

From: Heather Nelson -MDE- <hnelson@maryland.gov>

Date: Mon, Jul 1, 2024 at 11:27 AM

Subject: Fwd: US Wind air quality permit application in Worcester County, MD

To: Suna Sariscak -MDE- <suna.sariscak@maryland.gov> Co: Danielle Spendiff -MDE- <danielle.spendiff1@maryland.gov>

Hi Suna- This comment is specific to the air permit. Just passing it along to you. It was received as part of our most recent PN and Hearing for Coastal Zone Consistency. Maybe they just didn't update their template to CZM, but it said air permit, so passing on.

----- Forwarded message ------

From: FederalConsistencyReview <federalconsistency.review@maryland.gov>

Date: Mon, Jul 1, 2024 at 8:33 AM

Subject: Fwd: US Wind air quality permit application in Worcester County, MD

To: Heather Nelson -MDE- <nnelson@maryland.gov>, Danielle Spendiff -MDE- <danielle.spendiff1@maryland.gov>

----- Forwarded message ------

From: Jacky Grindrod < jacky.grindrod@mdsierra.org>

Date: Fri. Jun 28, 2024 at 7:22 PM

Subject: US Wind air quality permit application in Worcester County, MD

To: <federalconsistency.review@maryland.gov>

I write to express support for the air quality permit application filed by U.S. Wind to modify a certain dock in Ocean City, MD in connection with its plan to create a wind farm offshore from Ocean City.

This plan is good for the economy, and good for the health of the planet and its people:

"The Project has significant environmental benefits. Clean energy will displace that generated by higher-polluting fossil fuel-powered plants and result in a significant net reduction in emissions over the lifespan of the Project. At full buildout, the project could result in a net 139-million-ton reduction in CO2 emissions and will produce net clean energy after 1.5 months of operation. Over its lifespan, the project is expected to reduce nitrogen oxides by 67,003 tons, sulfur dioxide by 104,543 tons, and particulate matter by 12,014 tons. The Project is also expected to bring significant employment and other economic benefits to the region."

All of the above reflects the persuasive arguments of U.S. Wind, and I agree completely. Additionally, we really have no choice but to turn to solar, wind and, where least harmful, hydro energy to avoid mass immolation.

Respectfully.
Jacqueline Grindrod, J.D., Ph.D.
Berlin, MD

--



Heather L. Nelson

Program Manager
Wetlands and Waterways Protection Program
Water and Science Administration
Maryland Department of the Environment

1800 Washington Boulevard Baltimore, Maryland 21230 hnelson@maryland.gov

410-537-3528 (O) 443-472-9970 (C)

Website | Facebook | Twitter

Click here to complete a three question customer experience survey.



US Wind Permit Hearing 1/9/25

1 message

Kim Quillin <kim_quillin@comcast.net>
To: shannon.heafey@maryland.gov

Fri, Jan 10, 2025 at 9:33 AM

Good morning Shannon,

Thank you so much for your team's excellent work on the Hearing yesterday. The instructions and process were very clear, and it was a great idea to provide an overview prior to comments. I appreciate your work!

I have attached my written comments; I riffed off of these yesterday but they are more or less the same.

All the best, Kim

Kim Quillin 5705 Waterside Drive Berlin, MD 21811 kim_quillin@comcast.net



Maryland Department of the Environment
Air and Radiation Administration
Re: US Wind Air Quality Permit Hearing at the Ocean City Convention Center (Rm 215)
January 9, 2025

My name is Kim Quillin. I am a biology professor and author at Salisbury University, but I am here representing myself as a local resident of the coast.

I've reviewed the US Wind Air Quality Permit Application through the lens of my work studying the current biodiversity and climate crises. We humans are causing **five** major threats to biodiversity (including right here in Ocean City): 1) habitat destruction and degradation; 2) invasive species and diseases; 3) overexploitation; 4) **pollution**; and 5) **climate change**. Today's hearing on US Wind's Air Quality Permit addresses the latter two threats.

I have two major takeaways from my review of the Air Quality Permit Application.

First, I am impressed with the **high bar of accountability** that the EPA and MDE set for its permit applicants. THANK YOU for these high standards for both the Construction and Commissioning phase and the Operations and Maintenance phase of the wind project, including ongoing record-keeping and reporting.

Second, while my default position from a biological perspective is to be very wary of any industrial proposal, the takeaway from this application is **overwhelmingly POSITIVE:** Yes, there will be emissions during the construction and operation of the project, but the wind turbines will enable a massive **NET REDUCTION** of particulate matter and greenhouse gasses compared to the status quo of burning fossil fuels, to the tune of **139 million tons of carbon avoided**.

To get my head around this big number, I used the EPA Greenhouse Gas Equivalencies Calculator to estimate, for example, that if we stuck with the high-pollution-fossil-fuel status quo, we'd have to plant about **77 million trees** to compensate for the carbon released, and this wouldn't even address the habitat destruction caused by fossil fuel extraction nor the increased morbidity and mortality of residents living near power plants caused by particulate matter, and so on.

So, I strongly support the approval of US Wind's Air Quality application to get this green energy source online in all haste.

On a PR note, I am dismayed by the pushback and misrepresentation of this project from many local leaders in Ocean City and Worcester County. What a lost opportunity. I spend most of my days with young adults who are heavily burdened with poor mental health in general, including climate anxiety---I suffer from this too. The solution? Action. Many of us are motivated to vote with our dollars to support businesses and lifestyles that are providing **SOLUTIONS**. Imagine if the local leaders used their PR effort to shout from the rooftops to residents and visitors:

- Come enjoy the wind-powered energy on our coast!
- Smile when you turn on your kitchen lights!
- Be proud when you drop your children off at our clean-energy schools!

Let's celebrate and promote the opportunity to use clean sources for the energy we use every day.

Thank you.

Kim Quillin, 5705 Waterside Drive, Berlin, MD 21811



off shore wind comments

1 message

Linda Bystrak < linda@bystrak.com>

Fri, Jan 3, 2025 at 5:09 PM

To: "shannon.heafey@maryland.gov" <shannon.heafey@maryland.gov>

I have been advocating for years for offshore wind towers to be built off of the Maryland coast. Wind is a resource that we can use to supplement our current power sources. Other countries around the world are using more of it than the US. It is time to add more of it to our grid.

A year ago this month, my son and daughter in law found a dead whale on our coast. Cause of death appeared to be a collision with a large vessel. It is possible that the whale was headed for Delaware Bay where there are numerous refineries. Ships hauling oil are generally 70 feet deep. They usually unload their oil onto barges near the DE Bay entrance. My former neighbor was the foreman of the facility (Star/ Texaco). There are numerous other fossil fuel facilities along our East Coast.

I have been a birder my whole life, and have taken numerous pelagic trips. I know from experience that numerous species of birds are attracted to offshore buoys and structures. While some birds have collided with these objects, others have benefited from their presence.

Plans for these towers have included numerous warning devices to help protect the birds from collisions. I expect that there will be less dead animals found off our coasts If we substitute wind towers for refineries and oil tankers.

Retired Environmental Science Teacher

Linda Bystrak

1009 Riverhouse Dr. #6

Salisbury, MD 21801



off shore wind comments

1 message

Lennart Elmlund <lennartgustaf@gmail.com>
 To: shannon.heafey@maryland.gov

Fri, Jan 3, 2025 at 11:34 PM

Dear Ms. Heafey,

I have been advocating for years for offshore wind turbines to be built off of the Maryland coast.

As you know, Maryland needs more sources of electricity to compensate for the closing of coal burning power plants. In addition, we as a modern society are facing increased demand for electricity due to more data centers being built and an increase from electric vehicles. Global warming increases the need for air conditioning over a longer period of time.

Plans for these towers have included numerous warning devices to help protect the birds from collisions. I expect that there will be less dead animals found off our coasts with more wind turbines

Your kind consideration of my request to allow wind turbines off the Maryland coast is much appreciated.

Sincerely,

Lennart Elmlund Retired P.O. Box 312 Mardela Springs, MD 21837



Support for US Wind air quality permit

1 message

LarryDebbie Idryan2@gmail.com
To: shannon.heafey@maryland.gov

Wed, Jan 8, 2025 at 2:01 PM

January 8, 2025

Shannon Heafey

Air and Radiation Administration 1800 Washington Boulevard Baltimore, Maryland 21230

Dear Ms. Heafey,

After reading the entire US Wind permit application:

AIR QUALITY PERMIT TO CONSTRUCT TENTATIVE DETERMINATION AND FACT SHEET US WIND, INC. MARYLAND WIND OFFSHORE PROJECT ARA PREMISES NO. 047-0248 PERMIT NOs. 047-0248-9-0111 through 9-0114

It has become quite clear to me that through their due diligence, US Wind has provided an over and above commitment to be accountable to ensure the minimum amount of air pollution through the construction phase in the permitted area of the Maryland offshore wind farm.

Really, all I needed to hear was this: "when the project is completed, we anticipate a net 139-million-ton reduction in CO2 emissions and net clean energy production within 2 months of operation."

The permit application has made noticeably clear that through adherence to the commitment US Wind has made to air quality and the detailed monitoring of Best Available Control Technology ("BACT"). The expenditures required during the construction phase of the Maryland Offshore Wind farm will help yield incredibly significant long term air quality goal returns for all Marylanders.

I only wish that statements made, and information provided by opponents of offshore wind development would be as meticulously scrutinized and fact check monitored.

NOW, is the time to approve this permit application, so US Wind can move forward with offshore wind development. Our citizens deserve to reap the massive rewards from the offshore wind development seeds sown by US Wind so all the State and Federal air quality compliance requirements can be met.

The action to approve this permit is a required benefit for of all our posterity.

Sustainably Yours,

Lawrence Ryan

A resident of Berin, Md for 39 years



January 7, 2025

Ms. Shannon Heafey Air and Radiation Administration 1800 Washington Blvd Baltimore, MD 21230

Ms. Heafey,

I write you today on behalf of the 100+ members of the Greater Salisbury Committee, in support of US Wind's request for an OCS Air Permit.

For the last 10 years, GSC has been in support of Maryland's Offshore Wind initiatives. We have believed that Offshore Wind can create a jobs pipeline and offer clean and renewable energy sources for Maryland and the region.

As we understand it, an air quality modeling analysis has already concluded that for all phases of the project, including construction, vessel use, and operations and maintenance, the project will meet all federal and state air quality standards.

At full buildout, the project could result in a net 139-million-ton reduction in CO2 emissions and will produce net clean energy after 1.5 months of operation. Over its lifespan, the project is expected to reduce nitrogen oxides by 67,003 tons, sulfur dioxide by 104,543 tons, and particulate matter by 12,014 tons.

Reduced and displaced fossil fuel-fired energy generation sources in the region would also result in improved air quality in the areas surrounding these sources, many of which are located in or near environmental justice areas.

We are aware, and respectful of, those who oppose the US Wind project, as proposed. That said, all signs point to Offshore Wind, and the US Wind project(s) to be consistent with meeting Maryland's stated goals relating to clean and renewable energy.

Sincerely,

Mike Dunn President/CEO



Off Shore Wind project - OC, MD

1 message

Mary Huebner <marybrd22@gmail.com>

Tue, Jan 7, 2025 at 11:18 AM

To: "shannon.heafey@maryland.gov" <shannon.heafey@maryland.gov>

Good morning Ms. Heafey,

I have long been an advocate of offshore wind. I live in Salisbury, MD and disagree with arguments that these towers will discourage tourists from coming to Ocean City. I cannot imagine that people would stay away for that reason. It just doesn't seem likely to me.

An air modeling analysis has already concluded that for all phases of the project, including construction, vessel use and operations and maintenance, the project will meet all Federal and State air quality standards.

Wind is a resource that we can use to supplement our current power sources. Countries around the world have been using wind power successfully for decades. We need to step up our production. It is an embarrassment that we have failed to do so! This project's permit requires extensive emission monitoring and record keeping, demonstrating compliance with permitted emission limits.

I am a birdwatcher, and have listened to both sides of the argument concerning wind power, and I am convinced that this project will not be the detriment that some have claimed it will be.

People are afraid of something unknown, but I do believe that there is enough evidence to support this project, for the betterment of this environment locally, as well as globally. We really need to step up in our commitment to protect the environment for future generations of birds, creatures of the sea, and most importantly, human beings.

Thank you for your attention to this matter.

Mary O. Huebner 1006 Heron Ct. Salisbury, Maryland 21804



Support for the US Wind Project and the Air Quality Permit

1 message

Michael Walsh <mik.walsh@comcast.net>

Mon, Jan 13, 2025 at 11:54 AM

To: "shannon.heafey@maryland.gov" <shannon.heafey@maryland.gov>

As I have reviewed the various processes necessary to obtain the many permits required for this project I have been favorably impressed with the efforts of US Wind to comply. I am encouraged by the regulators' demands for extensive impact assessments and also by US Wind's responses. I wish to offer my support for this project and am in favor of approval of this permit. We need to support renewable energy advances as climate change impact continues to affect us all in a negative way. I commend the work your agencies do to protect the environment. Thank You Michael Walsh



Offshore Wind - Support

1 message

Noah Bressman <noahbressman@gmail.com> To: shannon.heafey@maryland.gov

Fri, Jan 10, 2025 at 4:51 PM

Dear Ms. Heafey,

I am writing to offer my support for the permits for US Wind to build offshore of Maryland. As a fish biology professor at Salisbury University near where the wind turbines will be built, I have relevant knowledge and interest in this subject. As far as I am concerned, there will be a net benefit of building this wind turbines by offsetting carbon emissions produced by fossil fuels. Additionally, while their construction will likely locally impede fishing in the area during short-term, as seen with offshore oil platforms in the Gulf of Mexico, they will likely increase recreational and commercial fishing opportunities in the long-run by providing a lot of 3D habitat in an area that is currently lacking much 3-dimensional structure. Additional, there is no evidence that these wind turbines will negative influence whales after their construction, but the plans for this project nevertheless entails strategies to reduce impacts on marine mammals. Additionally, while wind turbines do kill 200,000 birds per year, which may sound like a lot, flying into windows kills 600,000,000 birds per year and outdoor cats kill 2,400,000,000 birds per year, making the effects of wind turbines miniscule compared to these other sources, especially when you consider that wind turbines will offset carbon emissions that contribute to climate change that also kills birds. Lastly, I have no problem with seeing spinning structures offshore of Ocean City considering there are already plenty of large spinning structures visible in Ocean City right now - aka ferris wheels.

Overall, it is my professional opinion that the US Wind permits should be approved.

Take Care, Dr. Noah Bressman, PhD Assistant Professor of Physiology Salisbury University @NoahwithFish noahbressman.wixsite.com/Noah He/Him/His



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

Bruce Davis (bdavis39@comcast.net) Sent You a Personal Message

Fri, Mar 14, 2025 at 7:13 PM

<kwautomail@phone2action.com>

Reply-To: Bruce Davis <bdavis39@comcast.net>

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

The Offshore Wind Project will improve Maryland's air quality by obviating fossil fuel electric power plants. These plants emit carbon pollution. Thats on top of the carbon pollution created by mining coal or fracking rock to provide the fossil fuel. The time for investing in clean energy has come. The time to move forward with non-polluting offshore wind energy is now.

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

Bruce Davis 701 King Farm Blvd Rockville, MD 20850 bdavis39@comcast.net (703) 888-8680



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

Cynthia Alden (cmalden2015@gmail.com) Sent You a Personal Message

Sat, Mar 15, 2025 at 4:43 PM

<kwautomail@phone2action.com>
Reply-To: Cypthia Alden <cmalden?</p>

Reply-To: Cynthia Alden <cmalden2015@gmail.com>

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

This project is a win-win - green energy and green jobs! I would much rather see a wind farm on the ocean horizon than drilling rigs!

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

Cynthia Alden 11909 New Country Lane Columbia, MD 21044 cmalden2015@gmail.com (410) 802-6001



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

Carl Latkin (clatkin2000@gmail.com) Sent You a Personal Message

Fri, Mar 14, 2025 at 7:45 PM

<kwautomail@phone2action.com>

Reply-To: Carl Latkin <clatkin2000@gmail.com>

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

It is critical that we have more wind energy as part of the mix of renewables in Mayland.

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

Carl Latkin 6062 Red Clover Lane Clarksville, MD 21029 clatkin2000@gmail.com (410) 929-5461



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

Charles Skinner (cskinnec@gmail.com) Sent You a Personal Message

Sat, Mar 15, 2025 at 9:02 AM

kwautomail@phone2action.com

Reply-To: Charles Skinner <cskinnec@gmail.com>

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

Charles Skinner 606 Stoneleigh Road Baltimore, MD 21212 cskinnec@gmail.com (443) 205-2294



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

Fergal Mullally (fergal.mullally@gmail.com) Sent You a Personal Message

Mon, Mar 17, 2025 at 10:04 PM

<kwautomail@phone2action.com>

Reply-To: Fergal Mullally <fergal.mullally@gmail.com>

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

The closure of Brandon Shores coal fired plant shows how we are on the cusp of an energy revolution. Wind and solar are the future of cheap, low-pollution power, coal is on the way out. Maryland's economic future depends on access to low cost power, and this project is an important component of that future.

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

Fergal Mullally 7113 Oxford Rd Baltimore, MD 21212 fergal.mullally@gmail.com (512) 554-3906



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

Grace Soltis (nikitasweeta@msn.com) Sent You a Personal Message

Sat, Mar 15, 2025 at 1:07 PM

kwautomail@phone2action.com

Reply-To: Grace Soltis <nikitasweeta@msn.com>

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

Climate Change is costly. The problem is growing for all the years the fossil industry has hidden its deleterious effects from the Public. NOW we cannot afford to kick it down the road. It's destroying our health, the viability of farms and eroding our beaches. Flooding becomes more pervasive each year. We MUST pull out all the stops, and promote Off Shore Wind, Solar, and other conservation efforts to have the best outcome for the future of our communities. Farms are literally going under. People, wildlife, and livelihoods are at dying. Don't let us down! Contyinue with Off Shore Wind!

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

Grace Soltis 28330 Village Lake Way Easton, MD 21601 nikitasweeta@msn.com (443) 385-0538



Maryland Office 2901 E. Baltimore St Baltimore, MD 21214

March 17, 2025

To: Ms. Shannon Heafey Maryland Department of the Environment Air and Radiation Administration 1800 Washington Blvd Baltimore MD 21230

From: Jim Brown, Policy Director, Audubon Mid-Atlantic

Subject: Maryland Offshore Wind Project, Air Quality Permit Application

Audubon Mid-Atlantic is writing to support the US Wind air quality permit application for the Maryland Offshore Wind Project. Audubon Mid-Atlantic is the regional office of National Audubon Society, representing over 35,000 Marylanders who advocate for the protection of birds, bird habitat, and policies aiming to protect both birds and human communities in the face of increasing environmental challenges, habitat loss, pollution, and climate change.

As noted in National Audubon Society's recently released report, "Birds and Offshore Wind: Developing the Offshore Wind that Birds Need," there is a clear case for responsibly sited offshore wind development. The report addresses potential risks to birds based on the best available science and shares clear strategies and policy recommendations for balancing clean energy demand with conservation to combat climate change while protecting birds and their habitats. Audubon's engagement with US Wind, as well as federal and state regulators on this specific Maryland project leads us to believe that this project will have a positive impact on birds and bird habitat.

Audubon Mid-Atlantic supports this application because offshore wind, and this project will protect birds from the impacts of climate change. Adopting renewable energy is critical to reducing air pollution, lowering temperatures, and preserving the places that birds need to survive. Audubon supports renewable energy—including offshore wind —that is properly sited in ways that avoid, minimize, and mitigate negative impacts on birds and other wildlife. This project does that,

Science tells us birds are in decline due to habitat loss and climate change. 1/3 of bird species that live in or migrate through Maryland have experienced significant population declines in the past 50 years. On the Eastern Shore the endangered salt marsh sparrow is losing critical habitat each year due to climate related sea-level rise. Projects such as the Maryland Offshore Wind Project will slow and reverse this trend by encouraging a transition to non-greenhouse gas energy production in Maryland.

The Science tells us:

- Greenhouse gas induced climate change is the most significant threat to birds and people in Maryland through reduced air quality, air pollution and accelerated climate change threats
- Transitioning to renewable energy sources such as wind will mitigate and slow the impacts of climate change on our vulnerable human and bird communities

• When proper siting considerations are followed, offshore wind turbines minimize threats to birds and other wildlife

When this project is built, air quality will be improved by a reduced emissions and less air pollution not just in the specific project location but throughout the region, as fossil-fuel based energy sources are taken offline. It will also continue to hold Maryland up as a leader in climate action, a strong renewable energy economy, and it will help the state reach the goals established in Climate Solutions Now Act of 2022 and the POWER Act of 2023.

Audubon Mid-Atlantic respectfully urges a favorable review of this air quality permit application.

Thank You,

Jim Brown

Policy Director Audubon Mid-Atlantic Jim.brown@audubon.org



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

Jonathan Cook (jac4975@yahoo.com) Sent You a Personal Message

Mon, Mar 17, 2025 at 9:06 PM

<kwautomail@phone2action.com> Reply-To: Jonathan Cook <jac4975@yahoo.com>

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

So important at a time when the federal government is going backwards on climate action and climate change is worsening! Our state needs to lead.

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

Jonathan Cook 7808 TAKOMA AVE TAKOMA PARK, MD 20912 jac4975@yahoo.com (202) 384-0542



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

Janet Gingold (janet.gingold@mdsierra.org) Sent You a Personal Message

Sat, Mar 15, 2025 at 10:07 AM

<kwautomail@phone2action.com>

Reply-To: Janet Gingold <janet.gingold@mdsierra.org>

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

As someone who has followed energy issues with concern since the 1970s, I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project. With the current federal government undermining the transition away from fossil fuel combustion to clean renewable energy sources at the same time that energy demand from various sources is increasing, it is all the more important that Maryland make good use of offshore wind. With so much evidence of climate change all around us, we have to do all we can to shift to clean, renewable energy to avoid calamitous impacts. This offshore wind project is one step in the right direction. Please do all you can to get it up and running as soon as possible.

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

Janet Gingold 13107 Whiteholm Drive Upper Marlboro, MD 20774 janet.gingold@mdsierra.org (301) 814-1223



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

James Sarlanis (jns1960@gmail.com) Sent You a Personal Message kwautomail@phone2action.com Reply-To: James Sarlanis <ins1960@gmail.com>

Fri, Mar 14, 2025 at

10:15 PM

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

James Sarlanis 10727 Cottonwood Way Columbia, MD 21044 jns1960@gmail.com (443) 676-4871



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

Kelly Esslinger (kelly.esslinger8@gmail.com) Sent You a Personal Message

Sat, Mar 15, 2025 at 10:13 PM

<kwautomail@phone2action.com>

Reply-To: Kelly Esslinger <kelly.esslinger8@gmail.com>

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

I just spent a weekend in Ocean City, Maryland, and it reminded me how much I truly value the amazing natural spaces we have in this state! We have no Planet B; please help reduce air pollution and bring more jobs to Maryland with this Project!

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

Kelly Esslinger 1711 W 7th St Apt 5 Frederick, MD 21702 kelly.esslinger8@gmail.com (484) 707-3233



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

kuni iwasa (kuniiwasa@duck.com) Sent You a Personal Message

Sat, Mar 15, 2025 at 8:46 PM

<kwautomail@phone2action.com>

Reply-To: kuni iwasa <kuniiwasa@duck.com>

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

kuni iwasa 5802 Wainwright Avenue Rockville, MD 20851 kuniiwasa@duck.com (240) 753-0329



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

Kathleen Pape (kmc4vd@gmail.com) Sent You a Personal Message

Sat, Mar 15, 2025 at 10:19 PM

kwautomail@phone2action.com

Reply-To: Kathleen Pape <kmc4vd@gmail.com>

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

We need wind as a green source of energy now more that ever as power needs increase due to reliance on data centers; please approve this permit, it's been delayed for too long already.

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

Kathleen Pape 8217 Canning Ter Greenbelt, MD 20770 kmc4vd@gmail.com (301) 313-0902



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

Lesley Paredes Hernandez (lesleyparedeshernandez@gmail.com) Sent You a Personal Message

Fri, Mar 14, 2025 at 5:28 PM

<kwautomail@phone2action.com>

Reply-To: Lesley Paredes Hernandez < lesleyparedeshernandez@gmail.com>

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

Lesley Paredes Hernandez 915 Silver Spring Avenue #436 Silver Spring, MD 20910 lesleyparedeshernandez@gmail.com (347) 720-5336



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

Louis Rimbach (Iouisrimbacg@aol.com) Sent You a Personal Message

Sat, Mar 15, 2025 at 5:58 AM

<kwautomail@phone2action.com>

Reply-To: Louis Rimbach < louisrimbacg@aol.com>

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

Louis Rimbach 415 Parkwood Drive Salisbury , MD 21804 louisrimbacg@aol.com (410) 370-6561



Re: US Wind Air Quality Permit to Construct Nos. 047-0248-9-0111 through 9-0114

1 message

Mariah Shriner <mariah.shriner@mdsierra.org> To: shannon.heafey@maryland.gov

Mon, Mar 17, 2025 at 4:56 PM

Dear Ms. Heafey,

On behalf of the undersigned 18 organizations, we are writing to express our strong support for issuing the Air Quality Permit to Construct for US Wind's Maryland Offshore Wind Project.

Please accept the full attached comments in support of US Wind Air Quality Permit to Construct Nos. 047-0248-9-0111 through 9-0114.

Undersigned organizations:

- Audubon Mid-Atlantic
- CASA
- Cedar Lane Unitarian Universalist Environmental Justice Ministry
- Center for Progressive Reform
- Chesapeake Climate Action Network Action Fund
- Chesapeake Physicians for Social Responsibility
- IBEW Local 24
- Indivisible HoCoMD Environmental Action
- MAREC Action
- Maryland League of Conservation Voters
- Maryland Legislative Coalition
- Maryland Legislative Coalition Climate Justice Wing
- Nuclear Information and Resource Service
- · Oceantic Network
- Progressive Maryland
- · Sierra Club
- Strum Contracting Company Inc.
- Unitarian Universalist Legislative Ministry of Maryland

Best, Mariah



Mariah Shriner

Climate Campaign Representative

Sierra Club, Maryland Chapter

Pronouns: she/her/hers

(240) 424-0348

mariah.shriner@mdsierra.org

Coalition Comments_US Wind Air Quality Permit_Support.pdf 1401K

Ms. Shannon Heafey Air Quality Permits Program Maryland Department of the Environment Air and Radiation Administration 1800 Washington Boulevard Baltimore, MD 21230

Monday, March 17, 2025

Re: US Wind Air Quality Permit to Construct Nos. 047-0248-9-0111 through 9-0114

Submitted electronically to shannon.heafey@maryland.gov

Dear Ms. Heafey,

On behalf of **the undersigned organizations**, we are writing to express our strong support for issuing the Air Quality Permit to Construct for US Wind's Maryland Offshore Wind Project. This permit is a critical and responsible step in Maryland's clean energy transition, ensuring that offshore wind development moves forward while maintaining strict air quality safeguards.

Offshore Wind: A Critical Step for Maryland's Clean Energy Future

Maryland has made bold commitments to reducing greenhouse gas emissions, and offshore wind is an essential part of meeting these goals. The 2023 Promoting Offshore Wind Energy Resources (POWER) Act enshrined Maryland's target of 8.5 GW of offshore wind by 2031, aligning with the state's statutory requirement to cut greenhouse gas emissions by 60% by 2031 and achieve net-zero emissions by 2045. According to the Maryland Climate Pollution Reduction Plan, offshore wind is one of the most effective tools available to meet these objectives while delivering substantial economic and public health benefits.

The US Wind project will contribute directly to these efforts by generating **clean**, **carbon-free electricity**, displacing fossil fuel generation, and improving air quality across the state. Over its operational lifetime, the project is expected to **prevent 139 million tons of carbon dioxide emissions**, significantly reducing Maryland's contribution to climate change while protecting residents from the harmful impacts of fossil fuel pollution.

Health, Economic, and Ecological Benefits of Offshore Wind

The approval of this air quality permit will not only advance clean energy but also protect Marylanders' health and economic well-being. Maryland has long grappled with the harmful impacts of air pollution, and these burdens are not distributed equally. Offshore wind offers an opportunity to ease these inequities. In addition, offshore wind also delivers critical ecological benefits. Numerous studies underscore the far-reaching advantages of offshore wind:

- The American Lung Association's "State of the Air" reports consistently rank
 Maryland as one of the worst states for air pollution, largely due to reliance on fossil
 fuel-based electricity generation. Offshore wind projects like US Wind's will help
 eliminate the smog-forming and particulate pollution that contribute to asthma,
 respiratory disease, and premature deaths—especially in environmental justice
 communities that have long suffered the most from these pollutants.
- A 2022 Gabel Associates <u>study</u> found that if Maryland develops 8.5 GW of offshore wind, it could save Marylanders up to \$28.5 billion over 30 years, factoring in reduced healthcare costs, fewer pollution-related illnesses, and lower electricity prices.
- The Maryland Climate Pollution Reduction Plan estimates that transitioning to clean energy, including offshore wind, will generate up to 27,400 new jobs, increase total personal income by \$2.5 billion, and boost GDP by \$5.3 billion by 2031. These jobs will span construction, manufacturing, operations, and maintenance, benefitting workers across various skill levels. Importantly, offshore wind projects represent a chance to elevate and strengthen Maryland's workforce through robust training programs, apprenticeships, and partnerships with local educational institutions. This ensures that residents—particularly those from underrepresented or heavily impacted communities—have access to stable, well-paying employment in this growing sector.
- The installation of offshore wind farms, including their turbine foundations and subsea structures, has been shown to enhance marine habitats and increase fish production. The foundation structures of offshore wind turbines create artificial reef environments according to the Oceanography Society, providing shelter and feeding grounds for fish, crustaceans, and other marine life. Over time, these areas can develop into vibrant ecosystems that support a diverse range of species. Maryland's fishing industry stands to benefit from increased fish populations and healthier marine habitats, strengthening both the ecosystem and the economy.
- By reducing carbon emissions and limiting reliance on polluting fossil fuel infrastructure, offshore wind development helps mitigate the effects of climate change on marine ecosystems. Rising ocean temperatures and acidification, driven by greenhouse gas emissions, pose serious threats to marine biodiversity. Offshore wind can slow these destructive trends, preserving delicate ecosystems for future generations.

Ensuring Strong Air Quality Protections

While any construction project results in temporary emissions, US Wind is **committed** to **minimizing its environmental impact** by employing **Best Available Control Technology** (**BACT**) and meeting the strictest air quality standards. Under this permit, US Wind will:

- **Utilize modern, low-emission construction equipment and vessels** equipped with state-of-the-art pollution controls.
- Comply with stringent emissions limits and monitoring requirements to prevent any exceedances of air quality thresholds.

• **Submit comprehensive records of construction activities** to ensure full transparency and regulatory compliance.

By issuing this permit, MDE ensures that offshore wind development proceeds in a responsible and environmentally sound manner, while securing long-term clean energy and air quality benefits for Maryland residents.

Urging Swift Approval of the Air Quality Permit

We respectfully urge MDE to finalize and approve this air quality permit without delay to ensure that Maryland remains on track to meet its climate, energy, and public health objectives. The US Wind project is a critical piece of Maryland's clean energy strategy, and allowing it to move forward with the highest air quality safeguards in place will ensure a healthier, cleaner, and more prosperous future for all Marylanders.

Thank you for your time and consideration.

Audubon Mid-Atlantic

CASA

Cedar Lane Unitarian Universalist Environmental Justice Ministry

Center for Progressive Reform

Chesapeake Climate Action Network Action Fund

Chesapeake Physicians for Social Responsibility

IBEW Local 24

Indivisible HoCoMD Environmental Action

MAREC Action

Maryland League of Conservation Voters

Maryland Legislative Coalition

Maryland Legislative Coalition – Climate Justice Wing

Nuclear Information and Resource Service

Oceantic Network

Progressive Maryland

Sierra Club

Strum Contracting Company Inc.

Unitarian Universalist Legislative Ministry of Maryland



































Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

Molly Hauck (mollyphauck@gmail.com) Sent You a Personal Message

Fri, Mar 14, 2025 at 11:24 PM

<kwautomail@phone2action.com>

Reply-To: Molly Hauck <mollyphauck@gmail.com>

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

Molly Hauck 3900 Decatur Ave. Kensington, MD 20895 mollyphauck@gmail.com (301) 949-0178



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

Marc Imlay (ialm@erols.com) Sent You a Personal Message <kwautomail@phone2action.com>

Fri, Mar 14, 2025 at 7:31

PM

Reply-To: Marc Imlay <ialm@erols.com>
To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

Marc Imlay 2321Woodberry Drive Bryans Road, MD 20616 ialm@erols.com (301) 442-5657



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

Marie LaPorte (marielaporte@verizon.net) Sent You a Personal Message

Sat, Mar 15, 2025 at 11:48 AM

<kwautomail@phone2action.com>

Reply-To: Marie LaPorte <marielaporte@verizon.net>

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

We have to increase renewable energy for Maryland to save the planet. Of the estimated eight million species, at least one million are expected to be extinct by 2050. We must move quickly to decarbonize our energy.

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

Marie LaPorte 2516 Chestnut Woods CT Reisterstown , MD 21136 marielaporte@verizon.net (410) 666-0000



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

Maxwell Sanborn (cuff4317@yahoo.com) Sent You a Personal Message

Fri, Mar 14, 2025 at 6:43 PM

<kwautomail@phone2action.com>

Reply-To: Maxwell Sanborn < cuff4317@yahoo.com>

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

Maxwell Sanborn 303 Woodland Rd Rockville, MD 20850 cuff4317@yahoo.com (240) 324-6297



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

Nancy Wakefield (njw@comcast.net) Sent You a Personal Message

Sat, Mar 15, 2025 at 8:49 AM

<kwautomail@phone2action.com>
Reply-To: Nancy Wakefield <njw@comcast.net>
To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

Clean energy is so important to protect our environment.

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

Nancy Wakefield 11950 Park Heights Ave. OWINGS MILLS, MD 21117 njw@comcast.net (443) 204-5191



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

Peter Alexander (palexand54@gmail.com) Sent You a Personal Message

Sat, Mar 15, 2025 at 1:21 PM

<kwautomail@phone2action.com>

Reply-To: Peter Alexander <palexand54@gmail.com>

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

We need to supporting clean energy projects - expediting approval processes, and moving forward with construction and start-up, including upgrading and installing new transmission capability - as a means to reducing and eventually eliminating the need for fossil fuel based energy generation. My grandchildren will inherit the planet from us and ours is the last generation with the power to stop climate change.

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

Peter Alexander 15615 Camden Meadows Court Woodbine, MD 21797 palexand54@gmail.com (410) 489-7928



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

Pamela Dehmer (auntpurple@gmail.com) Sent You a Personal Message

Sat, Mar 15, 2025 at 8:22 AM

<kwautomail@phone2action.com>

Reply-To: Pamela Dehmer <auntpurple@gmail.com>

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

Please move forward with current Offshore Wind Projects. Maryland needs more renewable energy to reach climate change goals, especially at a time when the federal government is exacerbating the effect of climate change. It is the right thing to do for our children's future.

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

Pamela Dehmer 928 Bergen Ct Bel Air, MD 21014 auntpurple@gmail.com (410) 838-0308



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

Richard Reis (rich.reis1@gmail.com) Sent You a Personal Message

Fri, Mar 14, 2025 at 6:55 PM

<kwautomail@phone2action.com>

Reply-To: Richard Reis < rich.reis1@gmail.com>

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

With the world facing accelerating warming and sea level rise, we desperately need the type of clean renewable energy this offshore wind project will provide.

The air quality aspects of the OSW project are extremely favorable toward the goals with none of the health-harming air pollution that comes from gas or coal power plants. This is especially important to me as I have a brother and a grandson with asthma.

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

Richard Reis 103 W 39th St, Apt A2 Baltimore, MD 21210 rich.reis1@gmail.com (301) 325-8001



In support of air permit for US Wind project

1 message

Steve Cottrell <stevecottrell5@gmail.com> To: shannon.heafey@maryland.gov

Mon, Mar 17, 2025 at 5:04 PM

Hello Ms. Heafey,

I am writing in support of the application for the air permit for the US Wind offshore wind project. The net result of the project will be a significant improvement of the air quality of the region, due to a substantial reduction in the amount of nitrogen oxides, sulfur dioxide, and particulate matter emitted into the atmosphere compared to electric generation from fossil fuel combustion. Extensive emission monitoring and record keeping will demonstrate compliance with permitted emission limits.

Thank you.

Steve Cottrell President, Delaware Audubon



CREATING GOOD JOBS, A CLEAN ENVIRONMENT, AND A FAIR AND THRIVING ECONOMY

March 17, 2025

Ms. Shannon Heafey
Air Quality Permits Program
Maryland Department of the Environment
Air and Radiation Administration
1800 Washington Boulevard
Baltimore, MD 21230
Submitted electronically to shannon.heafey@maryland.gov

Re: US Wind Air Quality Permit to Construct Nos. 047-0248-9-0111 through 9-0114

On behalf of the BlueGreen Alliance (BGA), our partners, and the members and supporters they represent, we are writing to express our strong support for issuing the Air Quality Permits to Construct for US Wind's Maryland Offshore Wind Project. These permits are a critical and responsible step in Maryland's clean energy transition, ensuring that offshore wind development moves forward while maintaining air quality safeguards.

The mission of BGA is to unify labor unions and environmental organizations into a powerful force to fight climate change, protect the health of people and the environment, stand against economic and racial inequality, and create and maintain good-paying, union jobs in communities across the country. Offshore wind is a vital clean energy solution that presents a once-in-a-generation opportunity to advance this mission if projects are developed in an equitable and environmentally responsible manner—with high-road labor standards and attention to environmental justice. Offshore wind projects have the potential to create family-sustaining, union jobs; deliver benefits to communities hardest hit by climate change and economic inequality; and protect wildlife and critical habitats at every stage of development.

We recognize that the future of working people and the health of the environment are inextricably linked, rejecting the false choice that good-paying jobs and economic opportunity are at odds with protecting our environment. Offshore wind energy proves this statement in practice.

Maryland has made bold commitments to reducing greenhouse gas emissions, and offshore wind is an essential part of meeting these goals. The 2023 Promoting Offshore Wind Energy Resources (POWER) Act enshrined Maryland's target of 8.5 GW of offshore wind by 2031, aligning with the state's statutory requirement to cut greenhouse gas emissions by 60% by 2031 and achieve net-zero emissions by 2045. The US Wind project will generate

clean electricity, contributing to Maryland's energy goals and benefiting air quality across the state.

The Maryland Department of Environment has thoroughly reviewed this application and issued a favorable recommendation. They concluded the project is expected to comply with all applicable State and federal air quality requirements. We encourage the department to issue the air quality permits which would allow the proposed facility to move forward which will help create good union jobs, boost the local economy, and help Maryland meet its offshore wind goals.

When done right with protections for the environment and workers, offshore wind power will create high-quality, family-sustaining jobs in manufacturing, construction, and operations while also avoiding, minimizing, and mitigating environmental impacts. We appreciate your effort to solicit stakeholder input to inform the air quality permitting process.

Signed,

Jason Walsh

Executive Director

BlueGreen Alliance



Sierra Club Maryland Chapter P.O. Box 278 Riverdale, MD 20738 (301) 277-7111

March 17, 2025

Ms. Shannon Heafey Air Quality Permits Program Maryland Department of the Environment Air and Radiation Administration 1800 Washington Boulevard Baltimore, MD 21230

Re: Support for the Maryland Department of the Environment's Tentative Determination to Issue US Wind Air Quality Permit (PERMIT NOs. 047-0248-9-0111 through 9-0114)

Dear Ms. Heafey,

Sierra Club urges the Maryland Department of the Environment ("MDE") to issue an air quality permit enabling US Wind, Inc. to construct up to 121 wind turbine generators, four offshore substations, and one meteorological tower. Approval of this permit is an essential step in Maryland's ongoing effort to procure clean, renewable power to meet its energy needs. Sierra Club appreciates the Moore Administration's recognition that deploying more offshore wind is critical for meeting Maryland's climate goals, which include reducing emissions 60% below 2006 levels by 2031—which is only six years away—and reaching net-zero emissions by 2045. Governor Moore has emphasized that it is critical to develop Maryland's offshore wind resources, and the 2023 POWER Act sets a goal of acquiring 8.5 gigawatts of power from offshore wind by 2031.2 This ambitious goal will be challenging to meet in any respect, but it will be impossible to meet without Maryland providing the necessary permits for US Wind's MarWin and Momentum offshore wind projects ("the Project").

Recognizing the lack of significant environmental harm posed by the Project, the federal government has completed its environmental analyses and permitting processes, issuing a Record of Decision on September 5, 2024.³ Most recently, on January 24, 2025, the Maryland Public Service Commission approved US Wind's request for offshore wind renewable energy credits ("ORECs") for the Project, determining the Project "is in the public interest" and "will produce significant positive net economic, environmental, and health benefits to Maryland." In the

¹ S.B. 528 (2022).

² S.B. 781 (2023).

³ U.S. Department of the Interior, "Biden-Harris Administration Marks Major Milestones for Offshore Wind, Approves Tenth Project" (Sept. 5, 2024),

https://www.doi.gov/pressreleases/biden-harris-administration-marks-major-milestones-offshore-wind-approves-tent

⁴ Md. Pub. Serv. Comm'n, Case No. 9666 - Order Granting Offshore Wind Renewable Energy Credits to US Wind's Revised Round 2 Project at 1 (Jan. 24, 2025).

context of the present permit request, MDE has already conducted a preliminary analysis and issued a tentative determination that the Project complies with the pertinent air quality standard.

Maryland Sierra Club has been supportive of US Wind's requests in those prior regulatory proceedings for the same reason it supports the present permit application: The Project will reduce Maryland's greenhouse gas emissions and improve its ability to comply with the mandates of the Climate Solution Now Act and POWER Act, the Project will have far less pollution and environmental impacts than fossil fuel power plants, and it will generate economic growth while improving public health in Maryland.

Offshore wind does not generate any significant sources of air pollution. In fact, it will result in a net decrease of statewide air pollution by displacing much dirtier fossil generation. In contrast with fossil power plants, which emit greenhouse gases, ozone-forming nitrogen oxides, and other air pollutants during their construction process and every day they are operating, offshore wind is a clean resource that does not burn solid fuel and does not emit air pollution during its operation. There are only relatively minor emissions associated with constructing offshore wind turbines, but any large construction process in Maryland would be expected to produce such temporary emissions, as vehicles are needed to transport construction components and assemble them

In light of the Project's substantial net benefit for the environment—and its lack of any significant air quality impacts—Sierra Club urges MDE to approve US Wind's air quality permit and to expeditiously approve any of US Wind's future requests for permits related to its construction process. In addition to reducing Maryland's overall air pollution and climate emissions, offshore wind is expected to further benefit the state by bolstering the state's domestic manufacturing industry and creating around 10,000 new jobs.⁵

Thank you for taking the time to consider these comments.

Sincerely,

Josh Tulkin, Director Maryland Chapter of the Sierra Club josh.tulkin@mdsierra.org Dustyn Thompson, Director Delaware Chapter of the Sierra Club Dustyn.Thompson@sierraclub.org

⁵ Offshore Wind Maryland, *Jobs for Marylanders*, https://offshorewindmaryland.org/working-in-offshorewind/jobs-for-marylanders/.



Approve Air Quality Permit for the US Wind Offshore Wind Project

1 message

William E Primosch (bill.primosch@gmail.com) Sent You a Personal Message

Fri, Mar 14, 2025 at 6:59 PM

<kwautomail@phone2action.com>

Reply-To: William E Primosch < bill.primosch@gmail.com>

To: shannon.heafey@maryland.gov

Dear Maryland Department of the Environment,

Wind power generation is vital for moving away from fossil fuels and limit global warming. Let's keep Maryland on track transition to renewable energy. My six grandchildren are depending on legislators to protect their future.

I urge you to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project without delay. The Project would provide economic, environmental, and energy benefits to our state that are vital for meeting our state?s climate and clean energy goals and would improve public health by reducing air pollution.

US Wind's Offshore Wind Project is expected to generate up to 2 GW of energy. The Project is also expected to bring 10,000 new jobs to the state of Maryland, which could help support families across our state.

Additionally, there is a lack of significant environmental harm posed by the Project, which the federal government has concluded after completing its environmental analyses and permitting processes in September 2024. In contrast to fossil fuel energy, offshore wind does not generate air pollution as it operates, and the Project would help reduce greenhouse gas emissions in the state by helping Maryland transition away from fossil fuel energy generation.

I urge the Maryland Department of the Environment to finalize and approve the air quality permit for US Wind's Maryland Offshore Wind Project to ensure that Maryland remains on track for a clean, abundant energy future.

Sincerely,

William E Primosch 8720 Hartsdale Ave. Bethesda, MD 20817 bill.primosch@gmail.com (202) 494-4817

This message was sent by KnowWho, as a service provider, on behalf of an individual associated with Sierra Club. If you need more information, please contact Member Care at Sierra Club at member.care@sierraclub.org or (415) 977-5673.



Maryland Offshore Wind Project: Information Regarding an Air Quality Permit Application Submitted by US Wind, Inc.

1 message

Roselie Bright <roseliemail@gmail.com>
To: shannon.heafey@maryland.gov

Sun, Jan 12, 2025 at 2:44 PM

Hi Ms. Shannon Heafey,

I'm writing in support of the Maryland Offshore Wind Project [1].

I stand by the public comments I've already submitted and attached to this email:

- In the first one [2], I discuss the need to consider health impacts of energy projects, and review the science that shows that combustion-generated energy is much worse for public health than noncombustion-generated energy, such as wind.
- In the second and third comments [3-4], I added that even though each energy project is small relative to its impact on greenhouse gases and climate change, they must each be taken seriously because the impacts add up.

In this comment, I call your attention to two new studies of the effects of severe weather on people:

- A recent study [5] of the effects of hundreds of tropical cyclones (including hurricanes and tropical storms) on human lives in the contiguous United States. Even the authors were surprised to calculate that for each storm, 7,000 to 11,000 deaths in the following 15 years were attributable to the storm's physical and economic effects on their lives.
- Another recent scientific report was a review of dozens of mental health studies. They found that "[h]urricanes and flooding were associated with increased depression and [post-traumatic stress]" [6].

These studies increase the urgency of acting to slow down the increase in storms and other weather disasters by replacing combustion-generated energy with non-combustion-generated energy, such as wind.

Thank you for this opportunity to comment.

Roselie A. Bright, Sc.D. Federal Epidemiologist, Retired Rockville, MD

REFERENCES


- 1. Maryland Offshore Wind Project: Information Regarding an Air Quality Permit Application Submitted by US Wind, Inc. Maryland Department of the Environment. https://mde.maryland.gov/programs/permits/AirManagementPermits/Pages/U.-S.-Wind-Maryland-Offshore-Wind-Project-.aspx. Accessed January 11, 2025.
- 2. Bright R. Written Comment to Ocean Energy Management Bureau on the Draft Environmental Impact Statement for US Wind Inc's Proposed Wind Energy Facility Offshore Maryland. Federal Register. 2023 Oct 06. 88(193): 69658-69659. https://www.govinfo.gov/content/pkg/FR-2023-10-06/pdf/2023-21749.pdf. Docket Number BOEM-2023-0050. Tracking number Ip6-c9lg-wqdg. https://www.regulations.gov/comment/BOEM-2023-0050-0415. Attachment filename: "Bright-Comment Supporting Maryland Offshore Windmills".
- 3. Bright RA. Comment on Case 9666 SKIPJACK OFFSHORE ENERGY, LLC AND US WIND, INC.'s OFFSHORE WIND APPLICATIONS UNDER THE CLEAN ENERGY JOBS ACT OF 2019. Maryland Public Service Commission. https://webpscxb.psc.state.md.us/DMS/case/9666. Accessed 2024 Oct 17. Filed at https://webpscxb.psc.state.md.us/DMS/E-file-pc on Oct 17, 2024. Attachment filename: "2024 10 17 Bright-- MD Offshore wind testimony-- Case 9666".
- 4. Bright RA. Comment on Request for Information: Commercial Leasing for Wind Power Development on the Central Atlantic Outer ContinentalShelf—Central Atlantic 2; Request for Nominations. Bureau of Ocean Energy Management. 2024 Aug 22. Docket No. BOEM-2024-0040. https://www.regulations.gov/document/BOEM-2024-0040-0001. Filed at

https://www.regulations.gov/commenton/BOEM-2024-0040-0001 on Oct 17, 2024. Comment Tracking Number m2d-p7xr-7l2p. Attached filename: 2024 10 17 Bright-- MidAtlantic Offshore wind testimony-- Docket BOEM-2024-0040-0001".

- 5. Young R, Hsiang S. Mortality caused by tropical cyclones in the United States. Nature. 2024 Nov; 635(8037): 121-128. DOI: 10.1038/s41586-024-07945-5.
- 6. Miller VA, Fitch KV, Swilley-Martinez ME, et al. Impact of Hurricanes and Floodings on Mental Health Outcomes Within the United States: A Systematic Review and Meta-Analysis. Disaster Med Public Health Prep. 2025 Jan 3: 18:e335. DOI: 10.1017/dmp.2024.327.

3 attachments





2024 10 17 Bright-- MidAtlantic Offshore wind testimony-- Docket BOEM-2024-0040-0001.pdf 58K

Maryland Offshore Wind. https://www.boem.gov/renewable-energy/state-activities/maryland-offshore-wind.

Ocean Energy Management Bureau. Notice of Availability of a Draft Environmental Impact Statement for US Wind Inc's Proposed Wind Energy Facility Offshore Maryland. Federal Register. 2023 Oct 06. 88(193): 69658-69659. https://www.govinfo.gov/content/pkg/FR-2023-10-06/pdf/2023-21749.pdf.

November 19, 2023

I'm Dr. Roselie Bright, a Maryland resident. I have a doctor of science degree in epidemiology, which is the science of diseases in populations, with an emphasis in environmental health. I'm retired from a federal career as an epidemiologist.

I support the development of wind-generated energy. Off-shore is a great location.

My focus is on the public health impacts of various sources of energy.

A. Sections that need to be in Environmental Impact Statements

Lately, I've been reading draft and final environmental impact statements (EISs) for a variety of fossil fuel related projects. They have included a range of elements of public health impacts. However, none of them have included all public health impacts of fossil fuel projects related to:

- 1. local extraction area during construction.
- 2. local extraction area during operations.
- 3. local extraction area after operations are finished and the facility is properly sealed.
- 4. local extraction area after operations are finished and the facility is improperly sealed.
- 5. the areas adjacent to fossil fuel transport (ports, transfer facilities, highways for tanker trucks, tracks for train tankers, waterways for tanker boats, areas along pipelines, etc.) in case of leaks, spills, or explosions.
- 6. the areas local to fossil fuel processing facilities.
- 7. the indoor and outdoor areas where fossil fuels are purposely combusted.
- 8. global greenhouse gas emissions and their adverse public health impacts.
- 9. airborne pollutants and gases associated with the first eight items in this list.
- 10. noise associated with the first seven items in this list.

All ten areas need to be included for the public health impacts to be comprehensive. Please note that there are plenty of published scientific articles that address each of the ten areas. A scientist with a doctoral degree in epidemiology, with expertise in environmental health, is the most qualified to find and analyze the extensive literature. If you don't have such a person on your staff, you could try to obtain one or several on detail from another agency, or contract with academics.

In general, your EISs should state the personnel who contributed to the different sections, and their qualifications.

B. Bad Health Impacts of the Alternative

Scientists have learned over the past several decades that fossil fuels have very bad health impacts for all ages, from prenatal to elderly. The effects are mainly on our lungs, hearts, and brains:

- 1. Combustion of natural gas causes indoor air pollution. 1 2 3
- 2. Air pollution particulates are harmful. 4

¹ Nicole W. Cooking Up Indoor Air Pollution: Emissions from Natural Gas Stoves. Environmental Health Perspectives. 2014 Jan 1; 122(1). DOI: 10.1289/ehp.122-A27.

² Lebel ED, Finnegan CJ, Ouyang Z, Jackson RB. Methane and NO_X Emissions from Natural Gas Stoves, Cooktops, and Ovens in Residential Homes. Environmental Science & Technology. 2022 Jan 27; 56(4): 2529-2539. DOI: 10.1021/acs.est.1c04707.

³ Kashtan YS, Nicholson M, Finnegan C, et al. Gas and Propane CombusRon from Stoves Emits Benzene and Increases Indoor Air Pollution. Environmental Science & Technology. 2023 Jun 15; 57(26):9653-9663. DOI: 10.1021/acs.est.2c09289.

⁴ Dominici F, Greenstone M, Sunstein CR. Science and regulaRon. ParRculate maNer maNers. Science. 2014; 344 (6181): 257–259. DOI: 10.1126/science.1247348.

3. Air pollution increases ill health, 5 6 7 8 9 10 11 12 13 poor birth outcomes, 14 15 infant ill-

⁵ Choma EF, Evans JS, Gómez-Ibáñez JA, et al. Health benefits of decreases in on-road transportation emissions in the United States from 2008 to 2017. PNAS, online 2021 Dec 13, DOI: 10.1073/ pnas.2107402118.

⁶ Luo Z et al. Impacts of vehicle emission on air quality and human health in China. Science of the Total Environment. 2022 Mar 20; Vol 813. DOI: 10.1016/j.scitotenv.2021.152655.

⁷ WHO-Europe. Health effects of transport-related air pollution. https://www.euro.who.int/__data/ assets/pdf_file/ 0006/74715/E86650.pdf.

⁸ Kheirbek I, Haney J, Douglas S, et al. The contribution of motor vehicle emissions to ambient fine particulate matter public health impacts in New York City: a health burden assessment. Environmental Health. 2016; 15:89. DOI: 10.1186/s12940-016-0172-6.

⁹ McCubbin DR, Delucchi MA. The health costs of motor-vehicle-related air pollution. Journal of Transport Economics and Policy. 1999 Sep; 33 (3): 253-286. https://www.jstor.org/stable/20053815.

¹⁰ Dominici F, Greenstone M, Sunstein CR. Science and regulation. Particulate matter matters. Science. 2014; 344 (6181): 257–259. DOI: 10.1126/science.1247348.

¹¹ Isen A, Rossin-Slater M, Walker, WR. Every breath you take—every dollar you'll make: the long-term consequences of the Clean Air Act of 1970. Journal of Political Economy. 2017; 125 (3): 848–902. https://www.journals.uchicago.edu/doi/abs/10.1086/691465.

¹² Fromell K, Johansson U, Abadgar S, et al. The effect of airborne Palladium nanoparticles on human lung cells, endothelium and blood – A combinatory approach using three *in vitro* models. Toxicology In Vitro. 2023 Jun; 89: 105586. DOI: 10.1016/j.tiv.2023.105586.

¹³ Aarzoo, Nidhi, Samim M. Palladium nanoparticles as emerging pollutants from motor vehicles: An in-depth review on distribution, uptake and toxicological effects in occupational and living environment. Science of the Total Environment. 2022 Jun 1; 823: 153787. DOI: 10.1016/j.scitotenv.2022.153787.

¹⁴ Hyder A, Lee HJ, Ebisu K, et al. PM2.5 exposure and birth outcomes: use of satellite- and monitor- based data. Epidemiology. 2014; 25 (1): 58. DOI: 10.1097/EDE.00000000000027.

¹⁵ Stieb DM, Chen L, Eshoul M, Judek S. Ambient air pollution, birth weight and preterm birth: a systematic review and meta-analysis. Environmental Research. 2012; 117: 100–111. doi: 10.1016/j.envres.2012.05.007.

¹⁶ Currie J, Almond D, Neidell M. Air polluRon and infant health: what can we learn from California's recent experience? The Quarterly Journal of Economics. 2005; 120 (3): 1003–1030. https://www.jstor.org/stable/25098761.

- ¹⁸ Triche EW, Gent JF, Holford TR, et al. Low-level ozone exposure and respiratory symptoms in infants. Environ Health Prospect. 2006 Jun; 114(6):911-6. DOI: 10.1289/ehp.8559.
- ¹⁹ Currie J, Almond D, Hanushek E, et al. Does pollution increase school absences? Review of Economics and Statistics. 2009; 91 (4): 672–694. https://ideas.repec.org/a/tpr/restat/ v91y2009i4p682-694.html.
- ²⁰ Currie J, Almond D, Zivin JG, et al. What do we know about short-and long-term effects of early-life exposure to pollution? Annu Rev Resour Econ. 2014; 6(1): 217–247. http://www.nber.org/papers/ w19571.pdf.
- ²¹ Vrijheid M, Casas M, Gascon M, et al. Environmental pollutants and child health—a review of recent concerns. International Journal of Hygiene and Environmental Health. 2016; 219 (4-5): 331–342. DOI: 10.1016/j.ijheh.2016.05.001.
- ²² Lleras-Muney A. The needs of the army using compulsory relocation in the military to estimate the effect of air pollutants on children's health. Journal of Human Resources. 2010; 45 (3): 549–590. hNps://www.jstor.org/stable/25703469.
- ²³ Austin W, Heutel G, Kreisman D. School Bus Emissions, Student Health and Academic Performance. Economics of Education Review. 2019. https://www.nber.org/papers/w25641. DOI: 10.3386/w25641.
- ²⁴ Currie J, Almond D, Neidell M. Air pollution and infant health: what can we learn from California's recent experience? The Quarterly Journal of Economics. 2005; 120 (3): 1003–1030. https://www.jstor.org/stable/25098761.
- ²⁵ Currie J, Almond D, Walker R. Traffic congestion and infant health: evidence from E-ZPass. American Economic Journal: Applied Economics. 2011; 3 (1): 65–90. https://www.aeaweb.org/articles?id=10.1257/app.3.1.65.
- ²⁶ Currie J, Almond D, Hanushek E, et al. Does pollution increase school absences? Review of Economics and Statistics. 2009; 91 (4): 672–694. https://ideas.repec.org/a/tpr/restat/ v91y2009i4p682-694.html.
- ²⁷ Currie J, Neidell M, Schmieder JF. Air pollution and infant health: Lessons from New Jersey. Journal of Health Economics. 2009; 28 (3): 688–703. DOI: 10.1016/j.jhealeco.2009.02.001.
- ²⁸ Knittel CR, Miller DL, and Sanders NJ. Caution, drivers! Children present: traffic, pollution, and infant health. Review of Economics and Statistics. 2016; 98 (2): 350–366. http://hdl.handle.net/ 1721.1/113913.
- ²⁹ Marcus M. On the road to recovery: Gasoline content regulations and child health. Journal of Health Economics. 2017; 54: 98–123. DOI: 10.1016/j.jhealeco.2017.04.003.

¹⁷ Currie J, Neidell M, Schmieder JF. Air pollution and infant health: Lessons from New Jersey. Journal of Health Economics. 2009; 28 (3): 688–703. DOI: 10.1016/j.jhealeco.2009.02.001.

³⁰ Simeonova E, Currie J, Nilsson P, Walker R. Congestion pricing, air pollution and children's health. Technical Report, NBER Working Paper No. 24410 2018.

³¹ Alexander D, Schwandt H. The impact of car pollution on infant and child health: evidence from emissions cheating. Federal Reserve Bank of Chicago. 2019. WP 2019-04. DOI: 10.21033/ wp-2019-04.

³² Volk HE, Lurmann F, Penfold B, et al. Traffic-related air pollution, particulate matter, and autism. JAMA Psychiatry. 2013; 70 (1): 71–77. DOI: 10.1001/jamapsychiatry.2013.266.

³³ Gent JF, Triche EW, Holford TR, et al. Association of low-level ozone and fine particles with respiratory symptoms in children with asthma. Journal of the American Medical Association. 2003; 290 (14): 1859–1867. DOI: 10.1001/jama.290.14.1859.

³⁴ McConnell R, Berhane K, Yao L, et al. Traffic, susceptibility, and childhood asthma. Environ Health Prospect. 2006 May; 114(5):766-72. DOI: 10.1289/ehp.8594.

³⁵ Neidell MJ. Air pollution, health, and socio-economic status: the effect of outdoor air quality on childhood asthma. Journal of Health Economics. 2004; 23 (6): 1209–1236. DOI: 10.1016/ j.jhealteco.2004.05.002.

³⁶ Gauderman WJ, Avol E, Lurmann F, et al. Childhood asthma and exposure to traffic and nitrogen dioxide. Epidemiology. 2005; 16 (6): 737–743. DOI: 10.1097/01.ede.0000181308.51440.75.

³⁷ Jerrett M, Shankardass K, Berhane K, et al. Traffic-related air pollution and asthma onset in children: a prospective cohort study with individual exposure measurement. Environ Health Prospect. 2008 Oct; 116(10):1433-8. DOI: 10.1289/ehp.10968.

³⁸ Gent JF, Triche EW, Holford TR, et al. Association of low-level ozone and fine particles with respiratory symptoms in children with asthma. Journal of the American Medical Association. 2003; 290 (14): 1859–1867. DOI: 10.1001/jama.290.14.1859.

³⁹ McConnell R, Islam T, Shankardass K, et al. Childhood incident asthma and traffic-related air pollution at home and school. Environ Health Perspect 2010 Jul; 118(7): 1021-6. DOI: 10.1289/ehp.0901232.

⁴⁰ Mar TF, Koenig JQ. Relationship between visits to emergency departments for asthma and ozone exposure in greater Seattle, Washington. Annals of Allergy, Asthma, and Immunology. 2009; 103 (6): 474–479. DOI: 10.1016/S1081-1206(10)60263-3.

deaths, 41 42 cardiocerebrovascular events, 43 lung illness, 44 45 childhood lung illness, 46

⁴¹ Hoek G, Krishnan RM, Beelen R, et al. Long-term air pollution exposure and cardio-respiratory mortality: a review. Environmental Health. 2013; 12 (43). DOI: 10.1186/1476-069X-12-43.

⁴² Peters A, Von Klot S, Heier, M, et al. Exposure to traffic and the onset of myocardial infarction. New England Journal of Medicine. 2004; 351 (17): 1721–1730. DOI: 10.1056/NEJMoa040203.

⁴³ Magnoni P, Murtas R, Russo AG. Residential exposure to traffic-borne pollution as a risk factor for acute cardiocerebrovascular events: a population-based retrospective cohort study in a highly urbanized area. Int J Epidemiol. 2021 Aug 30; 50(4): 1160-1171. DOI: 10.1093/ije/dyab068.

⁴⁴ Medina-Ramon M, Zanober A, Schwartz J. The effect of ozone and PM10 on hospital admissions for pneumonia and chronic obstructive pulmonary disease: a national multicity study. American Journal of Epidemiology. 2006; 163 (6): 579–588. DOI: 10.1093/aje/kwj078.

⁴⁵ Beatty TKM, Shimshack JP. School buses, diesel emissions, and respiratory health. Journal of Health Economics. 2011; 30 (5): 987–999. DOI: 10.1016/j.jhealeco.2011.05.017.

⁴⁶ Gauderman WJ, Vora H, McConnell R, et al. Effect of exposure to traffic on lung development from 10 to 18 years of age: a cohort study. Lancet. 2007 Feb 17; 369(9561): 571-7. DOI: 10.1016/S0140-6736(07)60037-3.

dementia, ⁴⁷ mortality among older people, ⁴⁸ and mortality in general. ⁴⁹ ⁵⁰ ⁵¹ ⁵² ⁵³ ⁵⁴ ⁵⁵

⁴⁷ Bishop KC, Ketcham JD, Kuminoff NV. Hazed and confused: The effect of air pollution on dementia. Technical Report, NBER Working Paper No. 24970. 2018. https://www.nber.org/papers/w24970.

⁴⁸ Di Q, Dai L, Wang Y, et al. Association of short-term exposure to air pollution with mortality in older adults. Journal of the American Medical Association. 2017; 318 (24): 2446–2456. DOI: 10.1001/jama.2017.17923.

⁴⁹ Anderson ML. As the Wind Blows: The Effects of Long-Term Exposure to Air PolluRon on Mortality. Journal of the European Economic Association. 2020 Aug; 18(4): 1886-1927. DOI: 10.1093/jeea/jvz051.

⁵⁰ Bell ML, McDermott A, Scott L, Zeger SL, et al. Ozone and short-term mortality in 95 US urban communities, 1987-2000. Journal of the American Medical Association. 2004; 292 (19): 2372–2378. DOI: 10.1001/jama.292.19.2372.

⁵¹ Jerrett M, Burnett RT, Pope CA, et al. Long-term ozone exposure and mortality. New England Journal of Medicine. 2009; 360 (11): 1085–1095. DOI: 10.1056/NEJMoa0803894.

⁵² Schwartz J. Air pollution and daily mortality: a review and meta analysis. Environmental Research. 1994; 64 (1): 36–52. DOI: 10.1006/enrs.1994.1005.

⁵³ Schwartz J, Bind M-A, Koutrakis P. Estimating causal effects of local air pollution on daily deaths: effect of low levels. Environ Health Prospect. 2017 Jan; 125 (1): 23-29. DOI: 10.1289/EHP232.

⁵⁴ Anderson ML. As the Wind Blows: The Effects of Long-Term Exposure to Air Pollution on Mortality. Journal of the European Economic Association. 2020 Aug; 18(4): 1886-1927. DOI: 10.1093/jeea/ jvz051.

⁵⁵ Bell ML, McDermott A, Scott L, Zeger SL, et al. Ozone and short-term mortality in 95 US urban communities, 1987-2000. Journal of the American Medical Association. 2004; 292 (19): 2372–2378. DOI: 10.1001/jama.292.19.2372.

⁵⁶ Schwartz J. Air pollution and daily mortality: a review and meta analysis. Environmental Research. 1994; 64 (1): 36–52. DOI: 10.1006/enrs.1994.1005.

- Air and industrial pollution disproportionately impacts disadvantaged populations. 57 58 59 60 61
- 5. Noise pollution, partly caused by combustion engines, has been found to have significant adverse health impacts, 62 63 64 65 66 including hearing impairment, 67 poor

⁵⁷ Bell ML, O'Neill MS, Cifuentes LA, et al. Challenges and recommendations for the study of socioeconomic factors and air pollution health effects. Environmental Science and Policy. 2005; 8 (5): 525–533. DOI: 10.1016/j.envsci.2005.06.003.

⁵⁸ Ponce NA, Hoggatt KJ, Wilhelm M, Ritz B. Preterm birth: the interaction of traffic-related air pollution with economic hardship in Los Angeles neighborhoods. American Journal of Epidemiology. 2005; 162 (2): 140–148. DOI: 10.1093/aje/kwi173.

⁵⁹ Donaghy T. Research Brief: Environmental Justice Across Industrial Sectors. Greenpeace. 2021 Apr 12. https://www.greenpeace.org/usa/research/environmental-justice-industrial-sectors/.

⁶⁰ Maantay J. Zoning law, health, and environmental justice: What's the connection? The Journal of Law and Ethics. 2002 Winter; 30(4): 572-93. DOI: 10.1111/j.1748-720x.2002.tb00427.x.

⁶¹ Ash M, Boyce JK. Racial disparities in pollution exposure and employment at US industrial facilities. PNAS. 2018 Oct 1; 115(42): 10636-10641. DOI: 10.1073/pnas.1721640115.

⁶² Okazaki Y, Ito L, Tokai A. Characterizing potential risk triggered by road traffic noise in comparison with typical air pollutants NO ₂ and PM _{2.5}. Environ Syst Decis. 2021; 41(1): 147-162. DOI: 10.1007/s10669-021-09800-8.

⁶³ Stansfeld SA. Noise Effects on Health in the Context of Air Pollution Exposure. Int J Environ Res Public Health. 2015 Oct 14; 12(10): 12735-60. DOI: 10.3390/ijerph121012735.

⁶⁴ Stansfeld S, Clark C. Health Effects of Noise Exposure in Children. Curr Environ Health Rep. 2015 Jun; 2(2): 171-8. DOI: 10.1007/s40572-015-0044-1.

⁶⁵ Stansfeld S, Clark C, Smuk M, et al. Road traffic noise, noise sensitivity, noise annoyance, psychological and physical health and mortality. Environ Health. 2021 Mar 25; 20(1): 32. DOI: 10.1186/s12940-021-00720-3.

⁶⁶ WHO (World Health Organization). 1999. Guidelines for Community Noise. Available at: www.who.int/ docstore/peh/noise/guidelines2.html.

⁶⁷ Wang T-C, Chang T-Y, Tyler RS, et al. Association between exposure to road traffic noise and hearing impairment: a case-control study. J Environ Health Sci Eng. 2021 Jul 20; 19(2): 1483-1489. DOI: 10.1007/s40201-021-00704-y.

sleep quality, 68 69 morning fatigue, 70 obesity, 71 72 73 diabetes, 74 75 childhood cognitive

⁶⁸ Sanok S, Berger M, Müller U, et al. Road traffic noise impacts sleep continuity in suburban residents: Exposure-response quantification of noise-induced awakenings from vehicle pass-bys at night. Sci Total Environ. 2022 Apr 15; 817: 152594. DOI: 10.1016/j.scitotenv.2021.152594.

⁶⁹ Yli-Tuomi T, Turunen AW, Tiittanen P, Lanki T. Exposure-Response Functions for the Effects of Traffic Noise on Self-Reported Annoyance and Sleep Disturbance in Finland: Effect of Exposure Estimation Method. Int J Environ Res Public Health. 2022 Jan 25; 19(3): 1314. DOI: 10.3390/ ijerph19031314.

⁷⁰ de Kluizenaar Y, Janssen SA, van Lenthe FJ, et al. Long-term road traffic noise exposure is associated with an increase in morning tiredness. Acoustical Society of America. 2009; 126: 626-633. DOI: 10.1121/1.3158834.

⁷¹ de Bont J, Márquez S, Fernández-Barrés S, et al. Urban environment and obesity and weight-related behaviours in primary school children. Environ Int. 2021 Oct; 155: 106700. DOI: 10.1016/j.envint.2021.106700.

⁷² Gui S-Y, Wu K-J, Sun Y, et al. Traffic noise and adiposity: a systematic review and meta-analysis of epidemiological studies. Environ Sci Pollut Res Int. 2022 Aug (online in 2022 Mar); 29(37): 55707-55727. DOI: 10.1007/s11356-022-19056-7.

⁷³ Weyde KV, Prog NH, Oftedal B, et al. A Longitudinal Study of Road Traffic Noise and Body Mass Index Trajectories from Birth to 8 Years. Epidemiology. 2018 Sep; 29(5): 729-738. DOI: 10.1097/EDE.000000000000868.

⁷⁴ Voss S, Schneider A, Huth C, et al. ENVINT-D-20-01309: Long-term exposure to air pollution, road traffic noise, residential greenness, and prevalent and incident metabolic syndrome: Results from the population-based KORA F4/FF4 cohort in Augsburg, Germany. Environ Int. 2021 Feb; 147: 106364. DOI: 10.1016/j.envint.2020.106364.

⁷⁵ Thacher JD, Poulsen AH, Hvidtfeldt UA, et al. Long-Term Exposure to Transportation Noise and Risk for Type 2 Diabetes in a Nationwide Cohort Study from Denmark. Environ Health Perspect. 2021 Dec; 129(12): 127003. DOI: 10.1289/EHP9146.

⁷⁶ Foraster M, Esnaola M, López-Vicente M, et al. Exposure to road traffic noise and cognitive development in schoolchildren in Barcelona, Spain: A population-based cohort study. PLoS Med. 2022 Jun 2; 19(6): e1004001. DOI: 10.1371/journal.pmed.1004001.

⁷⁷ Lan Y, Roberts H, Kwan M-P, Helbich M. Transportation noise exposure and anxiety: A systematic review and meta-analysis. Environ Res. 2020 Dec; 191: 110118. DOI: 10.1016/j.envres.2020.110118.

⁷⁸ Li A, Martino E, Mansour A, Bentley R. Environmental Noise Exposure and Mental Health: Evidence From a Population-Based Longitudinal Study. Am J Prev Med. EPub 2022 Apr 21;S0749-3797(22)00156-8 and Final 2022 Aug; 63(2): e39-e48. DOI: 10.1016/ j.amepre.2022.020.

⁷⁹ Tangermann L, Vienneau D, Hattendorf J, et al. The association of road traffic noise with problem behaviour in adolescents: A cohort study. Environ Res. 2022 May 1; 207: 112645. DOI: 10.1016/j.envres.2021.112645.

⁸⁰ Tiesler CMT, Birk M, Thiering E, et al. Exposure to road traffic noise and children's behavioural problems and sleep disturbance: results from the GINIplus and LISAplus studies. Environ Res. 2013 May; 123: 1-8. DOI: 10.1016/j.envres.2013.01.009.

⁸¹ Babisch W, Neuhauser H, Thamm M, Seiwert M. Blood pressure of 8-14 year old children in relation to traffic noise at home--results of the German Environmental Survey for Children (GerES IV). Sci Total Environ. 2009 Nov 1; 407(22): 5839-43. DOI: 10.1016/j.scitotenv.2009.08.016.

⁸² Babisch W, Wölke G, Heinrich J, Straff W. Road traffic noise and hypertension--accounting for the location of rooms. Environ Res. 2014 Aug;133:380-7. DOI: 10.1016/j.envres.2014.05.007.

⁸³ Bodin T, Albin M, Ardö J, et al. Road traffic noise and hypertension: Results from a cross- sectional public health survey in southern Sweden. Environmental Health. 2019; 8: 38. DOI: 10.1186/1476-069X-8-38.

⁸⁴ Fuks K, Moebus S, Hertel S, et al. Long-term urban particulate air pollution, traffic noise, and arterial blood pressure. Environ Health Perspect. 2011 Dec; 119(12): 1706-11. DOI: 10.1289/ehp.1103564.

⁸⁵ Pitchika A, Hampel R, Wolf K, et al. Long-term associations of modeled and self-reported measures of exposure to air pollution and noise at residence on prevalent hypertension and blood pressure. Sci Total Environ. 2017 Sep 1; 593-594: 337-346. DOI: 10.1016/j.scitotenv.2017.03.156.

⁸⁶ van Kempen E, Babisch W. The quantitative relationship between road traffic noise and hypertension: a meta-analysis. J Hypertens. 2012 Jun; 30(6): 1075-86. DOI: 10.1097/HJH.0b013e328352ac54.

childhood increased blood pressure, 87 heart disease, 88 89 90 91 92 93 cardiovascular risk

⁸⁷ Liu C, et al. The associations between traffic-related air pollution and noise with blood pressure in children: results from the GINIplus and LISAplus studies. Int J Hyg Environ Health. Apr-May 2014;217(4-5):499-505. DOI: 10.1016/j.ijheh.2013.09.008.

⁸⁸ Babisch W, Beule B, Schust M, et al. Traffic noise and risk of myocardial infarction. Epidemiology. 2005 Jan; 16(1): 33-40. DOI: 10.1097/01.ede.0000147104.84424.24.

⁸⁹ Babisch W. Road Traffic Noise and Cardiovascular Risk. Noise Health. 2008; 10 (38): 27-33. DOI: 10.4103/1463-1741.39005.

⁹⁰ Lim Y-H, Jørgensen JT, So R, et al. Long-Term Exposure to Air Pollution, Road Traffic Noise, and Heart Failure Incidence: The Danish Nurse Cohort. J Am Heart Assoc. 2021 Oct 19; 10(20): e021436. DOI: 10.1161/ JAHA.121.021436.

⁹¹ van Kempen EE, Kruize H, Boshuizen HC, et al. The association between noise exposure and blood pressure and ischemic heart disease: a meta-analysis. Environmental Health Perspectives. 2002. 110: 307-317. DOI: 10.1289/ehp.02110307.

⁹² Babisch W. Updated exposure-response relationship between road traffic noise and coronary heart diseases: a meta-analysis. Noise Health. Jan-Feb 2014;16(68):1-9. DOI: 10.4103/1463-1741.127847.

⁹³ Lim Y-H, Jørgensen JT, So R, et al. Long-term exposure to road traffic noise and incident myocardial infarction: A Danish Nurse Cohort study. Environ Epidemiol. 2021 Apr 22;5(3):e148. DOI: 10.1097/ EE9.0000000000000148.

and events, 94 95 lung disease, 96 97 raised stress hormones, 98 brain damage, 99 100 cancer, 101 and death 102 103.

⁹⁴ Hoffmann B, Weinmayr G, Hennig F, et al. Air quality, stroke, and coronary events: results of the Heinz Nixdorf Recall Study from the Ruhr Region. Dtsch Arztebl Int. 2015 Mar 20; 112(12): 195-201. DOI: 10.3238/arztebl.2015.0195.

⁹⁵ Kaelsch H, Hennig F, Moebus S, et al. Are air pollution and traffic noise independently associated with atherosclerosis: the Heinz Nixdorf Recall Study. Eur Heart J. 2014 Apr; 35(13): 853-60. DOI: 10.1093/eurheartj/eht426.

⁹⁶ Liu S, Fuertes E, Tiesler CMT et al. Long-term air pollution and road traffic noise exposure and COPD: the Danish Nurse Cohort. Eur Respir J. 2021 Dec 2; 58(6): 2004594. DOI: 10.1183/13993003.04594-2020.

⁹⁷ Liu S, Lim Y-H, Pedersen M, et al. Long-term exposure to ambient air pollution and road traffic noise and asthma incidence in adults: The Danish Nurse cohort. Environ Int. 2021 Jul; 152: 106464. DOI: 10.1016/j.envint.2021.106464.

⁹⁸ Babisch W, Fromme H, Beyer A, Ising H. Increased catecholamine levels in urine in subjects exposed to road traffic noise: the role of stress hormones in noise research. Environ Int. 2001 Jun; 26(7-8): 475-81. DOI: 10.1016/s0160-4120(01)00030-7.

⁹⁹ Cantuaria ML, Waldorff FB, Wermuth L, et al. Residential exposure to transportation noise in Denmark and incidence of dementia: national cohort study. BMJ. 2021 Sep 8; 374:n1954. DOI: 10.1136/bmj.n1954.

¹⁰⁰ Mac Domhnaill CM, Douglas O, Lyons S, et al. Road traffic noise and cognitive function in older adults: a cross-sectional investigation of The Irish Longitudinal Study on Ageing. BMC Public Health. 2021 Oct 8; 21(1): 1814. DOI: 10.1186/s12889-021-11853-y.

¹⁰¹ Sørensen M, Poulsen AH, Kroman N, et al. Road and railway noise and risk for breast cancer: A nationwide study covering Denmark. Environ Res. 2021 Apr; 195: 110739. DOI: 10.1016/ j.envres.2021.110739.

¹⁰² Cai Y, Ramakrishnan R, Rahimi K. Long-term exposure to traffic noise and mortality: A systematic review and meta-analysis of epidemiological evidence between 2000 and 2020. Environ Pollut. 2021 Jan 15; 269: 116222. DOI: 10.1016/j.envpol.2020.116222.

¹⁰³ Cole-Hunter T, So R, Amini H, et al. Long-term exposure to road traffic noise and all-cause and cause-specific mortality: a Danish Nurse Cohort study. Sci Total Environ. 2022 May 10; 820: 153057. DOI: 10.1016/j.scitotenv.2022.153057.

6. Greenhouse gas emissions from fossil fuels use 104 105 are causing worse and more frequent storms, 106 107 108 109 110 wildfires, 111 droughts, 112 and ill health, 113 114 which in

 ¹⁰⁴ Bradbury J, Clement Z, Down A. Greenhouse Gas Emissions and Fuel Use within the Natural Gas Supply Chain
 Sankey Diagram Methodology. Office of Energy Policy and Systems Analysis, US Dept of Energy. 2015 Jul.
 https://www.energy.gov/policy/articles/fuel-use-and-greenhouse-gas-emissions- natural-gas-system-sankey-diagram-methodology.

¹⁰⁵ Sources of Greenhouse Gas Emissions. US Environmental Protection Agency. 2023 Sep 1. https://climatechange.chicago.gov/ghgemissions/sources-greenhouse-gas-emissions.

¹⁰⁶ Risser MD, Wehner MF. Attributable Human-Induced Changes in the Likelihood and Magnitude of the Observed Extreme Precipitation during Hurricane Harvey. Geophys Res Lett. 2017 Dec 12; 44(24): 12457–12464. DOI: 10.1002/2017GL075888.

¹⁰⁷ Van Oldenborgh G J, van der Wiel K, Sebastian A, et al. Attribution of extreme rainfall from Hurricane Harvey, August 2017. Environ Res Lett. 2017; 12: 124009. DOI: 10.1088/1748-9326/ aa9ef2. https://iopscience.iop.org/article/10.1088/1748-9326/aa9ef2.

¹⁰⁸ Wang S-YS, Zhao L, Yoon J-H, et al. Quantitative attribution of climate effects on Hurricane Harvey's extreme rainfall in Texas. Environ Res Lett. 2018; 13(5): 054014. DOI: 10.1088/1748-9326/ aabb85.

¹⁰⁹ Pendergrass AG, Knutti R. The uneven nature of daily precipitation and its change. Geophys Res Lett. 2018; 45(21):11980-11988. DOI: 10.1029/2018GL080298.

¹¹⁰ Prein A F, Liu C, Ikeda K, et al. Increased rainfall volume from future convective storms in the US. Nature Clim Change. 2017 Nov 20; 7: 880–884. https://www.nature.com/articles/s41558-017-0007-7.

¹¹¹ Wildfire climate connection. National Oceanic and Atmospheric Administration. 2023 Jul 24. https://www.noaa.gov/noaa-wildfire/wildfire-climate-connection.

¹¹² Bates S. Drought makes its home on the range. National Aeronautics Space Administration. 2021 Sep 27. https://climate.nasa.gov/news/3117/drought-makes-its-home-on-the-range/.

¹¹³ Climate change and infectious diseases. Centers for Disease Control and Prevention National Center for Emerging and Zoonotic Infectious Diseases. 2022 Aug 2. https://www.cdc.gov/ncezid/what-we-do/climate-change-and-infectious-diseases/index.html.

¹¹⁴ Climate change and human health. Environmental Protection Agency. 2023 Feb 27. https://www.epa.gov/climateimpacts/climate-change-and-human-health.

turn are damaging the environment, ¹¹⁵ ¹¹⁶ ¹¹⁷ posing significant hazards to public health, ¹¹⁸ ¹¹⁹ ¹²⁰ and exacting high economic costs ¹²¹ ¹²² ¹²³.

C. Include public health in the risk benefit analyses

The public health impacts are crucial to risk benefit analyses ¹²⁴ since the benefits of fossil fuels can now be achieved with energy sources that are much less harmful to public health ¹²⁵.

As a society, we no longer need to put up with these bad health effects to have industrial, transportation, and home energy. Renewable sources, including wind, have much less public

¹¹⁵ Fontúrbel FE, Nespolo RF, Amico GC, Watson DM. Climate change can disrupt ecological interactions in mysterious ways: Using ecological generalists to forecast community-wide effects. Climate Change Ecology. 2021 Dec; 2: 100044. DOI: 10.1016/j.ecochg.2021.100044.

¹¹⁶ Simmer RA, Jansen EJ, Patterson KJ, Schnoor JL. Climate change and the sea: a major disruption in steady state and the master variables. ACS Environ Au. 2023 Apr 19; 3(4): 195-208. DOI: 10.1021/acsenvironau.2c00061.

¹¹⁷ Climate Change Impacts on the Ocean and Marine Resources. US Environmental Protection Agency. 2022 Dec 13. https://www.epa.gov/climateimpacts/climate-change-impacts-ocean-and-marine-resources.

¹¹⁸ Macdiarmid JI, Whybrow S. Nutrition from a climate change perspective. Proc Nutr Soc. 2019 Aug; 78(3): 380-387. DOI: 10.1017/S0029665118002896.

¹¹⁹ Climate change. World Health Organization. 2023 Oct 12. https://www.who.int/news-room/fact-sheets/detail/climate-change-and-health.

¹²⁰ Climate impacts on human health. Environmental Protection Agency. https://climatechange.chicago.gov/climate-impacts/climate-impacts-human-health. Accessed Nov 19, 2023.

¹²¹ White Paper: Climate Risk Exposure: An Assessment of the Federal Government's Financial Risks to Climate Change. US Office of Management and Budget. 2022 Apr. https://www.whitehouse.gov/wp-content/uploads/2022/04/OMB_Climate_Risk_Exposure_2022.pdf.

¹²² The importance of measuring the fiscal and economic costs of climate change. US White House. 2023 Mar 14. https://www.whitehouse.gov/omb/briefing-room/2023/03/14/the-importance-of-measuring-the-fiscal-and-economic-costs-of-climate-change/.

¹²³ Sullivan A, Volcovici V. Billion dollar US climate disasters prompt \$1 billion Red Cross response. Reuters. 2023 Sep 12. https://www.reuters.com/world/us/us-hits-record-costly-climate-disasters-red-cross-plans-1bn-effort-2023-09-12/.

¹²⁴ Isen A, Rossin-Slater M, Walker, WR. Every breath you take–every dollar you'll make: the long-term consequences of the Clean Air Act of 1970. Journal of Political Economy. 2017; 125 (3): 848–902. https://www.journals.uchicago.edu/doi/abs/10.1086/691465.

¹²⁵ Health and safety benefits of clean energy. Department of Energy Office of Energy Efficiency and Renewable Energy. https://www.energy.gov/eere/health-and-safety-benefits-clean-energy. Accessed Nov. 19, 2023.

health impacts. 126 During the transition to renewable sources, EISs should include analyses that compare the public health adverse impacts of fossil fuel vs. renewable energy sources. Essentially, fossil fuel projects to provide the same level of energy production would be a second type of "No Action" alternative for the EIS, as mentioned in the public comments on October 30, 2023, by Maryland Delegate Charkoudian. Epidemiologists, preferably with doctoral epidemiology degrees, and with environmental health expertise, are good choices for generating the reviews and analyses of these relative public health impacts.

D. Necessity for Maryland

The Maryland legislature set goals for the state to reduce greenhouse gases. ¹²⁷ Conversion from fossil fuel use to renewables, including wind, is a necessary step to meeting those goals.

Thank you for this opportunity to comment.

¹²⁶ Ritchie H. What are the safest and cleanest sources of energy? Our World In Data. 2020 Feb 10. https://ourworldindata.org/safest-sources-of-energy.

¹²⁷ State plans, regulations and programs to reduce greenhouse gas emissions. West's Annotated Code of Maryland. Maryland Code, Environment, SecRon 2-1205. 2022 Jun 1. https://govt.westlaw.com/ mdc/Document/ N8E5530E0DC6811ECB780F6F7C9C255F3.

Comment on Case 9666 - SKIPJACK OFFSHORE ENERGY, LLC AND US WIND, INC.'s OFFSHORE WIND APPLICATIONS UNDER THE CLEAN ENERGY JOBS ACT OF 2019. Maryland Public Service Commission. https://webpscxb.psc.state.md.us/DMS/case/9666. Accessed 2024 Oct 17.

Filed at https://webpscxb.psc.state.md.us/DMS/E-file-pc on Oct 17, 2024.

I'm Roselie Bright, ScD, a Maryland resident. I have a Harvard doctor of science degree in epidemiology, which is the science of diseases in populations, with an emphasis in environmental health. I'm retired from a federal career as an epidemiologist. My comment focuses on the health aspects of this case.

First, I reference and stand by the oral comment I made on October 30, 2023, to BOEM about this project, and my more extensive written comment of November 19, 2023 [1]. In them, I emphasized that decision-makers ought to consider the full range of public health pros and cons of non-combustion versus combustion energy. Combustion energy fuels include oil, gas, methane, bio-methane, ethanol, and trash.

In this comment, I want to add that every project, as small as it may seem among all energy projects, counts. I have seen many federal justifications for combustion energy projects that state that the projected impact of their individual project is a very small fraction of the total impacts of combustion on pollution and climate change. The problem with the federal arguments is that even though every single project is relatively small, they add up. The only way to tackle the entire problem of combustion-fuels usage is to address each project. The only way to reduce the impacts of combustion on pollution and climate change is to eliminate each project. As a society, we now have the capability to replace most combustion and we need to do so expeditiously. Meantime, we need to develop the technology to remove the combustion projects that we currently can't replace.

Clearly, to eliminate combustion projects, they need to be replaced with non-combustion energy projects, including wind. Wind projects should take advantage of both onshore and offshore locations, such as the one being considered today.

A major benefit of replacing combustion projects with other sources of energy is improved health, as I had detailed for BOEM. The direct benefits include less risk of explosions and thermal burns, less health problems from air, water, and ground pollution, and less health problems from the noise generated by combustion. The indirect benefits include slowed or stopped climate change, which is causing health problems, injuries, starvation, and deaths from storms, drought, wildfire, decreased crop production, declines in ocean food resources, increased infections, and less habitable land.

The risks and projected environmental and human health impacts from offshore wind energy generation are small, compared to the impacts from equivalent amounts of energy generated with combustion.

The risks and benefits equation strongly favors supporting the current proposal to expand the Maryland offshore wind turbines project.

Thank you for this opportunity to comment.

MD PSC Case 9666 Roselie Bright, ScD 10/17/2024 Page 1 of 2

Reference:

Bright, Roselie. Comment Supporting Maryland Offshore Windmills. Posted by Bureau of Ocean Energy Management on Dec 13, 2023. Document BOEM-2023-0050-0001. Tracking number lp6-c9lg-wqdg. Received Nov 19, 2023. https://www.regulations.gov/comment/BOEM-2023-0050-0415. Attached.

MD PSC Case 9666 Roselie Bright, ScD 10/17/2024 Page 2 of 2

Comment on Request for Information: Commercial Leasing for Wind Power Development on the Central Atlantic Outer ContinentalShelf—Central Atlantic 2; Request for Nominations. Bureau of Ocean Energy Management. 2024 Aug 22. Docket No. BOEM-2024-0040. https://www.regulations.gov/document/BOEM-2024-0040-0001.

Filed at https://www.regulations.gov/commenton/BOEM-2024-0040-0001 on Oct 17, 2024.

I'm Roselie Bright, ScD, a Maryland resident. I have a Harvard doctor of science degree in epidemiology, which is the science of diseases in populations, with an emphasis in environmental health. I'm retired from a federal career as an epidemiologist.

My comment supports leasing offshore areas for wind development for reasons of health, which I think should be a category of information that you request.

First, I reference and stand by the oral comment I made on October 30, 2023, to BOEM about this initiative, and my more extensive written comment of November 19, 2023 [1]. In them, I emphasized that decision-makers ought to consider the full range of public health pros and cons of non-combustion versus combustion energy. Combustion energy fuels include oil, gas, methane, bio-methane, ethanol, and trash.

In this comment, I want to add that every project, as small as it may seem among all energy projects, counts. I have seen many federal justifications for combustion energy projects that state that the projected impact of their individual project is a very small fraction of the total impacts of combustion on pollution and climate change. The problem with the federal arguments is that even though every single project is relatively small, they add up. The only way to tackle the entire problem of combustion-fuels usage is to address each project. The only way to reduce the impacts of combustion on pollution and climate change is to eliminate each project. As a society, we now have the capability to replace most combustion and we need to do so expeditiously. Meantime, we need to develop the technology to remove the combustion projects that we currently can't replace.

Clearly, to eliminate combustion projects, they need to be replaced with non-combustion energy projects, including wind. Wind projects should take advantage of both onshore and offshore locations, such as the one being considered today.

A major benefit of replacing combustion projects with other sources of energy is improved health, as I had detailed for BOEM last year. The direct benefits include less risk of explosions and thermal burns, less health problems from air, water, and ground pollution, and less health problems from the noise generated by combustion. The indirect benefits include slowed or stopped climate change, which is causing health problems, injuries, starvation, and deaths from storms, drought, wildfire, decreased crop production, declines in ocean food resources, increased infections, and less habitable land.

The risks and projected environmental and human health impacts from offshore wind energy generation are small, compared to the impacts from equivalent amounts of energy generated with combustion.

The risks and benefits equation strongly favors supporting initiation and expansions of the Mid-Atlantic offshore wind turbines projects.

Thank you for this opportunity to comment.

Reference:

Bright, Roselie. Comment Supporting Maryland Offshore Windmills. Posted by Bureau of Ocean Energy Management on Dec 13, 2023. Document BOEM-2023-0050-0001. Tracking number lp6-c9lg-wqdg. Received Nov 19, 2023. https://www.regulations.gov/comment/BOEM-2023-0050-0415. Attached.

Air and Radiation Administration 1800 Washington Blvd Baltimore, MD 21230

RE: Permit for Outer Continental Shelf Air Permit

Maryland Offshore Wind Project – US Wind

I am writing on the behalf of the Southern Maryland Audubon Society (SMAS) asking that the needed Outer Continental Shelf Air Permit be granted for the Md Offshore Wind Project

SMAS has followed the project from its inception; expressed our approval at several hearings; and provided comments stating our support. We continue that support.

This is a much-needed project to provide the electricity to a system that is rapidly falling behind the needs of our society.

It is apparent that the requirements and standards in this permit regarding the use of vessels and equipment at and in the vicinity of the site will be met.

So, I again ask that this permit be approved so the US wind Project can move forward

Thanks for your consideration and anticipated approvals.

Regards

Bob Lukinic, Conservation Chair



Comments: US Wind Air Quality Permit to Construct NOs. 047-0248-9-0111 through 9-0114

1 message

Rebecca Rehr < rrehr@mdlcv.org>

Thu, Feb 6, 2025 at 11:10 AM

To: Shannon Heafey -MDE- <shannon.heafey@maryland.gov>

Cc: Kim Coble kcoble@mdlcv.org, Adam Scheckman ascheckman@mdlcv.org,

Ms. Heafey,

Attached, please find the Maryland League of Conservation Voters' comments on the US Wind Air Quality Permit to Construct NOs. 047-0248-9-0111 through 9-0114.

Thank you. Cheers, Rebecca

Rebecca Rehr

Director of Climate Policy and Justice

Maryland League of Conservation Voters Maryland LCV Education Fund 30 West Street, Suite C Annapolis Maryland 21401 office 410.280.9855 x.109 mobile 443.668.7467



Maryland LCV Comments to MDE_Air Permit_02.06.25.pdf

134K



February 6, 2025

Ms. Shannon Heafey Air Quality Permits Program Maryland Department of the Environment Air and Radiation Administration 1800 Washington Boulevard Baltimore, MD 21230

Re: US Wind Air Quality Permit to Construct NOs. 047-0248-9-0111 through 9-0114 Submitted electronically to shannon.heafey@maryland.gov

The Maryland League of Conservation Voters (Maryland LCV) is a non-partisan non-profit organization whose vision is a healthy environment for everyone in Maryland. Thank you for the opportunity to provide comments in support of this air quality permit to construct.

Under this permit, which is part of the larger Maryland Offshore Wind Project (Project), US Wind will be required to utilize equipment and vessels that are equipped with best available control technology, which is the maximum degree of control that can be achieved. The company will also be required to keep thorough records of project activities, including ships being used for construction activities. This air permit will more importantly have strict air quality standards and will prohibit any emissions above the permit thresholds, which is key to safeguarding public health. While there are often increased emissions during the construction of any project, ultimately, this air permit ensures that US Wind will maintain healthy air quality in the Project Area and that they protect public health throughout the Project's construction and operation.

The Project is expected to produce net clean energy within two months of its operation, and in total, the Project is anticipated to have a net reduction of 139 million tons of carbon dioxide emissions. Constructing more in-state clean energy generation reduces our reliance on fossil fuel sources, which results in improved air quality and public health in the areas surrounding these sources, many of which are located in or near environmental justice communities. It is crucial, therefore, that the Project's construction and operation adhere to healthy air quality standards, ensuring that all stages of the Project are beneficial while minimizing any harmful impacts during the lifecycle of the Project, which this air quality permit guarantees.



In the <u>September 2022 Greenhouse Gas Reduction Act Progress Report</u>, the Maryland Department of the Environment (MDE) detailed the need to deploy more renewable energy and identified offshore wind (OSW) as one of the most reliable clean energy resources available to the state. The 2023 passage of the POWER Act to codify the state's specific OSW goal of 8.5 GW by 2031 is aligned with the state's statutory greenhouse gas (GHG) emissions reduction target of 60% by 2031, and with the clean energy plans mentioned in MDE's <u>Climate Pollution Reduction Plan</u> (CPRP).

A 2022 report from Gabel Associates found that if Maryland builds 8.5 GW of offshore wind, it could save Marylanders \$4.7 billion over 30 years in reduced energy costs, and could save Marylanders as much as \$28.5 billion when accounting for environmental and health benefits. That's more than \$20 billion in potential cost savings from environmental and health benefits of reduced air pollution, including lost workdays, hospital visits, asthma, and respiratory disease. This aligns with analysis included in the CPRP: "Between now and 2031, up to 27,400 additional jobs will be generated under the new policies of this plan; total personal income will increase by \$2.5 billion; and Gross Domestic Product (GDP) will increase by \$5.3 billion." The policies outlined in the CPRP "deliver[s] additional health benefits of \$142 million to \$321 million in 2031 compared to current policies." The air quality permit in front of MDE is a critical part of supporting the state's clean energy and economic goals.

Maryland LCV supports MDE moving forward with its initial determination that the Project is expected to comply with all applicable State and federal air quality requirements and an air quality permit-to-construct. We need to maximize the opportunities in Maryland's existing offshore wind lease areas, while continuing to work with developers, labor, impacted communities, and state and federal regulators to bring clean energy from offshore wind online as expeditiously as possible. Thank you for your time and consideration.



Offshore wind air permit hearing in Ocean City

1 message

Susan Buyer <susanbuyer@gmail.com> To: shannon.heafey@maryland.gov Mon, Jan 6, 2025 at 4:23 PM

Dear Ms. Heafey,

I am writing to express my support for the offshore wind air permit for U.S. Wind. I believe that the U.S. Wind wind energy project will not only provide us with green energy in coming years but will safeguard our air quality.

According to a recent air quality modeling analysis, the project will meet all federal and state air quality standards. At full buildout, the project could result in a net 139-million-ton reduction in CO2 emissions and will produce net clean energy after 1.5 months of operation. Over its lifespan, the project is expected to reduce nitrogen oxides by 67,003 tons, sulfur dioxide by 104,543 tons, and particulate matter by 12,014 tons. Reduced and displaced fossil fuel-fired energy sources will also result in improved air quality in surrounding areas, many of which are located in or near environmental justice areas. This will be of tremendous benefit to our entire region, and of particular benefit to those living in neighborhoods that have historically been saddled with the most serious environmental problems.

I hope that the Maryland Department of the Environment will approve this permit.

Susan Buyer 11621 Twin Oaks Drive Berlin, MD 21811



US Wind Air Permit Application

1 message

steve.cottrell <steve.cottrell@delawareaudubon.org>
To: "shannon.heafey@maryland.gov" <shannon.heafey@maryland.gov>

Sat, Jan 11, 2025 at 11:50 AM

To:

Ms. Shannon Heafey
Air and Radiation Administration
Maryland Department of the Environment

Dear Ms. Heafey,

As the president of Delaware Audubon Society, a statewide chapter of National Audubon Society, I am writing in support of US Wind's Offshore Continental Shelf Air Permit Application. The emissions associated with the US Wind project are projected to be in compliance with all applicable Maryland and federal air pollution control regulations. In addition, the US Wind offshore wind project will provide substantial air quality benefits to Maryland and the region, since the energy generated by the project will not discharge the environmentally harmful emissions generated as a result of fossil fuel combustion. This will result in significant improvements to air quality in Maryland, as well as in the neighboring state of Delaware.

The National Audubon Society is in support of offshore wind projects, concluding they are critical to combatting climate change. The US Wind project is in harmony with National Audubon's strategies for responsible siting and operating of offshore wind projects, both to protect birds and to provide a cleaner environment for everyone.

Thank you.

Stephen Cottrell Delaware Audubon Society



Fwd: Support letter for US Wind Ocean City Project

1 message

Scott Hymes <scotthymes@gmail.com>
To: shannon.heafey@maryland.gov
Cc: Scott Hymes <scotthymes@gmail.com>

Fri, Jan 10, 2025 at 11:57 AM

Dear Ms. Heafy,

Our family fully supports the US Wind Ocean City Project for Air Quality improve and energy independence.

An air quality modeling analysis has already concluded that for all phases of the project, including construction, vessel use, and operations and maintenance, the project will meet all federal and state air quality standards.

At full buildout, the project could result in a net 139-million-ton reduction in CO2 emissions and will produce net clean energy after 1.5 months of operation. Over its lifespan, the project is expected to reduce nitrogen oxides by 67,003 tons, sulfur dioxide by 104,543 tons, and particulate matter by 12,014 tons.

Reduced and displaced fossil fuel-fired energy generation sources in the region would also result in improved air quality in the areas surrounding these sources, many of which are located in or near environmental justice areas.

Thank you!

Scott Hymes

410-353-4828 scotthymes@gmail.com 245 Wiltshire Ln. Severna Park, MD 21146



Public Comment: U.S. Wind Offshore wind project air permit

1 message

Tim Peck <golfertim@yahoo.com>
To: "shannon.heafey@maryland.gov" <shannon.heafey@maryland.gov>

Fri, Jan 10, 2025 at 1:03 PM

Dear Ms. Heafey MDE Air and Radiation Administration

I attended the public hearing on 9 January 2025 on the referenced subject. I am submitting my comments concerning the air permit application. I am a full time resident of Ocean Pines in Worcester County, MD.

Overall I am supportive of the wind turbine project and the tentative air permit. My overwhelming reason to support this alternative energy project, similar to other supportive comments during the meeting, is the continuing intense climate change primarily due to fossil fuel emissions worldwide. The drastic effects of climate change are only accelerating and intensifying, and energy alternatives must be implemented now.

The various reasons given against this project included the "industrialization" of the ocean view of Ocean City, MD. This view and surroundings are already fully industrialized and commercialized through many activities, which include events that the City itself carries out. These activities occur close and parallel to the shoreline during the summer, which include several large deck boats with very large electronic advertising signs that travel up and down just past the wave breakers, several low-level small plane flights that carry large advertising banners, large commercial speedboats that carry many tourists several times a day, and a few large fishing trawlers seen off the shore. There are limited moments when the view from the beach is not obstructed or noisy. Also, Ocean City is now referred to the "Las Vegas" of the Maryland shore due to the many huge entertainment events that the City organizes. The City schedules many multi-day music, ocean fishing tournament, air plane show, alcohol brand, or unique vehicle events during the summer, fall and spring months every year that can draw from 50,000 to over 150,000 attendees. The Ocean City Bikefest that the City holds every fall occurs over three days and includes thousands of very loud motorcycles that can be heard constantly day and night miles away from major roads in the area. This event is an example of the large impacts that frequently occur at Ocean City that contrast with any idea of a sleepy, beautiful shore town. All of these activities and related vehicle traffic emit extensive air pollutants for many days of the year as well as high noise impacts. That sleepy, beautiful shore town is a thing of the past. If the objecting reasons given were sincere, the local government officials should take a serious look at these events.

I observe that the actual impacts of a wind turbine project are minor compared to the extreme changes already happening to the City. It is obvious that many of the reasons given by state and county elected officials against the project are highly exaggerated and most likely are being pushed by large corporate interests from outside the state. The fact that U.S Congressional Representative Andy Harris is against this project for supposed environmental reasons that strongly conflict with his long-term anti-environmental voting record is proof that there are other high money interests at play, which are not made known to the public. A similar statement might be said for the state-level representatives.

Therefore, as a state resident, I am supportive of the project. I agree with the federal and state initiatives to implement alternative energy solutions including wind turbines.

Tim Peck, P.G. Ocean Pines, MD 410-629-9889

Sent from Yahoo Mail. Get the app



Support - Offshore Wind Air Permit Hearing (Jan 9th)

1 message

Josh Hastings <maryland.proud@gmail.com> To: shannon.heafey@maryland.gov Tue, Jan 7, 2025 at 4:23 PM

Ms. Shannon Heafey-

Please accept my attached letter regarding support for US Wind's air permit, with the hearing that will take place on Thursday (January 9th) in Ocean City.

As a member of the Wicomico County Council, I'm not able to be at the rescheduled meeting given that our Council meeting was also postponed for the same time/day.

If I can provide more information, in any way, please don't hesitate to contact me at 410-251-5268 or JHastings@WicomicoCounty.org -- or my personal email (Maryland.Proud@gmail.com). Thank you again! -Josh Hastings

7

JHastings - Support - MD Offshore Wind Air Quality - Jan 7 2025.pdf 662K



Office of Councilman Josh Hastings – Wicomico County Council – District 4

January 7, 2025

Attn: Ms. Shannon Heafey Air and Radiation Administration 1800 Washington Boulevard Baltimore, Maryland 21230

RE: Maryland Air Quality Permit Application Submitted by US Wind, Inc.

To Whom It May Concern:

Due to a weather-related rescheduled County Council meeting, I'm personally not able to attend the Maryland Department of the Environment hearing, on January 9th, regarding the air quality permit submitted by US Wind, Inc. Speaking only on behalf of myself -- as an individual Wicomico Council member -- and with the broad support of dozens of my 22,000 constituents, I want to convey our desire to witness the immense net benefits for air quality that this project will bring.

For the past six years, I've spoken with countless constituents that want to see the full benefits of offshore wind energy. Many have spoken-up to seek job opportunities related to offshore wind, but many more have expressed a greater desire to see the environmental and biodiversity benefits that can result from greater clean energy adoption – specifically wind energy.

As it has been noted by supporters of this specific project:

- An air quality modeling analysis has already concluded that for all phases of the project, including construction, vessel use, and operations and maintenance, the project will meet all federal and state air quality standards; and
- At full buildout, the project could result in a net 139-million-ton reduction in CO2 emissions and will produce net clean energy after 1.5 months of operation. Over its lifespan, the project is expected to reduce nitrogen oxides by 67,003 tons, sulfur dioxide by 104,543 tons, and particulate matter by 12,014 tons.

This project will greatly help reduce the negative externalities of burning fossil fuels. Most notably among these externalities are the effects of climate change and the impact that it is having on species decline, extinction and overall pollution. Having grown up and worked within Maryland's agricultural community, there is a great desire from farmers to decrease fossil fuel pollutants, atmospheric deposition of nitrogen and other climate disrupting gases. This project will help.

Thank you for the consideration and if I can provide further information, please don't hesitate to reach out at 410-251-5268 or jhastings@wicomicocounty.org.

Sincerely,

Josh Hastings

Wicomico County Council, District 4

125 North Division Street Salisbury, MD 21803