

**BEFORE THE ENVIRONMENTAL APPEALS BOARD
UNITED STATES ENVIRONMENTAL PROTECTION AGENCY
WASHINGTON, D.C.**

In re:)
))
Russell City Energy Center) PSD Appeal Nos. 10-02; 10-03; 10-04; 10-08;
)) 10-09; 10-10
PSD Permit No. 15487)
))
))
))

**RUSSELL CITY ENERGY COMPANY, LLC'S
CONSOLIDATED EXHIBITS TO ITS
RESPONSES TO PETITIONS FOR REVIEW
FILED BY:**

**CHABOT-LAS POSITAS COMMUNITY COLLEGE DISTRICT
(PSD APPEAL 10-02)**

**CITIZENS AGAINST POLLUTION
(PSD APPEAL 10-03)**

**ROBERT SARVEY
(PSD APPEAL 10-04)**

**HAYWARD AREA RECREATION AND PARK DISTRICT
(PSD APPEAL NO. 10-08)**

**MINANE JAMESON
(PSD APPEAL NO. 10-09)**

**IDOJINE J. MILLER
(PSD APPEAL NO. 10-10)**

VOLUME 2 OF 2

Kevin Poloncarz
Holly L. Pearson
Bingham McCutchen LLP
Three Embarcadero Center
San Francisco, CA 94111
Telephone: (415) 393-2870
Facsimile: (415) 262-9201
Email: kevin.poloncarz@bingham.com

Attorneys for Russell City Energy Company, LLC

**RUSSELL CITY ENERGY COMPANY, LLC'S
CONSOLIDATED EXHIBITS TO ITS
RESPONSES TO PETITIONS FOR REVIEW
(PSD APPEAL NOS. 10-02; 10-03; 10-04; 10-08; 10-09; 10-10)**

EXHIBIT INDEX

<u>Date</u>	<u>Description</u>	<u>Vol:Exhibit</u>
12/08/2008	Statement of Basis for Draft Amended Federal "Prevention of Significant Deterioration" Permit, Russell City Energy Center, Bay Area Air Quality Management District ("BAAQMD") Application Number 15487	1:1
02/04/2010	Letter to Rick Thomas, Calpine Corporation, from Brian Bateman, BAAQMD, Re: Application Number 15487, Plant Number 18136	1:2
08/03/2009	Additional Statement of Basis Draft Federal "Prevention of Significant Deterioration" Permit, Russell City Energy Center, BAAQMD Application Number 15487	1:3
02/03/2010	Prevention of Significant Deterioration Permit Issued Pursuant to the Requirements of 40 CFR § 52.21, BAAQMD, PSD Permit Number 15487, Permittee: Russell City Energy Center	1:4
02/00/2010	Responses to Public Comments, Federal "Prevention of Significant Deterioration" Permit, Russell City Energy Center, BAAQMD	1:5
02/04/2010	E-mail to Kevin Poloncarz from Barry Young, BAAQMD, Subject: Russell City Energy Center - Notice of Issuance of Final PSD Permit	1:6
04/06/2010	Notice of Issuance of Final Preservation of Significant Deterioration (PSD) Permit for the Russell City Energy Center	1:7
09/16/2009	Letter to Weyman Lee, BAAQMD, from Jewell J. Hargleroad, Re: Russell City Energy Center (RCEC) Application No. 15487: Response to Statement Of Basis for Proposed Draft Federal "Prevention of Significant Deterioration" Permit	2:8
09/25/2009	Letter to Weyman Lee, BAAQMD, from Jewell J. Hargleroad, Re: Addendum to Comments Submitted Concerning Russell City Energy Center (RCEC) Application No. 15487 re Additional SOB	2:9
07/30/2009	PM2.5 PSD Source Impact Analysis for the Russell City Energy Center Draft Prevention of Significant Deterioration (PSD) Permit, prepared by Atmospheric Dynamics, Inc.	2:10
03/00/2004	Site Permit Application, Mankato Energy Center, Mankato, Minnesota, Docket No. 04-76-PPS Calpine	2:11
	Spreadsheet: Mankato Energy Center Start profile for winter months	2:12
04/02/2009	E-mail to Alexander Crockett, BAAQMD, from Kevin Poloncarz, Subject: RCEC Startup/Shutdown Analysis of Annual Limits, Auxiliary Boiler and CO BACT (<i>attachments omitted</i>)	2:13
02/24/2010	E-mail to Helen Kang from Kevin Poloncarz, Subject: FW: RCEC Public Records Act Request	2:14

**RUSSELL CITY ENERGY COMPANY, LLC'S
CONSOLIDATED EXHIBITS TO ITS
RESPONSES TO PETITIONS FOR REVIEW
(PSD APPEAL NOS. 10-02; 10-03; 10-04; 10-08; 10-09; 10-10)**

EXHIBIT INDEX

<u>Date</u>	<u>Description</u>	<u>Vol:Exhibit</u>
04/07/2006	Letter to Ross D. Ain, Caithness Long Island, LLC, from Walter E. Mugdan, U.S. EPA, Re: Prevention of Significant Deterioration of Air Quality (PSD) Caithness Long Island Energy Center	2:15
06/00/2005	Long Island Power Authority, Caithness Long Island Energy Center, Final Environmental Impact Statement (<i>excerpt</i>)	2:16
	Second Amended and Restated Power Purchase and Resale Agreement between Pacific Gas and Electric Company and Russell City Energy Center, LLC (<i>excerpt</i>)	2:17
09/16/2009	Letter to Weyman Lee, BAAQMD, from Helen Kang, <i>et al.</i> , representing Citizens Against Pollution ("CAP"), Re: August 2009 Draft PSD Permit for Russell City Energy Center	2:18
02/06/2009	Letter to Weyman Lee, BAAQMD, from Robert Sarvey, Re: Comments of Robert Sarvey on the Draft PSD permit for the Russell City Energy Center Application Number 15487	2:19
05/29/2007	Letter to Jack Broadbent, BAAQMD, from Paul C. Richins, Jr., California Energy Commission, Re: Amended Preliminary Determination of Compliance for the Russell City Energy Center, Application 15487	2:20
09/24/2009	<i>United States of America v. Pacific Gas and Electric Company</i> , (U.S. District Court, Northern District of California, Case No. CV09 4503), Consent Decree	2:21
09/16/2009	Letter to Weyman Lee, BAAQMD, from Robert Sarvey, Re: Comments of Robert Sarvey on Application Number 15487 Additional Statement of Basis Drat [<i>sic</i>] General [<i>sic</i>] Prevention of Significant Deterioation [<i>sic</i>] Permit	2:22
02/05/2009	Letter to Weyman Lee, BAAQMD, from CARE and Rob Simpson, Re: CARE and Rob Simpson comments on the "amended" PSD permit for the Russell City Energy Center Application Number 15487 and Complaint to Office of the Adminstrator [<i>sic</i>] USEPA and ARB under 42 USC § 7604	2:23
06/18/2009	E-mail to Alexander Crockett, BAAQMD, from Kevin Poloncarz Subject: PM10/PM2.5 Cooling tower BACT.DOC	2:24
09/16/2009	E-mail and attached letter to Weyman Lee, BAAQMD, from Rob Simpson Subject: [C]omments for application 15487 Calpine/GE Hayward Plan	2:25
02/22/2010	E-mail to Kevin Poloncarz from Gregory Darwin, Atmospheric Dynamics, Subject: FW: Request for Records Relied On: RCEC applica. 15487	2:26

Exhibit 8

Jewell J. Hargleroad
Law Office Of Jewell J. Hargleroad
1090 B Street, No. 104
Hayward, California 94541
Telephone: 510-331-2975
jewellhargleroad@mac.com

September 16, 2009

Via Email weyman@baaqmd.gov and U.S. Mail

Weyman Lee,
Senior Engineer
Bay Area Air Quality Management District
939 Ellis Street,
San Francisco, California 94109

**Re: Russell City Energy Center (RCEC) Application No. 15487:
Response to Statements Of Basis for Proposed Draft Federal
“Prevention of Significant Deterioration” Permit**

Dear Weyman:

This is on behalf of Chabot-Las Positas College District, which community college campus Chabot is located just 1.25 miles southeast, downwind from this proposed facility referred to as Russell City Energy Center or RCEC.

As mentioned in our February 6, 2009 comments as well as subsequent correspondence on April 28, 2009, in which we requested administrative notice of this fact, the Chabot campus, which consists of over 15,000 students, faculty and staff, has qualified for designation as a Hispanic-Serving Institution, or HSI under federal law with its Latino students making up 32 percent of all new students on campus, and 26 percent of total enrollment. Although we requested that the permitting analysis take into account this as an important environmental justice consideration- an analysis which is absent from your December 2008 Draft Amended SOB- unfortunately this continues to be absent in your additional Statement of Basis (“SOB”). In this regard, we object to the absence of this analysis given its relevance in exercising your discretion on this permit application.

Preliminarily, the PSD program does not “create an entitlement to degrade air quality in general or visibility in particular, **because nothing in the CAA provides for issuance of a PSD permit as a matter of right.**” (*American Corn Growers Association v. Environmental Protection Agency* (D.C. Cir. 2002) 291 F.3d 1, 32-33, emphasis added.) As summarized by the July 2008 Implementation of the New Source Review (NSR) Program for Particulate Matter Less Than 2.5 Micrometers (PM2.5), Vol. 73 Fed. Reg. No. 96,

The PSD requirements include but are not limited to:

- Installation of Best Available Control Technology (BACT);
- Air quality monitoring and modeling analyses to ensure that a project's emissions will not cause or contribute to a violation of any NAAQS or maximum allowable pollutant increase (PSD increment);
- violation of any NAAQS or maximum allowable pollutant increase (PSD increment);
- Notification of Federal Land Manager of nearby Class I areas; and
- Public comment on the permit.

Nonattainment NSR requirements include but are not limited to:

- Installation of Lowest Achievable Emission Rate (LAER) control technology;
- Offsetting new emissions with creditable emissions reductions;
- Certification that all major sources owned and operated in the State by the same owner are in compliance with all applicable requirements under the Act;
- An alternative siting analysis demonstrating that the benefits of the proposed source significantly outweigh the environmental and social costs imposed as a result of its location, construction, or modification; and
- Public comment on the permit.

Rules: Implementation of the New Source Review (NSR) Program for PM2.5, amending 40 CFR Parts 51 and 52.

Here, the Additional SOB purports to perform a “split” analysis applicable to PM2.5 given the District is not in attainment, although the designation was fully executed, but remains “ineffective” until finally published. (Addi. SOB, p. 52.) However, absent from the Additional SOB is the required analysis for non-attainment as outlined above in the 40 CFR Parts 51 and 52 relied on by the District. For that matter, Chabot-Las Positas takes administrative notice that the District remains in violation of the NAAQS for 8 hour Ozone, under which NOx must be analyzed applying the above nonattainment NSR analysis and requiring LAER. In exercising the District’s discretion in deciding this application, these important factors likewise must be considered.

The Additional SOB Still Fails To Satisfy BACT Based On The Records Available From Caithness:

Under the Additional Statement of Basis, “[t]he Air District agree[d] . . . that based on all of the available information, including the examples from these three facilities, the facility should be able to achieve lower BACT startup emissions limits than the Air District initially proposed in several areas.” (Addi. SOB, p. 59.) Although we agree that the Caithness permit is helpful in these determinations, in examining these lower BACT startup emissions for Caithness, “one for when the auxiliary boiler is being used and one for when the auxiliary boiler is not being used,” p. 64, we note that there is a substantial discrepancy with the information provided in the Additional Statement of Basis and the Siemen’s vendor information provided in the 2004 Caithness application which we obtained from New York. Enclosed by mail is a copy of a portion of the application which we received.

Applying the Siemen’s vendor information attached applicable to temperatures of 51 degrees, comparable to the Bay Area, the District must reexamine that “the costs associated with requiring such equipment at Russell City would not be justified.” As established below, the startup emissions reductions are not “relatively small” at all.

Below is a comparison we compiled utilizing the proposed limits on RCEC and comparing the emission reductions identified by Siemen’s in the Caithness application with and without the auxiliary boiler, the emission reductions gained with an auxiliary boiler in pounds compared to RCEC limits are bracketed:

Comparison of Caithness and Proposed Russell City Startup Emissions Limits ***without AND with*** Auxiliary Boiler

Startup Scenario	Without Boiler	With Boiler		Proposed RCEC Limit
Hot Startup	127 lbs. NOx	96 lbs. NOx	[1]	95 lbs. NO2
	891 lbs. CO	685 lbs. CO	[206]	891 lbs. CO
Warm Startup	488 lbs. NOx	125 lbs. NOx	[0]	125 lbs. NO2
	2813 lbs. CO	826 lbs. CO	[1,688]	2514 lbs. CO
Cold Startup	488 lbs. NOx	147 lbs. NOx	[333]	480 lbs. NO2
	2813 lbs. CO	833 lbs. CO	[1,681]	2514 lbs. CO

Total difference in CO emissions amount to 3,565 lbs and NOx emissions amount to 334 lbs., a dramatic two-thirds reduction in the emissions of CO for warm and cold start-ups and a two-thirds reduction for NO2 for Cold Start-ups. (*Compare* Table 5, p. 65 with attached Siemen’s chart for emissions with boiler at 51 degrees.)

Although the assumption in the Additional SOB contradicts the representations and assumptions made before the California Energy Commission in 2007, which assumed

daily startups in response to Calpine's request for unlimited startups,¹ for comparison purposes we also applied the District's assumption of "an annual operating profile containing 6 cold startups and 100 warm startups." (ASOB, p. 69.) Applying the District's limited assumptions in the Additional SOB, we agree that the reduction for NOx for cold startups results in a difference of .9 tons (0 for warm start-ups).

Based on the Siemen's data provided in their application dated December 14, 2004, however, we disagree that "12.4 tons of CO per year" would be reduced. (ASOB, pp. 69-70.) Instead, applying the Additional SOB's limited assumed annual operating profile of 6 cold startups and 100 warm startups, to which we object as it contradicts Calpine's representations before the CEC, we arrive at 84.4 tons of CO reduced for warm-startups and 5 tons of CO reduced for cold start-ups, **resulting in an 89.9 ton reduction of CO, eight times more than the amount represented in the ASOB.** Applying the assumptions in the June 2007 CEC FSA, the emission reductions that would be achieved would be even far greater.

As a result, applying the "annualized cost of \$1,029,521 for the installation and operation of the auxiliary boiler," as provided by Calpine, ASOB, p. 70, the cost effectiveness for the CO reduction as calculated by Calpine likewise falls from Calpine's "estimate of \$83,025 per ton for CO reduction" by eight times to \$11,515 per ton for CO reduction. As a result, BACT clearly requires an auxiliary boiler. Given Calpine's refusal to abide by BACT as documented by the record, requires that the application be denied.

The Air Analysis Is Inadequate And Incomplete Requiring That The Application Either Be Denied Or A Complete And Proper Full Impact Study Performed:

There Is No Class I Analysis:

As the Court of Appeal in *American Corn Growers, supra*, recently explained,

While the PSD program generally allows for a small increment of air quality deterioration in Class I areas, section 165 of the CAA also provides for the additional protection of air quality-related values, "including visibility," in Class I Federal areas beyond that provided by the increments. **That is, where the FLM [Federal Land Manager] demonstrates that emissions from a new or modified source will have an adverse impact** on air quality-related values (AQRVs), notwithstanding the fact that the emissions from the source do not cause or contribute to concentrations in excess of the increment for a Class I area, **"a permit shall not be issued."** Section 165(d). **Thus, under PSD there can be no increase in emissions from the construction or modification**

¹ Under the June 2007 Final Staff Assessment (Amendment), p. 4.1-5 "maximum **daily emissions were calculated** by using the emissions *of two start up/shut* down cycles for each turbine." (Emphasis and italics added.) *Also see*, June 2007 FSA p. 4.1-6, Table 2, n. 3: "Daily emissions include 2 start-ups (480 pounds NOx *per* cold start-up . . .)."

of a major stationary source where that increase would result in adverse impacts on AQRVs in a Class I Federal area.

(American Corn Growers, supra, 291 F.3d at 33-34.)

At pages 88-89 of the Additional SOB, under Class I Areas Analysis, the District identifies Point Reyes National Seashore as located approximately 62 km from the project requiring a Class I area impact analysis for PM 2.5. In doing so, the Additional SOB states that the “District used the previously-conducted AERMOD analysis for PM 10 impacts, and conservatively assumed that all of the PM 10 from the Project is PM2.5. The AERMOD analysis showed that the particulate matter impact would be on 0.06 ug/m³ at Point Reyes National Seashore” and therefore the project would “not have any significant air quality impact on any Class I area.”

However, this conclusion is completely unsupported. Technically an AERMOD analysis is strictly applicable to a distance *within 50 km* of the project. Point Reyes is 62 km. (USEPA Modeling Guideline or Appendix W: Appendix A of Part 51—Summaries of Preferred Air Quality Models, “a. Recommendations for Regulatory Use (1) AERMOD is appropriate for . . . ‘[t]ransport distances over which steady-state assumptions are appropriate, *up to 50 km*.” Emphasis and italics added.) Therefore, the USEPA Modeling Guideline or Appendix W recommends the use of the model CALPUFF for applications beyond 50 km.² Here, only AERMOD was used which technically cannot analyze impacts the distance of Point Reyes. As a result, there is no Class I Analysis provided.

Using The Public Records’ Modeling Files And The Same Criteria And Emission Sources, Our Run Resulted In A Project Only 24-Hour Maximum Concentration Of 6.33ug/m³, Requiring A Reexamination Utilizing The Official Approved EPA AERMOD Program.

As you might be aware, the District provided us the modeling files upon which the Additional SOB relies. According to the Additional SOB, relying on the Summary of Air Quality Impact Analysis for PM_{2.5} From the Russell City Energy Center prepared by Calpine, attached to Memorandum from Glen Long to Weyman Lee, July 27, 2009 (or “Summary of PM_{2.5} Air Quality Impact Analysis”),

The Air District has found that emissions from the project by itself will cause ambient PM_{2.5} concentrations above both of these SILs. **For 24-hour average concentrations the project will have a maximum impact of 4.9 µg/m³**, and for annual average concentrations the project will have

² “**AERMOD is appropriate for . . . [t]ransport distances over which steady-state assumptions are appropriate, *up to 50km* . . .**” (Appendix W, Appendix A1, p. 455-456, emphasis added.) Compare, “Recommendations for Regulatory Use: (1) CALPUFF is appropriate for long range transport (source-receptor distances of 50 to several hundred kilometers) of emissions from point, volume, area, and line sources. (Appendix W, Appendix A4, p. 463.)

a maximum impact of 0.5 $\mu\text{g}/\text{m}^3$. [fn.] Because the project's contribution will be above these significance thresholds, a full impact analysis must be conducted utilizing multi-source modeling.

(Addi. SOB, p. 84 & fn. 147, relying on fn. 141 & Table III, emphasis added.)

Given the close proximity of this major stationary source of pollution to the Chabot campus, and the significant health hazards presented by both PM_{2.5} and CO₂, among the other hazardous pollutants generated, we sought to examine the air modeling analysis.³ Utilizing the air modeling files provided from the District, the rural option (with which we disagree-see p. 7 & footnote 5), and the exact same inputs as the applicant, our modeling run resulted in a **24-hour average concentrations for the project only of a maximum impact of 6.33 $\mu\text{g}/\text{m}^3$** . The high 2nd high concentration was 5.53 $\mu\text{g}/\text{m}^3$ and the high 8th high concentration was 3.75 $\mu\text{g}/\text{m}^3$. The only difference between these runs, from what we can tell, is that our modeling run utilized the EPA's AERMOD Program.⁴ Calpine utilized a commercial version as reflected on the air run files stating AERMOD software from BEE-Line:

BEE-Line Software: BEEST for Windows (Version 9.78a) data input file Model: AERMOD.EXE Input File Creation Date: 4/30/2009
Time: 11:37:47 AM

The AERMOD program our modeling utilized is the official version obtained from the EPA, which is the appropriate protocol under Appendix W to Part 51. As reflected by Appendix W, Calpine's use of the private proprietary program is prohibited: See, Appendix W, "Preferred Modeling Techniques," Section 3.1., b. vi, page 68231: "**model and its [source] code can not be proprietary.**" (Emphasis and italics added.)

³ Chabot-Las Positas's air modeling files applied AERMOD version 07026 model, currently the latest version approved by the US Environmental Protection Agency (US EPA). Additionally, stack parameters such as location, stack height, diameter, temperature and exit velocity for RREC emissions sources were taken from the CD-ROM provided by your office; also, building dimensions necessary for the simulation of building wake effects were taken from the CD-ROM provided.

An emission rate of 1.134 g/s was used for each turbine, which is higher than the rate of 0.945 g/s specified in Table 2 of Calpine's SIA Report. In addition to two turbines, there are ten other point sources representing the cooling towers (9 point sources with an emission rate of 0.03066 g/s for each point source) and a fire pump (with an emission rate of 4.167E-04 g/s). Emissions rates modeled for these ten other sources are the same as those in Table 2 of Calpine's SIA Report.

⁴ The results generated by our modeling run are documented and we would be happy to share those files with your office.

Given this significant difference in results and improper use of a proprietary program, absent denying the application, minimally the District must recalculate the air modeling determinations utilizing the appropriate AERMOD program such as provided by the EPA. In doing so, we urge the District to also apply the *multiple urban* option given this is a metropolitan area governed by different jurisdictions, zoned for light industrial, commercial and single and multi-family residential.⁵

A Full Impact Analysis Has Not Been Performed Of The Impact Area.

Under the Additional SOB's Air Quality Impact Analysis for PM 2.5, the District acknowledges the following at pp. 84-85:

If the concentrations from the project by itself would be above the Significant Impact Level, a full impact analysis is required based on multi-source modeling. The full impact analysis considers the project's contribution to ambient air pollution levels in conjunction with the contributions from other nearby sources and background levels to determine what the total ambient air concentrations would be if the project is built. If the total ambient air concentrations would not exceed the NAAQS at any location, or the project's contribution is below the Significance level at every location where the NAAQS would be exceeded, then the project does not "cause or contribute to air pollution in violation [a] national ambient air quality standard" within the meaning of 40 C.F.R. section 52.21(k)(1). **If the total concentrations would exceed the NAAQS, and the project's contribution to that exceedance is above the Significance level at the location of the exceedance, then project is not eligible for a PSD permit.**

(Emphasis added.)

Here, the District proposed to use "the lowest of the proposed SIL:s, which are 1.2 ug/m³ for 24-hour average PM 2.5 concentrations and .3 ug/m³ for annual average PM 2.5 concentrations." Further, the Additional SOB finds "that emissions from the project by itself will cause ambient PM2.5 concentrations above both of these SILs," 4.9 ug/m³ (24 hours)⁶ and .5 ug/m³ (annual) respectively. Therefore, the District concludes that "a full impact analysis must be conducted utilizing multi-source modeling." (Additional SOB, p. 85.)

⁵ In addition to intending to perform the modeling run to confirm the calculations provided by Calpine, we also performed a "single urban" run which also increased the concentrations above those reported here. However, given the zoning and use, as Hayward is known as the "Heart of the Bay," we suggest the multiple urban option is the appropriate choice.

⁶ As shown by the modeling results run by Chabot-Las Positas, this concentration level is erroneous and must be re-run; by utilizing this erroneous concentration level for argument purposes, Chabot-Las Positas does not waive any arguments.

In making this analysis, the District relies in part on the September 21, 2007 Proposed Rule, “Prevention of Significant Deterioration (PSD) for Particulate Matter Less Than 2.5 Micrometers (PM_{2.5})—Increments, Significant Impact Levels (SILs) and Significant Monitoring Concentration (SMC)”, 72 Fed. Reg. 54112, 54138-39 (Sept. 21, 2007) (otherwise referred to as “Proposed PM_{2.5} Increment, SIL & SMC Rule”). (Additional SOB, p. 85 & fn. 144.) However, the Proposed PM_{2.5} Increment, SIL & SMC Rule provides the following:

Significant Impact Levels or SILs are numeric values derived by EPA that may be used to evaluate the impact a proposed major source or modification may have on the NAAQS or PSD increment. The SILs currently appear in EPA's regulations in 40 CFR 51.165(b), which are the provisions that require States to operate a preconstruction review permit program for major stationary sources that wish to locate in an attainment or unclassifiable area but would cause or contribute to a violation of the NAAQS. **The SILs in that regulation are the level of ambient impact that is considered to represent a "significant contribution" to nonattainment.**

Although 40 CFR 51.165 is the regulation that establishes the minimum requirements for nonattainment NSR programs in SIPs, **the provisions of 40 CFR 51.165(b) are actually applicable to sources located in attainment and unclassifiable areas.** See 40 CFR 51.165(b)(4). **Where a PSD source located in such areas may have an impact on an adjacent non-attainment area, the PSD source must still demonstrate that it will not cause or contribute to a violation of the NAAQS in the adjacent area. This demonstration may be made by showing that the emissions from the PSD source alone are below the significant impact levels set forth in 40 CFR 51.165(b)(2). However, where emissions from a proposed PSD source or modification would have an ambient impact in a non-attainment area that would exceed the SILs, the source is considered to cause or contribute to a violation of the NAAQS and may not be issued a PSD permit without obtaining emissions reductions to compensate for its impact.** 40 CFR 51.165(b)(2)-(3).

(72 Fed. Reg. 54112, 541137-38, emphasis and italics added.)

Here, as acknowledged by the Additional SOL, the Bay Area is in nonattainment for PM_{2.5} and at any time that designation will become officially effective. Applying the Proposed PM_{2.5} Increment, SIL & SMC Rule, the concentrations from the project by itself are three to five times the Significant Impact Level and clearly fall within the provisions discussed above that “the source is considered to cause or contribute to a violation of the NAAQS and may not be issued a PSD permit without obtaining emissions reductions.” (*Op cit.*, 54113738.) As a nonattainment region, this is where the analysis starts and stops.

Assuming the Bay Area was in attainment for PM2.5, which it is not, then under Proposed PM2.5 Increment, SIL & SMC Rule, then the District “must conduct a more extensive air quality analysis to demonstrate that [the major stationary source] **will not cause or contribute to a violation of the NAAQS or PSD increment** in the attainment or unclassifiable area.” (*Op cit supra.*) Although the Additional SOB purports to conduct such an analysis, as established below, it does not and this application may not be approved without that necessary “full impact analysis . . . utilizing multi-source modeling.” .

The NAAQS Dispersion Modeling Inputs Are Unrepresentative And Incomplete.

According to the July 30, 2009 Summary of Air Quality Impact Analysis for PM2.5 referred to in footnote 140 as the “Applicant’s Impact analysis for PM2.5,”⁷ the NAAQS dispersion modeling inputs included emissions of PM2.5 from Highway 92, which were added to the source emissions data from RCEC. Additionally,

The Air District provided the emissions of PM2.5 from mobile sources that were based on model year 2007 car/truck vehicle mix and emission factor data, **specific to Alameda County**. Additionally, traffic count data based on average daily east and westbound traffic were provided for the following segments:

- **San Ramon Road Interchange**
- **Palomares/Eden Canyon Road Interchange**
- Crow Canyon Road/Center Street
- Redwood Road
- Strobridge Avenue
- Junction Route 238

(Emphasis added.) Although we agree with CAP that the relevant impact area which should be examined is 50 km, within which these above interchanges fall, these road segments are located beyond the purported 8.1 km or 6 mile impact area to which the “full impact analysis “ is limited. (Addi. SOB, p. 87.)

In fact, **the San Ramon Road interchange is not even in Alameda County**, but Contra Costa County. Depending upon “which” junction of route 238 is included,⁸ these

⁷ There is apparently some confusion among SIA Reports – one is dated July 27, 2009, which is posted on the web and available through your Public Records documents. Counsel, however, was provided a revised report dated July 30, 2009, from Calpine’s attorney who anticipated this would be posted on the District’s website. Although Calpine’s attorney identified the modifications between the documents as “minor,” we do not agree that changes, which “concern identification of the impact area and nearby sources for the cumulative impacts analysis and NAAQS compliance demonstration”, are minor.

remaining interchanges are all located on highway 580 towards Dublin/Pleasanton. (The Palomares Eden Canyon Road interchange is the interchange prior to the Dublin/Pleasanton exit.) **On the other hand, highway 880**, or the Nimitz, which carries far more truck traffic than highway 92, **is completely excluded**. In fact, neither the Additional SOB, the December 2008 Amended SOB or the applicant's July 27 or July 30 Summary even mention highway 880 which clearly falls within the purported 6 mile impact area and must be included as part of emissions of PM2.5 mobile sources within the impact area.⁹

As the NSR Workshop Manual explains:

IV.C.1 THE NAAQS INVENTORY

While air quality data may be used to help identify existing background air pollutant concentrations, **EPA requires that, at a minimum, all nearby sources be explicitly modeled as part of the NAAQS analysis.** The Modeling Guideline defines a "nearby" source as **any point source expected to cause a significant concentration gradient in the vicinity** of the proposed new source or modification. For PSD purposes, "vicinity" is **defined as the impact area. However, the location of such nearby sources could be anywhere within the impact area or an annular area extending 50 kilometers beyond the impact area.** (See Figure C-5.)

(C 32.) Here, the Impact Area is defined as a distance of 8.1 km radius from the project or a six mile radius. (Additional SOB, p. 87.) Given these significant interchanges fall within that impact area which presently are excluded, but "at a minimum" are nearby sources required to be explicitly modeled, leaves this "full impact study" materially incomplete.

Based on this error alone, disregarding all the substantial other sources falling within this six mile radius which were not included, applying the analysis under the Additional SOB, the modeling inputs must be corrected and runs performed excluding locations in Contra Costa County and towards Pleasanton/Dublin and including mobile sources for highway 880, among other sources, which fall within the impact area designated by the Additional SOB. Given the volume of traffic for nearby interchanges located within a two mile radius of the project, such as for 880 and 92, 880 and A Street, 880 and Winton, far exceeds the daily volume for those interchanges whose volumes

⁸ 238 has two distinct junctions: one at 880 and 238 at its western end, which and the other at its eastern end, 580 and 238. Unclear is which junction is being used.

⁹ We additionally take administrative notice of the testimony of Sandra Witt in the Eastshore proceeding discussed in our earlier correspondence and attach a portion of her testimony that the zip codes of 94541 and 94544, where the project is located and which fall within the 8.1 km impact area, suffer from abnormally high respiratory problems. As reflected by the attached maps, highway 880 cuts straight through this impact area.

were inputted, applying this data will result in a material different result establishing a violation of the Clean Air Act.¹⁰

The Impact Analysis Is Fundamentally Flawed: The defined impact radius is underestimated.

Under the Additional SOB's 24-Hour NAAQS Analysis, in addition to receptor locations exceeding the significant impact level of 1.2 ug/m³ being mostly located within a "distance of up to 1.26 km," there were also "six specific more remote spots in the East Bay hills out to a furthest distance of 8.1 km." Although the Additional SOB states that "[f]or the full modeling analysis, the Air District considered the cumulative impact of the facilities emissions, background ambient air concentrations, and emissions from other nearby sources on receptors located within this impact area," as discussed above, this obviously did not take place given the exclusion of mobile emissions from 880.

Under the NSR Guidelines, "impact area(s) will be used to[] set the boundaries within which ambient air quality monitoring data may need to be collected, [] define the area over which a full impact analysis (one that considers the contribution of *all sources*) must be undertaken, and [] guide the identification of other sources to be included in the modeling analyses." (C31.)

The proposed project's impact area is the geographical area for which the required air quality analyses for the NAAQS and PSD increments are carried out. This area includes **all locations where the significant increase in the potential emissions of a pollutant from a new source**, or significant net emissions increase from a modification, **will cause a significant ambient impact (i.e., equal or exceed the applicable significant ambient impact level**, as shown in Table C-4). ***The highest modeled pollutant concentration for each averaging time is used to determine whether the source will have a significant ambient impact for that pollutant.***

The impact area is a circular area with a radius extending from the source to (1) the most distant point where approved dispersion modeling predicts a significant ambient impact will occur, or (2) a modeling receptor distance of 50 km, whichever is less. Usually the area of modeled significant impact does not have a continuous, smooth border. (It may actually be comprised of pockets of significant impact separated by pockets of insignificant impact.) Nevertheless, the required air quality analysis is carried out within the circle that circumscribes the significant ambient impacts, as shown in Figure C-4.

(C26)

¹⁰ We refer you to Alameda County Congestion Management Agency 2006-7 Final Performance Report : <http://accma.ca.gov/pages/HomeCongestionMgmt.aspx>.

Under Calpine's Source Impact Analysis dated July 30, 2009 provided by Calpine's attorney, "the "impact area" is identified by drawing a circle around the site with a radius equal to the distance to the farthest location where an exceedance of the SIL is modeled to occur." (July 30, 2009 SIA, p. 11.) According to the Additional SOB, p. 87:

For the 24-hour standard, modeling of the facility's potential ambient air quality impacts showed emissions over the most-conservative 1.2 $\mu\text{g}/\text{m}^3$ SIL. The receptor locations where the facility's impacts were over the SIL were mostly within the immediate vicinity of the facility out to a distance of up to 1.26 km, **but also at six specific more remote spots in the East Bay hills out to a furthest distance of 8.1 km. The Air District therefore considers the "impact area" for the full impacts analysis to consist of a circle around the facility with a radius of 8.1 km.** For the full modeling analysis, the Air District considered the cumulative impact of the facility's emissions, background ambient air concentrations, and emissions from other nearby sources on receptors located within this impact area.

In addition to arriving at a different maximum concentration level for 24 hour analysis, Chabot's modeling results also arrived at a larger impact area, utilizing the maximum concentration point, the location of the east turbine as the center,¹¹ and applying the SIL of 1.2 $\mu\text{g}/\text{m}^3$, our calculations result in a radius of 11,430 meters, 11.43 km or 7.1 miles.

Additionally, in making this run, we want to bring to your attention that rather than arriving at 6,019 receptors as contended by Calpine, "where the RCEC "first high" impacts (i.e., the maximum predicted concentration) exceeded 1.2 $\mu\text{g}/\text{m}^3$ on a 24-hour basis," we arrived at 8,424 receptors. (See July 30, 2009 Source Impact Analysis, p. 11 ["the modeling receptor grid of 31,000 receptors was reduced to 6,019 receptors"; *compare with*, Glen Long's July 27, 2009 Memo to you on Air Quality Impact Analysis, pp.5-6, stating there were "approximately 18,400 receptors" within 1.26 km for the 24 hour average impact.])

Based on our research, the procedure provided by the EPA to calculate the maximum 24-hour for comparison against the national ambient air quality standards (NAAQS) for PM_{2.5}, with five years of meteorological data, is to utilize the maximum 24-hour concentration based on the high-eighth-high (H8H) for PM_{2.5}. (Dec. 2006 ADDENDUM to USER'S GUIDE FOR THE AMS/EPA REGULATORY MODEL – AERMOD (EPA-454/B-03-001, September 2004), p. 5.)

Here, Calpine has relied on a background concentration of 29 $\mu\text{g}/\text{m}^3$ for the compliance analysis of the Federal 24-hour ambient air quality standard (AAQS) of 35 $\mu\text{g}/\text{m}^3$, which is the 3-year average of concentrations monitored at the Fremont station

¹¹ These peak concentrations occur at a receptor (UTM East = 576,359.25 m and UTM North = 4,165,627 m) located about 326 m northwest of the RCEC eastern turbine.

during the years 2006-2008. However, this 3-year averaging is only used to assess the attainment/non-attainment status of the area where the monitoring station is located. According to monitoring concentrations from the US EPA Airdate website,¹² in 2007 a 98th percentile concentration of 33.3 ug/m³ was measured as 24-hour concentration for the Fremont station. Given the time of RCEC's proposed operation will extend for 30 years, the more conservative estimate is to apply is this higher value of 33.3 ug/m³ should be used as background concentration. Most significantly, this also is consistent with the District's own Permit Modeling Guidance (2007) Section H, part 2(b), that within the most recent three years of air quality data, "the highest 2nd high concentration should be used as background for comparison with national standards." (Page 7.)

For PM_{2.5}, the highest 98th percentile is used instead of the highest 2nd high. This highest 2nd high is applicable to other pollutants such as SO₂ that allow one exceedance per year.

Applying the background of 33.3 ug/m³, the 98th percentile as recommended by the District's Guidelines, the AAQS of 35 ug/m³ will be exceeded by all peak concentrations, even utilizing Calpine's underestimated 24 hour project only maximum impact of 4.9 ug/m³. These violations of 24-hour PM_{2.5} AAQS are consistent with the (yet to be published) designation of the non-attainment status of the Bay Area.

The Air Modeling Improperly Assumes A Baseload Operation When The Application Seeks An Intermediate Operation Which Will Generate Additional Emissions That Must Be Modeled.

According to Calpine's July 30, 2009 Source Impact Analysis, page 9, "[t]he operation of the turbines and cooling towers were modeled with the assumption of 24-hours per day of emissions." We object to such an assumption. As reflected in Calpine's application to the CEC, Calpine has consistently sought unlimited startups and shutdowns and your December 2008 Amended SOB states this would be operated as a "load following" plant "operated to meet contractual load and spot sale demand" which would have a full shutdown "if market price of electricity falls below cost of generation." (Amended SOB, p. 11.)

In addition to failing to provide a full impact analysis, because this would operate as an intermediate facility, the emissions generated by the anticipated startups and shutdowns likewise must be modeled. (*See generally, American Corn Growers Association v. Environmental Protection Agency* (D.C. Cir. 2002) 291 F.3d 1.)

12

<http://iaspub.epa.gov/airdata/adaqs.monvals?geotype=st&geocode=CA&geoinfo=st~CA~California&pol=PM25&year=2007&fld=monid&fld=siteid&fld=address&fld=city&fld=county&fld=stabbr&fld=regn&rpp=25>

Conclusion

As established above, Calpine has failed to satisfy its burden and the District's amended SOB and additional SOB must be revised to deny this application. Absent denial, the air modeling results submitted by Calpine are fundamentally flawed, incomplete, and inadequate, failing to satisfy minimum EPA Guidelines and statutory requirements, not even applying the proper modeling programs, which based on our review of the air modeling files provided by your office, resulted in a material differences in results. (As mentioned above, we will be happy to share our results with your office.)

Further, we agree with Citizens Against Pollution's correspondence by Earthjustice that the methodologies utilized by Calpine, among other problems, severely underestimates the cumulative impacts since nearby large emission sources, even highway 880 located within the (reduced) significant impact area, as well as power plants and oil refineries with tall stacks and high plumes, located beyond the significant impact area, may contribute significantly. Given the location of this plant in a the middle of a metropolitan urban area, "the Heart of the Bay," and the Bay Area's *de facto* nonattainment of PM2.5 and *de jure* nonattainment for 8 hour ozone, *all* emission sources located within a radius of 50 km of the proposed facility should be included in a full impact analysis, which is the limit of applicability of a Gaussian air quality model such as AERMOD. (*See generally*, Appendix W.)

Lastly, we agree with and incorporate those arguments by the other commentators and concerned citizens and Chabot-Las Positas's students, as well as CAP's by Golden Gate University Environmental Law Clinic and Communities for a Better Environment, urging you to revise your SOB and to deny this application.

Sincerely,

S/

Jewell J. Hargleroad

Cc: (Via Email Only)
California Native Plant Society, Laura Baker
Golden Gate Law School Clinic, Helen Kang
Earthjustice, Paul Cort
Communities for a Better Environment, Shana Lazerow
Sierra Club

EVIDENTIARY HEARING
BEFORE THE
CALIFORNIA ENERGY RESOURCES CONSERVATION
AND DEVELOPMENT COMMISSION

In the Matter of:)
)
Application for Certification) Docket No.
for the Eastshore Energy) 06-AFC-6
Center in Hayward by Tierra)
Energy of Texas)

)

VOLUME I

CITY COUNCIL CHAMBERS
HAYWARD CITY HALL
777 B STREET
HAYWARD, CALIFORNIA

MONDAY, DECEMBER 17, 2007

10:00 A.M.

Reported by:
John Cota
Contract No. 170-07-001

PETERS SHORTHAND REPORTING CORPORATION (916) 362-2345

COMMITTEE MEMBERS PRESENT

Jeffrey D. Byron, Presiding Member

HEARING OFFICER, ADVISORS PRESENT

Susan Gefter, Hearing Officer

Gabriel Taylor, Advisor to Commissioner Byron

STAFF, CONTRACTORS AND WITNESSES PRESENT

Brian Bateman, Bay Area Air Quality Management District

Brewster Birdsall, PE, QEP, Aspen Environmental Group

Alvin J. Greenberg, PhD, REA, QEP, Risk Science Associates

Caryn Holmes, Staff Counsel

Brian K. Lusher, Bay Area Air Quality Management District

Bill Pfanner, Project Manager

PUBLIC ADVISER

Nick Bartsch

APPLICANT

June E. Luckhardt, Downey Brand, outside counsel
Dan L. Carroll, Downey Brand, outside counsel
Nicolaas W. Pullin, Downey Brand, outside counsel

Greg Trewitt, Tierra Energy

David A. Stein, PE, CH2MHILL

Gregory S. Darwin, Atmospheric Dynamics

James Westbrook, Westbrook Environmental

INTERVENORS

Paul N. Haavik

City of Hayward

Diana J. Graves, Pillsbury Winthrop Shaw
Pittman, outside counsel to the City of
Hayward

Robert A. Bauman, PhD, PE, City of Hayward

Alameda County

Andrew J. Massey, Office of County Counsel

Cindy Horvath, Alameda County Community
Development Agency

Sandra Witt, PhD, Planning Policy and Health
Equity, Alameda County Public Health
Department

Paolo Zannetti, PhD, EnviroComp Consulting

Chabot-Las Positas

Laura Schulkind, Liebert Cassidy Whitmore,
outside counsel to Chabot-Las Positas

Susan Sperling, Faculty Association

Group Petitioners

Jewell Hargleroad, outside counsel to Group
Petitioners

Jay White, California Pilots Association

Mike Toth

Suzanne Barba

Robert Sarvey

ALSO PRESENT

Scott Galati, Galati|Blek, counsel to Pacific Gas and Electric Company

Michael W. Jarred, the Office of Senator Ellen M. Corbett

Christopher Parman, the Office of Assembly Member Mary Hayashi

Mayor Michael Sweeney, City of Hayward

Supervisor Gail Steele, Alameda County Board of Supervisors

Ahmad Asir

Chancellor Joel Kinnamon, EdD, Chabot-Las Positas Community College District

Trustee Hal G. Gin, EdD, Chabot-Las Positas Community College District

Diane Zuliani, the Academic Senate President, Chabot Community College

Rachel Ugale, Classified Senate President, Chabot Community College

Jove Meyer, Vice President, Associated Students of Chabot College, Chabot Community College

Lynn Tomkunas

Catherine Powell, Classified Employees of Chabot College, Chabot Community College

Audrey LePell, Citizens Against Pollution

Karen Kramer, Citizens Against Pollution

Professor Laurie Price, California State University East Bay

Wulf Bieschke, President, San Lorenzo Village Homes Association

Glenn Kirby, Sierra Club

ALSO PRESENT

Kimberley Finn

Harry Shin

Juanita McDonald

Barry Luboviski, Building and Construction Trades
Council of Alameda County AFL-CIO

Stephania Widger

Sharon Cornu, Alameda Labor Council

Patricia Taylor

J. Edwards

J. V. McCarthy

Mitchell Medeiros

Bob Williams

Carol Ford, California Pilots Association

Juanita Gutierrez

Rob Simpson

Jesus Armas

I N D E X

	Page
Proceedings	1
Opening Remarks	1
Introductions	
Committee	1
Parties	5
Uncontested Topics	13
Exhibits Related to Uncontested Topics	
Applicant	13
Staff	14
Air Quality Witnesses	
Applicant	
James Westbrook	
Direct Examination by Ms. Luckhardt	17
Cross Examination by Mr. Massey	76
Further Cross Examination by Mr. Massey	83
Cross Examination by Mr. Sarvey	123
Gregory Darwin	
Direct Examination by Ms. Luckhardt	18
David Stein	
Direct Examination by Ms. Luckhardt	20
Staff	
Brewster Birdsall	
Direct Examination by Ms. Holmes	24
Summary of Testimony	28
Cross Examination by Ms. Hargleroad	49
Cross Examination by Mr. Massey	64
Cross Examination by Mr. Sarvey	95
Further Cross Examination by Mr. Sarvey	100
Further Cross Examination by Mr. Sarvey	114
Further Cross Examination by Mr. Sarvey	119
Redirect Examination by Ms. Holmes	155
Cross Examination by Ms. Luckhardt	160
Recross Examination by Ms. Hargleroad	166

I N D E X

	Page
Air Quality Witnesses Continued	
Staff	
Brian Bateman	
Direct Examination by Ms. Holmes	26
Cross Examination by Mr. Massey	83
Redirect Examination by Ms. Holmes	158
Cross Examination by Ms. Luckhardt	163
Brian Lusher	
Direct Examination by Ms. Holmes	26
Summary of Testimony	31
Cross Examination by Mr. Sarvey	91
Further Cross Examination by Mr. Sarvey	95
Cross Examination by Mr. Haavik	106
Further Cross Examination by Mr. Sarvey	118
Redirect Examination by Ms. Holmes	156
Cross Examination by Ms. Luckhardt	162
Cross Examination by Ms. Hargleroad	171
Intervenors	
Robert Sarvey	
Direct Testimony	109
Dr. Paolo Zannetti	
Direct Examination by Mr. Massey	140
Cross Examination by Ms. Holmes	148
Cross Examination by Ms. Luckhardt	149
Statements from Elected Officials	
Senator Ellen M. Corbett	130
Assembly Member Mary Hayashi	133
Air Quality Exhibits Moved	
Applicant	176
Staff	180
Alameda County	181
Intervenor Group Petitioners	181
Intervenor Sarvey	182

I N D E X

	Page
Afternoon Session	184
Public Health Witnesses	
Applicant	
James Westbrook	
Direct Examination by Ms. Luckhardt	184
Further Direct Examination by Ms. Luckhardt	186
Cross Examination by Ms. Hargleroad	273
David Stein	
Direct Examination by Ms. Luckhardt	186
Staff	
Dr. Alvin Greenberg	
Direct Examination by Ms. Holmes	189
Cross Examination by Ms. Hargleroad	206
Cross Examination by Ms. Schulkind	228
Cross Examination by Ms. Luckhardt	255
Redirect Examination by Ms. Holmes	263
Recross Examination by Ms. Schulkind	264
Recross Examination by Ms. Hargleroad	268
Recross Examination by Ms. Luckhardt	277
Further Recross Examination by Ms. Hargleroad	278
Brian Lusher	
Cross Examination by Ms. Luckhardt	253
Public Health Exhibits Moved	
Applicant	278
Intervenor Chabot-Las Positas	280
Intervenor Group Petitioners	280

I N D E X

	Page
Evening Session	284
Public Comment	
Supervisor Gail Steele	286
Ahmad Asir	289
Dr. Joel Kinnamon	292
Dr. Hal Gin	296
Diane Zuliani	300
Rachel Ugale	313
Jove Meyer	314
Lynn Tomkunas	319
Catherine Powell	320
Audrey LePell	384
Karen Kramer	389
Professor Laurie Price	394
Wulf Bieschke	399
Glenn Kirby	399
Kimberley Finn	403
Harry Shin	405
Juanita McDonald	407
Barry Luboviski	410
Stephania Widger	412
Sharon Cornu	414
Patricia Taylor	417
J. Edwards	420
J. V. McCarthy	423
Mitchell Medeiros	426
Bob Williams	427
Carol Ford	432
Juanita Gutierrez	433
Rob Simpson	434
Jesus Armas	440
Environmental Justice Witnesses	
Intervenors	
Dr. Susan Sperling	
Direct Examination by Ms. Schulkind	325
Cross Examination by Ms. Holmes	336
Cross Examination by Mr. Carroll	341
Cross Examination by Ms. Hargleroad	352

I N D E X

	Page
Environmental Justice Witnesses	
Dr. Sandra Witt	
Direct Examination by Mr. Massey	361
Cross Examination by Ms. Holmes	369
Cross Examination by Mr. Carroll	375
Staff	
Bill Pfanner	
Cross Examination by Ms. Schulkind	441
Environmental Justice Exhibits Moved	
Intervenor Chabot-Las Positas	355
Intervenor Alameda County	379
Staff	379
Applicant	380
Adjournment	484
Reporter's Certificate	485

1 P R O C E E D I N G S

2 10:03 a.m.

3 PRESIDING COMMISSIONER BYRON: Good
4 morning everyone. I would like to welcome you to
5 the friendly confines of the Hayward Council
6 Chambers once again.

7 My name is Jeff Byron, I am the
8 presiding member of the Energy Resources
9 Conservation Development Commission Committee on
10 the application for certification for the
11 Eastshore Energy Center in Hayward. This is an
12 evidentiary hearing.

13 With me is my advisor, Gabriel Taylor,
14 and also our hearing officer, Susan Gifter. I'll
15 turn it over to her shortly. Unfortunately
16 Commissioner Geesman is unable to attend today's
17 proceedings. And also pending the expiration of
18 his term as Commissioner, probably at the end of
19 this month, he will likely not be participating in
20 the Presiding Member's Proposed Decision.

21 We have a couple of days of hearing
22 scheduled. I just want to open with a few
23 remarks, if I may. I wanted to let you know that
24 this take this very seriously at the Commission.
25 These siting cases receive a great deal of

1 attention and this one is no exception.

2 I believe we have scheduled enough time
3 for hearing all the evidence and cross examination
4 and I have reviewed all the testimony and briefs.
5 I would certainly like to thank the parties for
6 their efforts in pulling all that information
7 together in a timely way. As I said, I don't see
8 why we cannot complete this within the prescribed
9 time. We are all familiar with the issues and the
10 important arguments.

11 And remember that the purpose of today
12 and tomorrow's evidentiary hearing is to collect
13 the evidence that we need in order to make a
14 decision on the application for certification
15 before the Commission.

16 I have also asked for briefs for us to
17 be able to make a decision on the request for the
18 override request on the LORS. And I believe it's
19 one of those acronyms that is kind of -- it's
20 laws, ordinances, resolutions?

21 HEARING OFFICER GEFTER: Regulations
22 and standards.

23 PRESIDING COMMISSIONER BYRON:
24 Regulations and standards, thank you.

25 But as we've seen from a lot of the e-

1 mail traffic that has been going back and forth
2 and the docketing of information over the last
3 couple of weeks there may be some of you here that
4 are not completely familiar with the Warren-
5 Alquist Act and our process at the Energy
6 Commission. I believe we have extended a great
7 deal of latitude over the last number of weeks
8 since our prehearing conference in order to allow
9 testimony to come in a little bit late.

10 But I also want to remind everyone that
11 this process that we have been undertaking on
12 behalf of the Commission is not new. This
13 application has been before the Commission for
14 over a year and we have an obligation to try and
15 complete it in a timely manner. So I would like
16 to thank you all for working so diligently on
17 this. December is a very difficult month given
18 the holidays to do this but we are intent upon
19 seeing this through and completing this
20 evidentiary hearing over the next two days.

21 I would like to ask that all parties to
22 the process remain focused on presenting relevant
23 evidence to this case. Our hearing officer,
24 Ms. Gefter, will keep us on the straight and
25 narrow with regard to process and on schedule for

1 the next two days. We have been thanked numerous
2 times for coming here to Hayward and listening,
3 that is our job.

4 My time is expendable but everyone
5 else's time here is extremely important. I would
6 ask that before you speak today that you consider
7 a couple of questions. Is the information you are
8 providing relevant to this case? If it has
9 already been said during the hearing that we have
10 been conducting thus far is it really necessary to
11 say it again? And does it confuse or delay the
12 proceeding? If we are confused about the process
13 that's one thing but we do not want to continue to
14 delay the proceeding.

15 Having said all that I'll turn this
16 over to Ms. Gefter. I thank you all again for
17 being here and to the City of Hayward for
18 providing this wonderful facility for us. And I
19 think Ms. Gefter has some important information
20 instructions for the parties as well.

21 HEARING OFFICER GEFTER: Thank you,
22 Commissioner Byron. I'd like the parties to
23 introduce themselves before we get started,
24 starting with Commission staff. Ms. Holmes.

25 MS. HOLMES: Thank you. Caryn Holmes,

1 staff counsel. On my right is Bill Pfanner, the
2 CEC staff project manager for this project.

3 HEARING OFFICER GEFTER: Mr. Haavik.

4 MR. HAAVIK: Paul Haavik, intervenor.

5 HEARING OFFICER GEFTER: The applicant.

6 MS. LUCKHARDT: Hi, I'm Jane Luckhardt
7 for Eastshore Energy. Also with me and going to
8 be doing some cross today, sitting behind me, are
9 Dan Carroll and Nick Pullin. Sitting next to me
10 is Greg Trewitt representing the owner, project
11 owner. On the other side of Greg is David Stein,
12 the project manager for CH2MHILL on this project.

13 HEARING OFFICER GEFTER: I also wanted
14 to ask the parties if you could please give your
15 business cards to the reporters so they can spell
16 your names correctly and identify you when you
17 speak. So if you haven't already given your
18 business cards it would be a good time right now.

19 Mr. Sarvey is an intervenor. I don't
20 think your mic works over there, Mr. Sarvey.

21 MR. SARVEY: Yes it does.

22 HEARING OFFICER GEFTER: It's working.
23 But does the reporter have you also on your
24 system? The reporter doesn't have you on the
25 system. You can hear him? Okay. Mr. Sarvey,

1 identify yourself for the record, please.

2 MR. SARVEY: Robert Sarvey. The last
3 name is spelled S-A-R-V-E-Y.

4 HEARING OFFICER GEFTER: Thank you.

5 MR. SARVEY: Thank you.

6 HEARING OFFICER GEFTER: And the City
7 of Hayward.

8 PRESIDING COMMISSIONER BYRON: I
9 believe the microphones in front of you are for
10 the recording.

11 HEARING OFFICER GEFTER: Yes, they are.
12 We're going to go off the record. Let me go see
13 if we can find out what happened to that
14 microphone. I thought we had it.

15 (Brief recess)

16 HEARING OFFICER GEFTER: City of
17 Hayward, please identify yourself and your
18 attorney.

19 MS. GRAVES: I'm Diana Graves from
20 Pillsbury Winthrop Shaw Pittman. We are outside
21 counsel representing the City of Hayward. And
22 with me I have Robert Bauman, the Director of
23 Public Works for the City of Hayward.

24 HEARING OFFICER GEFTER: Thank you.
25 And Alameda County, please.

1 MR. MASSEY: I am Andrew Massey with
2 the Office of County Counsel for Alameda County.
3 With me is Cindy Horvath from the County's
4 Department of Planning.

5 HEARING OFFICER GEFTER: Thank you.
6 And the group petitioners?

7 MS. HARGLEROAD: Hi, I'm Jewell
8 Hargleroad, here for group petitioners, California
9 Pilots Association. I have their counsel, Jay
10 White here is attending. Also San Lorenzo Village
11 Homes Association. And I also have Suzanne Barba
12 here with me and Mike Toth. And also we have
13 Hayward Area -- I am representing the Hayward Area
14 Planning Association.

15 HEARING OFFICER GEFTER: Thank you.
16 And also the Chabot College-Las Positas College
17 District.

18 MS. SCHULKIND: Laura Schulkind,
19 Liebert Cassidy Whitmore, for intervenor Chabot-
20 Las Positas Community College District. Dr.
21 Sperling representing the Faculty Association will
22 be arriving shortly. We also will have Chancellor
23 Kinnamon and Trustee Gin and the Faculty Senate
24 President, Diane Zuliani, joining us during the
25 public comment period.

1 HEARING OFFICER GEFTER: Thank you very
2 much. We have them scheduled for public comment
3 this evening, thank you.

4 I also understand that Scott Galati
5 from PG&E will be here today. I don't know if he
6 is here yet but when he gets here we'll introduce
7 him.

8 And then I don't know if there are any
9 elected officials here at this time. I don't have
10 any blue cards yet but we're expecting them this
11 evening.

12 The public adviser's representative,
13 Nick Bartsch is in the back standing there by the
14 door and can assist any members of the public if
15 you have any questions on how to participate
16 today.

17 I am going to describe the format for
18 the evidentiary hearing. The evidentiary hearing
19 is a formal adjudicatory proceeding to receive
20 evidence from the parties. The technical rules of
21 evidence are generally followed, however, any
22 relevant, non-cumulative evidence may be admitted
23 if it is the sort of evidence on which responsible
24 persons are accustomed to rely in the conduct of
25 serious affairs.

1 The testimony offered by the parties
2 shall be under oath and the Committee will
3 administer the oath today. Each party has the
4 right to present and cross-examine witnesses,
5 introduce exhibits and to rebut the evidence of
6 another party. Questions of relevance will be
7 decided by the Committee. Hearsay evidence may be
8 used to supplement or explain other evidence but
9 shall not be sufficient in itself to support a
10 finding.

11 The Committee will rule on motions and
12 objections. After ruling is made no more time
13 will be allowed for further argument since we want
14 to spend our time taking testimony. Parties may
15 assert a continuing objection that will be
16 addressed in the Committee's written decision.

17 The Committee may take administrative
18 notice of matters within the Energy Commission's
19 field of competence and of any fact that may be
20 judicially noticed by California courts.

21 The official record of this proceeding
22 will include the sworn testimony of the parties'
23 witnesses, the reporter's transcript, the exhibits
24 received into evidence, the briefs, the pleadings,
25 the orders, the notices and the oral and written

1 comments submitted by members of the public. And
2 that is contained in our regulations.

3 The Committee's decision will be based
4 solely on the record of competent evidence in
5 order to determine whether the project complies
6 with applicable law.

7 Members of the public who wish to speak
8 should write their comments on blue cards and hand
9 them to the public adviser's representative in the
10 back of the room. The public comment period
11 begins this evening at six p.m.

12 I also wanted to talk about the
13 schedule today. If parties have not completed
14 witness testimony by six p.m. we'll break for
15 public comment and then we'll resume this evening
16 to try to finish up the topics that we have
17 scheduled for today.

18 I notice that Ms. Hargleroad has a
19 question.

20 MS. HARGLEROAD: I just wanted to take
21 notice for the record, and I'll try to do a short
22 pleading on this too, is that we did not file a
23 brief on the evidentiary standard.

24 HEARING OFFICER GEFTER: We know that.

25 MS. HARGLEROAD: But I want to make it

1 clear though that we are also, like the applicant
2 and staff, relying on the entire record.

3 Specifically we would also like to refer to the
4 declaration of Jay White which sets forth various
5 applicable statutes concerning airport hazards and
6 state law. I just wanted to make that clear for
7 the record.

8 HEARING OFFICER GEFTER: The exhibit
9 list that lists the exhibits that we have received
10 so far and have been proposed to be offered into
11 the record has been distributed to the parties.
12 It's a working list. We'll use it to organize and
13 receive evidence into the record today.

14 We will also use the topic and witness
15 schedule to keep track of the topics and that was
16 attached to the Notice of Evidentiary Hearing. I
17 hope everyone has a copy of that. There are 15
18 uncontested topics identified in that topic and
19 witness schedule. None of the intervenors filed
20 objection to submittal of these topics by
21 declaration and we'd like to go forward with that
22 at this time.

23 We'll allow applicant to offer into
24 evidence the AFC, the relevant supplements and the
25 testimony in support of the 15 uncontested topics.

1 HEARING OFFICER GEFTER: Thank you very
2 much. I am going to -- What I would like to do is
3 actually list the uncontested topics and then ask
4 the applicant to move your documents and
5 testimony.

6 The uncontested topics include Project
7 Purpose and Description, Power Plant Efficiency,
8 Power Plant Reliability, Transmission System
9 Engineering, Transmission Line Safety and
10 Nuisance, Facility Design, Geological and
11 Paleontological Resources, Cultural Resources,
12 Soil and Water Resources, Hazardous Materials,
13 Worker Safety and Fire Protection, Biological
14 Resources, Waste Management, Visual Resources and
15 Compliance.

16 And I would ask Ms. Luckhardt then to
17 move your exhibits.

18 MS. LUCKHARDT: Okay, do you want me
19 just to move them? Okay. Then I request that the
20 hearing officer take into the record all of those
21 exhibits that apply to the subject areas that have
22 been previously identified.

23 HEARING OFFICER GEFTER: Well, would
24 you give me the exhibit numbers. Because we have
25 to identify them for the record.

1 MS. LUCKHARDT: Okay. The Exhibit
2 numbers are as identified on exhibit number 21.
3 In many instances they are parts of other exhibits
4 so if you want me to go through each one I can.
5 But I think it would be faster for the record to
6 identify all those exhibits that are listed in our
7 Exhibit 21, which includes the AFC, the data
8 responses, the AFC supplement and various other
9 items that are uncontested. Since each subject
10 area is bringing in parts of some documents I
11 think it would take an inordinate amount of time
12 now to go through and identify the specific parts.

13 HEARING OFFICER GEFTER: That's fine
14 with me and I can read Exhibit 21 just like
15 everyone else can so we'll incorporate the list of
16 exhibits in Exhibit 21 and receive them into the
17 record. Thank you.

18 MS. LUCKHARDT: Thank you.

19 HEARING OFFICER GEFTER: And at this
20 point I'll ask staff to move your documents.

21 MS. HOLMES: Thank you. Staff would
22 move that Exhibit 200 and Exhibit 202 be received
23 into evidence at this time.

24 HEARING OFFICER GEFTER: And we will
25 receive Exhibit 200 and Exhibit 202 into the

1 record. And as we indicated earlier if there are
2 any issues that are contested in those particular
3 documents we will receive testimony and the
4 parties are entitled to cross-examine on those
5 issues as well. And this will be very efficient
6 and we appreciate that.

7 And now we are moving on to our
8 contested topic and the first topic is air
9 quality. We know there is a lot of concern on
10 that topic so the way I'd like to proceed on that
11 is to ask the applicant to present its witnesses
12 on air quality and we'll take your direct
13 testimony first.

14 Then we'll have staff witnesses on air
15 quality and we'll take your direct testimony. The
16 staff will also sponsor the Air District's
17 witness. Then we'll also receive the final
18 determination of compliance at that point. The
19 parties can then cross-examine the staff and
20 applicant's witnesses on air quality.

21 Then we'll move on and have the County
22 present its witness on air quality, Dr. Zannetti
23 and then the parties may cross that witness.

24 And then Mr. Sarvey will present his
25 testimony on air quality and the parties may

1 cross-examine him as well.

2 So in order for us to move along we
3 would like to start with the applicant. Would you
4 identify your witnesses and we'll swear them in.

5 MS. LUCKHARDT: Okay. Do you want to
6 swear all the air quality witnesses in at once,
7 then?

8 HEARING OFFICER GEFTER: Yes, all of
9 applicant's.

10 MS. LUCKHARDT: We identify, we
11 identify Greg Darvin, James Westbrook and David
12 Stein. Mr. Stein has already been sworn. Both
13 Mr. Darvin and Mr. Westbrook need to be sworn.

14 HEARING OFFICER GEFTER: Could witnesses
15 please stand up, state your name for the record
16 and I'll swear you in.

17 MR. DARVIN: Greg Darvin.

18 MR. WESTBROOK: I'm James Westbrook.

19 HEARING OFFICER GEFTER: Thank you.

20 Whereupon,

21 GREGORY S. DARVIN

22 JAMES WESTBROOK

23 were duly sworn.

24 MS. LUCKHARDT: Okay, I will start with
25 Mr. Westbrook.

1 DIRECT EXAMINATION

2 BY MS. LUCKHARDT:

3 Q Was a statement of your qualifications
4 attached to your testimony?

5 A Yes it was.

6 Q And is a list of exhibits that you are
7 sponsoring attached to your testimony as well?

8 A Yes it is.

9 Q Do you have any corrections to your
10 testimony at this time?

11 A I do have a correction.

12 Q Please identify the page and provide
13 the specific corrections.14 HEARING OFFICER GEFTER: Also would you
15 identify the Exhibit. I'm sorry if I missed that.16 WITNESS WESTBROOK: Exhibit 15. And it
17 is under Q-11 or A-11, page three.18 I would like to make a correction to,
19 starting with the third sentence under A-11. It
20 should read as follows: There are no SO2 data for
21 the Hayward area. Only PM10 and sulfate data are
22 available from the Hayward area. Ambient SO2 data
23 are only available from areas in Bay Area with
24 filings to the north.

25 And then below under A-12, the first

1 sentence should read: Yes, I independently
2 obtained sulfate and SO2 data. And the rest is
3 correct.

4 BY MS. LUCKHARDT:

5 Q Thank you. With those changes, insofar
6 as your testimony contains statements of fact are
7 those facts true and correct to the best of your
8 knowledge?

9 A Yes they are.

10 Q And insofar as your testimony contains
11 statements of opinion do they represent your best,
12 professional judgment?

13 A Yes.

14 Q Do you now adopt all those exhibits
15 identified as your sworn testimony?

16 A Yes I do.

17 DIRECT EXAMINATION

18 BY MS. LUCKHARDT:

19 Q Mr. Darwin, was a statement of your
20 qualifications attached to your testimony?

21 A Yes it was.

22 Q And is a list of exhibits attached to
23 your testimony?

24 A Yes.

25 Q Do you have any corrections to your

1 testimony?

2 A No corrections.

3 Q Insofar as your testimony contains --

4 HEARING OFFICER GEFTER: I'm sorry,
5 what is his exhibit number, please, for his
6 testimony?

7 MS. LUCKHARDT: He is also identified
8 in Exhibit 20. Okay, I apologize. Mr. Darwin
9 does not have a specific list of testimony or a
10 specific list. He is identified under traffic and
11 transportation.

12 BY MS. LUCKHARDT:

13 Q Mr. Darwin, did you support the work
14 that is sponsored by Mr. Westbrook?

15 A Yes I did.

16 Q Did you perform the modeling that is
17 sponsored by Mr. Westbrook?

18 A Yes.

19 Q Do you adopt that modeling and that
20 effort as your testimony at this time?

21 A I do.

22 Q Do you -- You already said. Do you
23 have any corrections to that?

24 A No corrections.

25 Q Is your testimony, is that work true

1 and correct to the best of your knowledge?

2 A Yes it is.

3 Q Do you adopt the testimony -- Let's
4 forget that. Thank you.

5 DIRECT EXAMINATION

6 BY MS. LUCKHARDT:

7 Q Mr. Stein, did you supervise -- In your
8 role as a project manager did you supervise the
9 work that was performed by, or provide peer review
10 to the work that was performed by Mr. Darwin and
11 Mr. Westbrook?

12 A Yes.

13 Q We do not have any specific --

14 HEARING OFFICER GEFTER: Ms. Luckhardt,
15 excuse me, I have a question with regard to
16 Mr. Darwin's role in this. And when you asked him
17 if he supported Mr. Westbrook's analysis, what do
18 you mean by that? Did they work together?

19 MS. LUCKHARDT: Yes, they worked
20 together on this. They both provided different
21 parts and peer-reviewed each other's work. We
22 have them both up here and available because the
23 detailed modeling was initially performed by
24 Mr. Darwin. So since there were questions about
25 the detailed modeling we thought it would be most

1 appropriate to have him here to answer those
2 questions.

3 HEARING OFFICER GEFTER: Thank you.

4 MS. LUCKHARDT: Mr. Stein is the
5 project manager. He peer-reviewed the work that
6 was done and so he is also available to respond to
7 questions but is not independently sponsoring any
8 specific piece of the air quality testimony.

9 Mr. Westbrook, can you please explain
10 the two changes that the applicant is requesting
11 to AQ-SC8

12 MR. WESTBROOK: Yes, the changes are a
13 requested change in the condition to allow more
14 flexibility to mitigate project PM10 emissions.
15 While the applicant agrees with the preference to
16 use local or upwind offsets for emission reduction
17 credits to mitigate PM10 emissions from the
18 project it may not be possible to get those
19 offsets because of limitations in the marketplace.

20 Therefore, if the applicant has made a
21 best faith effort to obtain those local, upwind
22 emission reduction credits and cannot do so we
23 would ask for some flexibility to go into other
24 geographical regions where these emission
25 reduction credits can be obtained if there is

1 meteorological justification for doing so.

2 Also we would like to change the trade-
3 off ratio for using SO2 emission reduction credits
4 for PM10. We don't agree with the staff's 5.3 to
5 1 ratio for that. Three to one is appropriate and
6 a likely conservative tradeoff ratio for obtaining
7 a conversion between SO2 offsets and PM10. And it
8 is a ratio that is supported decisions on other
9 projects, by district policy and also by technical
10 analysis.

11 MS. LUCKHARDT: Thank you. These
12 witnesses are available now for cross.

13 HEARING OFFICER GEFTER: Thank you.

14 I wanted to take staff's testimony
15 first and then we will make all witnesses
16 available at that point. So staff, do you want to
17 swear your witness in, please.

18 MS. HOLMES: Staff's witness in air
19 quality is Brewster Birdsall.

20 HEARING OFFICER GEFTER: And also do
21 you want to ask the Air District's witness to come
22 up too.

23 MS. HOLMES: And I believe there are
24 Air District witnesses as well.

25 MS. LUCKHARDT: If I could make a quick

1 correction. Mr. Darvin has identified some of the
2 air quality modeling in Exhibit 20 under Traffic
3 and Transportation. So as the work that is
4 identified there applies to this, that is one
5 place to look where we identified the modeling.

6 HEARING OFFICER GEFTER: Is there a
7 particular exhibit that is referred to?

8 MS. LUCKHARDT: It's all under Exhibit
9 20 so we can bring it in here or under Traffic and
10 Transportation tomorrow.

11 HEARING OFFICER GEFTER: Okay, thank
12 you. Okay, all right.

13 Do you want to ask your witnesses to
14 stand and identify themselves, please. And would
15 you please give your business cards to the
16 reporter so they can spell your name correctly,
17 thank you.

18 MR. BIRDSALL: My name is Brewster
19 Birdsall. I work with Aspen Environmental Group
20 as a Senior Associate and I prepared the CEC staff
21 assessment for air quality on this project.

22 HEARING OFFICER GEFTER: Okay. Well
23 wait a second, we're going to swear you. And I
24 wanted to ask the Air District witnesses also to
25 identify yourselves first.

1 MR. BATEMAN: Yes. I am Brian Bateman,
2 Director of Engineering at the Bay Area Air
3 Quality Management District.

4 MR. LUSHER: Brian Lusher, I am a
5 permit engineer for the Bay Area Air Quality
6 Management District.

7 HEARING OFFICER GEFTER: Thank you.
8 Whereupon,

9 BREWSTER BIRDSALL

10 BRIAN BATEMAN

11 BRIAN LUSHER

12 were duly sworn.

13 HEARING OFFICER GEFTER: Thank you very
14 much. Please be seated. I'm going to ask the
15 staff to proceed with Mr. Birdsall first.

16 MS. HOLMES: Thank you.

17 DIRECT EXAMINATION

18 BY MS. HOLMES:

19 Q Mr. Brewster (sic), was the air quality
20 portion of Exhibit 200 and 202, which are the PSA
21 and the FSA, prepared by you or under your
22 direction?

23 A Yes.

24 Q And was a statement of your
25 qualifications included in the FSA?

1 A Yes it was.

2 Q And do you have any changes or
3 corrections to your testimony at this time?

4 A I do have a correction to make to my
5 testimony. My written testimony on page 4.1-1 of
6 the Final Staff Assessment has a bullet point
7 regarding NOx emissions from the facility.

8 The correction that I'd like to make is
9 that the bullet be removed. The NOx emissions
10 from the project during the ozone season would be
11 fully mitigated through compliance with the Air
12 District's local new source review program which
13 requires offsets be supplied.

14 With that bullet removed the remainder
15 of the testimony is unchanged. The details for
16 this part of the analysis can be found on page
17 4.1-24 and 4.1-25 of the Final Staff Assessment.

18 MS. HOLMES: Thank you. With --

19 HEARING OFFICER GEFTER: I am not sure
20 which bullet you're referring to. Is that on the
21 first page of your testimony?

22 MR. BIRDSALL: Yes.

23 HEARING OFFICER GEFTER: There are
24 three bullets.

25 MR. BIRDSALL: Yes. On the first page

1 of the testimony the second bullet would be
2 removed.

3 BY MS. HOLMES:

4 Q With that correction are the facts
5 contained in your testimony true and correct to
6 the best of your knowledge?

7 A Yes they are.

8 Q And do the conclusions contained in
9 your testimony represent your best professional
10 judgment?

11 A Yes, they do.

12 MS. HOLMES: Thank you.

13 DIRECT EXAMINATION

14 MS. HOLMES: And Mr. Bateman and
15 Mr. Lusher, did you prepare or was prepared under
16 your direction the final determination of
17 compliance which has been identified as Exhibit
18 201?

19 MR. LUSHER: Yes.

20 MS. HOLMES: Could you please briefly,
21 since I don't believe 201 contains a statement of
22 your qualifications, could each of you very
23 briefly explain what your role is at the Bay Area
24 Air Quality Management District.

25 MR. LUSHER: I'm the permit engineer

1 for this application. I have an environmental
2 engineering degree from Cal Poly and I have been
3 working in the environmental field for over 12
4 years, three years of other engineering
5 experience.

6 MS. HOLMES: Thank you. Mr. Bateman?

7 MR. BATEMAN: And I am the Director of
8 Engineering at the Air District so I oversee the
9 work of Mr. Lusher and others in our division. I
10 have been working at the Air District for about 26
11 years.

12 MS. HOLMES: Do either of you have any
13 corrections to make to the Final Determination of
14 Compliance?

15 MR. LUSHER: Not at this time.

16 MS. HOLMES: Are the facts contained in
17 the Final Determination of Compliance true and
18 correct to the best of your knowledge?

19 MR. LUSHER: Yes.

20 MS. HOLMES: And do the conclusions
21 contained in the Final Determination of Compliance
22 represent your best professional judgment?

23 MR. LUSHER: Yes.

24 MS. HOLMES: Thank you. Ms. Gefter, at
25 this point I think it would be appropriate to have

1 staff give a very brief summary of their
2 testimony. Mr. Birdsall.

3 HEARING OFFICER GEFTER: Right. And
4 also please address applicant's concerns about
5 AQ-SC8. Thank you.

6 MR. BIRDSALL: Okay. I will summarize
7 the testimony by starting at, staff recognizes
8 that this project is using a technology of
9 internal combustion engines and that the use of
10 internal combustion engines does relate to higher
11 emissions of pollutants such as NOx and greenhouse
12 gases and particulate matter. Higher on a count
13 per megawatt hour basis than a combined cycle-
14 combustion turbine facility.

15 However, we've taken the approach of
16 mitigating all of the emissions that contribute to
17 significant impacts. And that would be
18 accomplished through AQ-SC8, which would offset
19 the particulate matter impacts of the project.

20 The applicant is asking for flexibility
21 on AQ-SC8 that staff disagrees with. The first
22 item would be the flexibility to provide regional
23 emission reduction credits as well as local
24 emission reduction credits, with the argument that
25 local emission reduction credits may not be

1 available.

2 Well, AQ-SC8 provides two options for
3 compliance with the offset requirement. The first
4 is through emission reduction credits. And we've
5 confined these ERCs to be from, to be from the
6 inner Bay Area region, meaning the part of the Bay
7 Area that is bounded roughly by San Francisco to
8 Oakland to Fremont to San Jose. And we believe
9 that that provides the applicant with enough
10 flexibility to shop around for emission reduction
11 credits.

12 The applicant did not identify a time
13 in the proceeding specifically in which emission
14 reduction credits would be supplied to comply with
15 AQ-SC8. So without that knowledge of which
16 specific ERCs are coming forward we felt compelled
17 to constrain the universe of ERCs to include those
18 communities that I just mentioned.

19 The second request from the applicant
20 is to adjust the interpollutant trading ratio for
21 which SO₂ ERCs can be traded to mitigate PM₁₀
22 impacts. And the applicant provides information
23 that says the Air District has in the past used a
24 regional average of three to one, meaning three
25 tons of SO₂ productions for every one ton of PM₁₀

1 increases.

2 Staff prepared in its analysis for this
3 case a reflection of the analysis that was
4 conducted for the Russell City Energy Center case
5 that indicates a higher ratio would be appropriate
6 for the sort of inner-Bay Area. Meaning this part
7 of the Bay Area that is west of the East Bay
8 Hills.

9 I think that the applicant's direct
10 testimony and the data that's viewed from this
11 perspective of what is interior to the Bay versus
12 what is exterior to the Bay, I think that all of
13 the parties including the applicant and myself
14 indicate that the higher ratio is appropriate for
15 sources and reductions occurring to the west side
16 of the hills.

17 The lower ratio that the Air District
18 has as sort of a policy of three to one is maybe
19 appropriate on a regional average. But for the
20 local effects of this project and for this project
21 in particular, and as decided by the Energy
22 Commission on the Russell City Energy Center case,
23 we continue to stand by the ratio of 5.3 to 1.

24 MS. HOLMES: Thank you.

25 Mr. Lusher, could you please briefly

1 describe the summaries contained in the Final
2 Determination of Compliance.

3 MR. LUSHER: Yes. Basically I had to
4 review whether proposed project would comply with
5 all the local air district rules and regulations
6 as well as state rules and regulations as well as
7 federal air quality rules and regulations. And I
8 determined that the proposed project is capable of
9 complying with all applicable air quality rules
10 and regulations.

11 MS. HOLMES: Thank you. These
12 witnesses are available for cross examination.

13 HEARING OFFICER GEFTER: Commissioner
14 Byron has a question.

15 PRESIDING COMMISSIONER BYRON: All
16 right. If I understood correctly from the
17 applicant, Mr. Birdsall, we did use on the Russell
18 City application the ratio of sulfur dioxide to
19 PM2.5 of 5.3 to 1; is that correct?

20 MR. BIRDSALL: The ratio of 5.3 to 1 is
21 a ratio that was determined appropriate for the
22 Russell City case.

23 PRESIDING COMMISSIONER BYRON: And the
24 reduced area, the geographic area. Was that also
25 the same in Russell City?

1 MR. BIRDSALL: I am not sure that
2 Russell City had a comparable -- I'm not sure that
3 Russell City had a comparable focus for the
4 emission reduction credits. That part of the
5 Russell City case I'm not familiar with. The
6 Russell City case, I think, and this is --

7 The Russell City case did have a
8 geographic restriction on fireplace retrofit
9 programs, which is the other component of AQ-SC8,
10 which isn't contested by the applicant here. And
11 the fireplace retrofit program is one that is also
12 geographically focused to the sort of western
13 Alameda County area.

14 PRESIDING COMMISSIONER BYRON: Is there
15 someone on staff that can answer this question?

16 MS. LUCKHARDT: I believe Mr. Darwin
17 may be able to answer that question for you.

18 MR. DARVIN: Actually, I worked on the
19 Russell City project. We were not constrained for
20 offsets except for the fireplace program was
21 identified. We actually had offsets that we were
22 providing on the project that sort of crossed the
23 entire region.

24 But on the Russell City case the
25 applicant, namely Calpine, did not contest the EC

1 findings that supported the 5 to 1, the 5.3 to 1.
2 However, in the analysis that was provided by
3 Calpine to the CEC the 3 to 1 ratio was proposed.

4 PRESIDING COMMISSIONER BYRON: Okay.
5 But with regard to the geographic area that was
6 not constrained.

7 MR. DARVIN: No.

8 PRESIDING COMMISSIONER BYRON: Okay.
9 Can the can the staff summarize for me the reason,
10 again, for the constrained geographical area.

11 MR. BIRDSALL: I think the reason for
12 the geographical constraints on the ERCs is really
13 coming from -- first of all there's a large local
14 interest, obviously, in this project and that the
15 reductions be local. But from a technical
16 perspective we at staff have been working with the
17 applicant over the course of the proceeding to
18 identify how the mitigation plan would occur and
19 how the mitigation plan would implement it.

20 And the applicant in this case, as
21 compared to Russell City, hasn't identified
22 specifically which ERCs must be surrendered. And
23 since the applicant hasn't identified what ERCs
24 from the bank of credits that's available, since
25 the specific ERCs have not been identified we

1 can't at staff analyze the effectiveness of those
2 credits. So this is why I felt compelled to
3 constrain the ERCs geographically.

4 And I understand that it may be
5 difficult and hard to find ERCs in this geographic
6 area. But at the same time the fireplace retrofit
7 program is an available mitigation halfway. And
8 that is an option to the applicant as well.

9 PRESIDING COMMISSIONER BYRON: Would
10 the applicant like to respond to that?

11 MR. WESTBROOK: Yes, I'd like to
12 respond on the analysis that was presented in the
13 Final Staff Assessment which referred to the
14 Russell decision.

15 Basically as described in my written
16 testimony, the analysis that was performed was a
17 modeling analysis on a very specific, sort of the
18 worst-case day and there were selective data
19 chosen to come up with a ratio. As I have said in
20 the testimony, there are a number of ways you can
21 do the analysis. But one thing that is very clear
22 is that very limited data was used to make a
23 decision for such a very important issue for this
24 project.

25 MS. LUCKHARDT: I think the

1 Commissioner had a question about the constraint
2 on offsets and the identification of the offsets.
3 And maybe Mr. Darwin can speak to the range of
4 areas from which the Russell City project offsets
5 came from.

6 MR. DARVIN: Well you're testing my
7 memory on that one. I believe some of the offsets
8 were coming from the foundry operations to the
9 north, the northeast part of the bay. I believe
10 there were also some offsets coming from the San
11 Francisco area along with some offsets provided
12 locally.

13 PRESIDING COMMISSIONER BYRON: Okay,
14 thank you.

15 HEARING OFFICER GEFTER: I have
16 questions for Mr. Birdsall. Number one, with
17 regard to AQ-SC8. When staff fashions a condition
18 such as this in addition to the FDOC conditions
19 which are incorporated into your FSA, my
20 understanding is that this is to deal with the
21 CEQA effects of the project and trying to mitigate
22 CEQA impacts, is that correct?

23 MR. BIRDSALL: Yes, that's correct.

24 HEARING OFFICER GEFTER: Okay. So when
25 staff proposes a 5.3 to 1 ratio you're looking at

1 a way to mitigate the cumulative impacts of this
2 project for particulate matter, right?

3 MR. BIRDSALL: That's correct.

4 HEARING OFFICER GEFTER: And that's a
5 CEQA issue?

6 MR. BIRDSALL: This is the
7 recommendation for arriving at the CEQA conclusion
8 that the impacts would be reduced to a level of
9 insignificance.

10 HEARING OFFICER GEFTER: Right. And
11 the Air District does not include a CEQA analysis
12 when they issue the FDOC; is that right?

13 MR. BIRDSALL: None.

14 HEARING OFFICER GEFTER: Okay. So
15 where staff is calculating 5.3 to 1 that's a staff
16 calculation and your calculations are included in
17 AQ Appendix 1; is that right?

18 MR. BIRDSALL: That's true.

19 HEARING OFFICER GEFTER: And you came
20 up with this ratio to try to deal with the
21 cumulative impacts regarding the particulate
22 matter.

23 MR. BIRDSALL: Well right, the ratio is
24 to deal with this CEQA cumulative impact.

25 HEARING OFFICER GEFTER: Would you say

1 that the Bay Area's 3.0 to 1 ratio is not
2 particularly relevant to your CEQA analysis?

3 MR. BIRDSALL: The ratio is one that is
4 not, to my knowledge, adopted by rule by the Air
5 District, although it has been used in precedent
6 and the applicant has provided a lot of
7 information on why that ratio would be preferred.
8 But it's a region-wide kind of a ratio in that the
9 chemistry of the interior of the Bay Area warrants
10 use of the higher ratios.

11 HEARING OFFICER GEFTER: And the
12 emissions of PM, particulate matter, in the Bay
13 Area by power plants, is that connected with the
14 ammonia emissions, the ammonia slip ratio that the
15 Air District imposes on the particular projects
16 for their SCR?

17 MR. BIRDSALL: Indirectly. The ammonia
18 slip limitation does help to reduce the ammonium
19 sulfates, which are secondary particulates.

20 HEARING OFFICER GEFTER: And in this
21 project ammonia slip is limited to ten PPM?

22 MR. BIRDSALL: That's right, that's an
23 Air District limitation.

24 HEARING OFFICER GEFTER: All right. Is
25 that because it is a peaker project or is that

1 just because it's the Air District's limit?

2 MR. BIRDSALL: It depends on the
3 technology, the internal combustion engines and
4 the selective catalytic reduction. It does not,
5 it would not be affected by whether the project
6 was a peaker or baseload.

7 HEARING OFFICER GEFTER: And also the
8 Air District has actually in another project
9 agreed to a lower ammonia slip of five PPMs in
10 eastern Alameda County, the Tesla Project.

11 MR. BIRDSALL: Well, in the Tesla
12 Project we used a different technology, the
13 combined-cycle combustion turbines. That's why I
14 say that limit depends on the technology.

15 HEARING OFFICER GEFTER: Okay. So
16 because this is a peaker you're saying that -- And
17 the technology being used here at ten PPM ammonia
18 slip is reasonable in your opinion?

19 MR. BIRDSALL: Yes. The internal
20 combustion engines being the basic technology of
21 the power plant warrants use of the higher ammonia
22 slip limit.

23 HEARING OFFICER GEFTER: But because of
24 the higher ammonia slip limit you have a higher
25 PM10 effect and there is a connection there. Is

1 that?

2 MR. BIRDSALL: Well, I think that that
3 is would be subject to some debate and certainly
4 some analysis.

5 HEARING OFFICER GEFTER: Okay.

6 MR. BIRDSALL: The staff approach to
7 ammonia, however, is to reduce the ammonia slip to
8 the level that is technologically feasible. And
9 for the internal combustion engines it has been
10 settled with the air district and staff that the
11 ten PPM is the lowest achievable.

12 HEARING OFFICER GEFTER: Okay, thank
13 you. And then with respect to the ERCs. You
14 stated that the applicant has not identified their
15 ERCs to be submitted. Now would that be only with
16 respect to AQ-SC8 or is that with respect to the
17 FDOC?

18 MR. BIRDSALL: That is only with
19 respect to AQ-SC8. With respect to the FDOC the
20 emission reduction credits are identified and
21 that's reflected in AQ-SC6, where there's a list.

22 HEARING OFFICER GEFTER: Okay. And
23 there is a table, I think it is table AQ-18, which
24 lists a number of offsets. Is that the one that
25 you're referring to?

1 MR. BIRDSALL: Probably Table 18. It
2 is also, yes, reflected in --

3 HEARING OFFICER GEFTER: In AQ-6.

4 MR. BIRDSALL: In condition AQ-SC6,
5 yes.

6 HEARING OFFICER GEFTER: Yes, okay.
7 But that's with respect to the FDOC.

8 MR. BIRDSALL: Yes.

9 HEARING OFFICER GEFTER: And not with
10 respect to your CEQA mitigation.

11 MR. BIRDSALL: Yes, that's with respect
12 to the LORS compliance and the Final Determination
13 of Compliance.

14 HEARING OFFICER GEFTER: Thank you.
15 The other issue that apparently the applicant is
16 concerned about is that the retrofit, the
17 fireplace retrofit timing, whereas the staff's
18 proposed condition requires the retrofits to be
19 actually accomplished before commissioning of the
20 power plant. And apparently the applicant is
21 proposing a different time schedule, as I
22 understand it. Is that what the difference is in
23 terms of your proposal and their proposal?

24 MR. BIRDSALL: My understanding at this
25 time is that the timing of the fireplace retrofit

1 program is not being debated. The applicant had
2 some recommendations at the time of the public
3 comment period on our Preliminary Staff Assessment
4 and we incorporated a sequence for the fireplace
5 program to be rolled out. I haven't heard a
6 debate on that issue today.

7 HEARING OFFICER GEFTER: All right.

8 And what is your opinion on the efficacy of this
9 program, the fireplace insert program? Because
10 the Russell City project is also incorporating
11 that same sort of CEQA mitigation plan and I am
12 curious as to whether this has ever been attempted
13 in this particular air district and whether there
14 is any information on whether it is effective.

15 MR. BIRDSALL: Well, programs like this
16 have been attempted elsewhere in the District, the
17 South Bay in Santa Clara County. At least that,
18 to my knowledge, has been a mitigation strategy.

19 The efficacy of this program I think is
20 yes, one that could be subject to debate. But the
21 mitigation measure in a way corrects for any
22 potential, any potential weakness that way. The
23 mitigation measure seeks a certain quantity of
24 emissions be reduced and the emission reductions
25 per fireplace unit have been, have been researched

1 to some extent and documented.

2 And it is shown in the staff assessment
3 that fireplaces are a very substantial source of
4 particulate matter, especially on episode days
5 when particulate matter concentrations get high.
6 This is a local source that when reduced in the
7 City of Hayward and other western Alameda County
8 communities will, I think, directly and positively
9 reduce particulate matter in this part of the Bay
10 Area.

11 The Air District is pursuing wood stove
12 regulations and fireplace regulations in the
13 future for new fireplace installations. So that,
14 to me, indicates that this is a serious source
15 that requires some kind of control. In the
16 current condition without, without staff's
17 condition on the fireplace retrofit program these
18 fireplaces might otherwise just continue to
19 operate unregulated.

20 HEARING OFFICER GEFTER: Well with
21 respect to that, at page 4.1-26 of the FSA there
22 is a statement where you say staff has general
23 concerns with the ability of retrofit programs to
24 produce real and quantifiable reductions. So then
25 you fashioned AQ-SC8 to address that concern. Is

1 that what you're proposing?

2 MR. BIRDSALL: That's right. AQ-SC8
3 has the ultimate target of particulate matter
4 reductions and that's the 20.4. My reservation
5 with the fireplace program is also reflected in
6 the option that I provide the applicant to offset
7 the power plant's emissions with the form of
8 emission reduction credits and certificates. So
9 there were two strategies here.

10 HEARING OFFICER GEFTER: And at page
11 4.1-32 the FSA states that Eastshore will result
12 in cumulatively considerable impacts on existing
13 violations for PM10 and ozone precursors. It's a
14 pretty strong statement that you have in this
15 particular FSA. The condition that we have been
16 discussing, is that the only condition that you're
17 proposing to deal with those cumulative impacts?

18 MR. BIRDSALL: That is essentially the
19 keystone condition. It is not the only condition
20 that influences the conclusions but it is the
21 keystone condition. And this is why I feel
22 strongly that the language for retaining the local
23 focus of this measure be retained.

24 HEARING OFFICER GEFTER: Okay. And is
25 the Air District aware of other sources for ERCs

1 in the East Bay and the local area other than the
2 banked ERCs?

3 MR. BATEMAN: Our emissions reductions
4 bank does include deposits from other facilities
5 in the East Bay.

6 HEARING OFFICER GEFTER: And they can
7 be identified to the applicant?

8 MR. BATEMAN: Yes.

9 MS. SCHULKIND: Ms. Gefter, could I
10 raise an issue briefly? I didn't want to
11 interrupt your questioning but on behalf of the
12 Chabot intervenors. As you know, we represent a
13 constituency that has been --

14 HEARING OFFICER GEFTER: We don't need
15 to hear that right now. Commissioner Byron is
16 going to speak, then I'm going to ask for cross
17 examination. So then it will be your turn.

18 MS. SCHULKIND: I have a request
19 regarding how the examination is conducted. That
20 either we create a record that avoids the use of
21 acronyms so it is readily understandable to the
22 lay-public or suggest that you direct that the
23 transcript include a glossary of acronyms so that
24 lay-people will be able to understand this
25 proceeding.

1 HEARING OFFICER GEFTER: There is a
2 glossary at the end of the FSA, isn't there? Is
3 there something in the FSA?

4 MS. SCHULKIND: With all the terms, for
5 all of the initials that are being used in the
6 questioning. Could we please include that in the
7 transcript, then?

8 HEARING OFFICER GEFTER: It is in the
9 FSA, which is part of the record.

10 Okay, let's move on. Commissioner
11 Byron.

12 MS. SCHULKIND: I'm requesting that the
13 transcript that the public may download off of the
14 site readily have within a list of acronyms so
15 they can understand the transcript.

16 HEARING OFFICER GEFTER: We'll talk
17 about it later. Okay, we'll talk about that
18 later. Let's move on.

19 MS. SCHULKIND: Well --

20 HEARING OFFICER GEFTER: No, we're not
21 taking any more questions. Commissioner Byron --

22 MS. HARGLEROAD: Just for --

23 HEARING OFFICER GEFTER: We're not
24 taking any more questions.

25 MS. HARGLEROAD: Can we say some of the

1 words rather than the acronyms.

2 HEARING OFFICER GEFTER: No.

3 Commissioner Byron, please.

4 PRESIDING COMMISSIONER BYRON: Could
5 the applicant care to indicate in the first place
6 why we are making the exchange for the -- why you
7 are not providing direct PM10 mitigation.

8 MR. WESTBROOK: In the district bank
9 that was described there are a limited supply of
10 certificates for credits for PM10. And the
11 problem one faces, you can try to get PM10
12 credits, they may not be available. What that
13 means is that either they are not going to be
14 local credits as asked for or it could mean that
15 whoever has these is not going to sell because
16 they're holding them for future expansion or for
17 other reasons.

18 So you can go to those people and say,
19 can you sell me credits, and they may not be able
20 to. That's why I talk about a good faith effort
21 of trying to get those sales to happen. What
22 should we do?

23 If you can't get PM10 credits anywhere
24 in the Bay Area there is a provision, it's in the
25 District rules, for a case-by-case transfer of SO2

1 for PM10. And case-by-case in terms of the ratio
2 we talked about.

3 PRESIDING COMMISSIONER BYRON: Right.

4 MR. WESTBROOK: The ratio of three to
5 one. So you can after that SO2. And it may be
6 that you can get SO2 instead of PM10. And because
7 SO2 in the atmosphere converts to PM10 that is
8 acceptable.

9 PRESIDING COMMISSIONER BYRON: Okay.

10 Mr. Bateman and Mr. Lusher, can you
11 tell me, are PM10 credits available?

12 MR. LUSHER: There is a very limited
13 amount of PM10 emissions reduction credits in our
14 bank. Most of the credits are gaseous pollutants,
15 primarily NOx and precursor organic compounds.

16 PRESIDING COMMISSIONER BYRON: Thank
17 you.

18 HEARING OFFICER GEFTER: Okay. I just
19 wanted to -- I apologize for getting angry with
20 Ms. Hargleroad for jumping in but this is a formal
21 hearing, this is not an informal workshop, and
22 everyone will have their turn.

23 With respect to your request for
24 acronyms, the FSA is Exhibit 200. At page 4.1-64
25 of the FSA is a list of acronyms. If people want

1 to look for that they can read the reference in
2 the transcript because I just listed it for you
3 and you can go to that page.

4 You have something, Mr. Birdsall?

5 MS. SCHULKIND: Ms. Gefter.

6 HEARING OFFICER GEFTER: And now we're
7 going to move on.

8 MS. SCHULKIND: I respectfully
9 understand the point that you are making. The
10 experience that I am hearing from our constituent
11 is that it is difficult to navigate the FSA on the
12 web site. I believe that one of the principles of
13 environmental justice is easy access to the
14 system.

15 I simply made a request that people
16 either refrain from using acronyms or that the
17 actual list of acronyms with what they represent
18 is readily available within the transcript itself
19 at the back so that people don't have to sift
20 through the transcript, find a reference to an
21 exhibit, figure out how to find the exhibit. It
22 is a simple request. I am simply asking that we
23 make --

24 HEARING OFFICER GEFTER: We'll put it
25 up on the web page.

1 MS. SCHULKIND: Thank you very much.

2 HEARING OFFICER GEFTER: Okay, now the
3 next thing that we are going to do is allow for
4 cross examination, one party at a time, and it
5 will be your turn next. But first we're going to
6 ask Chabot if you have any cross examination for
7 the air quality witnesses.

8 MS. SCHULKIND: No we don't, thank you.

9 HEARING OFFICER GEFTER: Okay,
10 Ms. Hargleroad.

11 MS. HARGLEROAD: Yes. And I was
12 initially attempting simply to agree with Chabot
13 that it would be helpful, I think, to everybody if
14 we could just say what the acronym is. Emission
15 reduction credit, that's all.

16 I do have a few questions.

17 MS. LUCKHARDT: Just before you start,
18 I have a question. If you want to do all of air
19 quality should we take Mr. Sarvey's testimony and
20 Alameda County's testimony before we start cross,
21 since they both have air quality witnesses?

22 HEARING OFFICER GEFTER: No, we're
23 going to just go with your cross because their
24 issues are different. Okay, so you may cross the
25 staff and applicant's witnesses.

1 MS. HARGLEROAD: Okay, thank you.

2 CROSS EXAMINATION

3 BY MS. HARGLEROAD:

4 Q Mr. Birdsall, are you familiar with the
5 California Environmental Protection Agency Air
6 Resource Board guidance for power plant siting and
7 best available control technology guidelines?

8 A Yes, I think that that was used as not
9 a reference in the Final Staff Assessment but it
10 was a reference that we at the Energy Commission
11 sometimes use when reviewing determination of
12 compliance from the air districts.

13 Q Okay. And also just as an initial
14 housekeeping question too. If you could clarify
15 again for me, I'm sorry, the correction you were
16 talking about, bullet point number two. It was on
17 4.1-1 I believe, under summary of conclusions; is
18 that correct?

19 A That's right, on page 4.1-1.

20 Q Right. And you suggested that you
21 wanted to strike bullet number two.

22 A Right.

23 Q And the basis of striking that was,
24 what was that again?

25 A Well, at the time of the Preliminary

1 Staff Assessment we had a different tack to
2 addressing the ozone issues related to the
3 project. At the time of the Final Staff
4 Assessment the conclusion had been made that with
5 compliance with the local Air District new source
6 review program, that's NSR, that the ozone impacts
7 generated by the project, and it's a secondary
8 impact because the facility emits precursor
9 pollutants, those impacts would be fully mitigated
10 through compliance with the new source review
11 requirements. Which means that offsets are
12 surrendered into the Air District's -- they're
13 removed from the Air District's bank rather, then
14 the facility is allowed to emit the precursor, the
15 precursor pollutants after the offsets are
16 surrendered.

17 Q Okay. So your suggestion is now that
18 that be struck and that no additional local or
19 upwind emission reduction credits should be
20 surrendered?

21 A The recommendations that no additional
22 emission reduction credits be surrendered for
23 ozone, which would involve nitrogen oxides or
24 particulate -- sorry, excuse me -- nitrogen oxides
25 or precursor organic compounds. Now that's a

1 separate impact than the impact related to
2 particulate matter where we do continue to request
3 ERCs, emission reduction credits.

4 Q Okay. You mentioned that you are
5 somewhat familiar with the guidance for power
6 plant siting and best available control technology
7 guidelines.

8 A Yes.

9 Q And that that's a reference material
10 referred to in the staff report.

11 A It is not a citation and it is not a
12 reference in the Final Staff Assessment but I
13 believe you are referring to a document that
14 perhaps we used in one of our comment letters to
15 the local Air District in the earlier part of the
16 proceeding.

17 Q Okay. But you do not rely on that
18 document in support of your Final Staff
19 Assessment?

20 A What I am saying is that I didn't list
21 it as a reference in the Final Staff Assessment.

22 Q Okay.

23 A But I am familiar with the document.

24 Q Okay. Because one of the points made
25 in those guidelines at page 38, which is a fairly

1 standard statement I think that we have all been
2 talking about is, emission offsets must be real,
3 quantifiable, surplus, permanent and enforceable.

4 MS. HOLMES: Excuse me, Ms. Gefter. If
5 there is going to be cross-examination of this
6 witness with another document I would request that
7 the attorney for group petitioners provide a copy
8 of that document to Mr. Birdsall.

9 HEARING OFFICER GEFTER: That's fine.
10 What the attorney is citing to is just common Air
11 District language. So, you know, basically she is
12 saying that maybe he is not familiar with that.
13 Obviously he is familiar with this.

14 MS. HOLMES: No, I think that staff is
15 clearly familiar with that document. But I
16 believe that it is only fair if counsel is going
17 to be crossing the witness with an exhibit that a
18 copy be provided, a copy of that exhibit be
19 provided to the witness.

20 HEARING OFFICER GEFTER: And you're
21 absolutely right, Ms. Holmes, in a formal setting
22 we would do that. But at this point Mr. Birdsall
23 knows the document and he is familiar with the
24 issues that she is raising. If you could bring a
25 copy up to him to look at.

1 MS. HARGLEROAD: Sure. I am mainly
2 focusing in on that sentence at this point in time
3 because we have referred to those terms before,
4 which are real and verifiable.

5 BY MS. HARGLEROAD:

6 Q How do you verify the fireplace
7 retrofit program?

8 A Well the fireplace retrofit program is
9 a program that would be administered with the
10 district's assistance and it is not something that
11 occurs on an ad hoc basis. But the point is that
12 with enough fireplace retrofits a certain average
13 reduction per fireplace would be achieved.

14 The information that has been provided
15 in this case in the applicant's request for a PM10
16 mitigation plan back in May and in our staff
17 assessment indicates that there is a sufficient
18 inventory of fireplaces and fireplace emissions
19 that's available to be reduced. Now it's true on
20 a unit-by-unit basis there may be some variation.
21 But I think that on average the program is a
22 program that would be effective and would achieve
23 real reductions.

24 Q Do you have a presumption or assumption
25 as to how many fireplaces are being used or how

1 much wood is being burned in the East Bay to come
2 up with this?

3 A There have been -- In the applicant's
4 proposal for this program there is some background
5 information on, yes, how much wood is typically
6 used.

7 Q So you're relying on -- Do you know
8 from where the applicant attained this
9 information?

10 HEARING OFFICER GEFTER: You can ask
11 the applicant that question.

12 MS. HARGLEROAD: Well I'm simply asking
13 the staff because staff is relying on it and I
14 would presume that staff may have investigated
15 that.

16 HEARING OFFICER GEFTER: Don't presume,
17 just ask the question. If you have a question ask
18 the applicant the question.

19 MS. HARGLEROAD: Well that's what I was
20 asking and you -- Okay.

21 BY MS. HARGLEROAD:

22 Q Because we're trying to understand if
23 you are recommending this adoption the basis for
24 how much wood is being burned. Because I would
25 presume that you got a number that you're

1 presuming people are burning a certain amount of
2 wood.

3 A That's true, we are, and that would be
4 on an average basis. The rates for this that you
5 are looking for are part of the, part of the
6 proceeding, part of the docket, and came to us as
7 staff. I reviewed them. The rates seemed
8 reasonable and they were coming from US EPA
9 guideline documents. This is why I have a level
10 of confidence that the measure would result in
11 effective reductions as well as real reductions.

12 Q When you say US EPA guidelines is that
13 applying a national standard or a state standard
14 or an area. Because as we know we all have
15 microclimates. The Bay Area is known for its
16 microclimates.

17 THE REPORTER: Excuse me, could I get
18 you to hold it closer. I'm really not getting
19 you. Closer to your mouth, the mic.

20 MS. HARGLEROAD: Sure.

21 THE REPORTER: Thank you.

22 MS. HOLMES: Could you repeat the
23 question, please.

24 BY MS. HARGLEROAD:

25 Q You say that you relied on US EPA

1 guidelines. And are those guidelines based on a
2 national standard or a state standard assumption?

3 A At this moment I am reading through the
4 response to the data request that provided the
5 information for this plan and there is a
6 combination of data points, one is population data
7 from Alameda County, one is wood consumption data.
8 I can't say if that is an annual average on the
9 nationwide average. I don't have that citation in
10 front of me. But the population and inventory
11 they have are from this part of Alameda County.

12 HEARING OFFICER GEFTER: I have a
13 question. Ms. Luckhardt, this is a data response
14 that Mr. Birdsall is looking at. Do you have an
15 exhibit number on that?

16 MR. BIRDSALL: I don't know which
17 exhibit this would be. We're talking about --

18 HEARING OFFICER GEFTER: Well it would
19 be an exhibit that the applicant has probably
20 submitted.

21 MR. BIRDSALL: Shall I identify it
22 informally? This is a --

23 HEARING OFFICER GEFTER: No. Let's
24 just get the exhibit number.

25 MS. HARGLEROAD: Ms. Gefter, we're

1 perfectly willing to have that information
2 provided later if that's more convenient.

3 HEARING OFFICER GEFTER: Right. But I
4 want it in the transcript so that when we're
5 looking at the record we can see which document
6 you're referring to.

7 MS. HARGLEROAD: Just because we have a
8 voluminous record and I certainly appreciate that.

9 HEARING OFFICER GEFTER: Okay, you can
10 ask your next question while the applicant
11 identifies this document for us.

12 MS. HOLMES: Hearing Officer Gefter, we
13 believe it's Exhibit 12 but we would appreciate
14 confirmation from the applicant.

15 MS. LUCKHARDT: We're looking right
16 here. Yes, I do believe it is Exhibit 12.

17 HEARING OFFICER GEFTER: Okay, why
18 don't you ask your next question and they'll
19 confirm that.

20 MS. HARGLEROAD: Are you -- Have you
21 heard or do you understand from the Air District,
22 the local Air District here, are they seeking to
23 regulate fireplace and wood stove usage presently?
24 Is there a present proposal?

25 HEARING OFFICER GEFTER: You can ask

1 the Air District that question, they're right
2 here. You can answer the question.

3 MR. BATEMAN: Yes, the Air District has
4 proposed a rule that would limit emissions from
5 wood-burning appliances like fireplaces. That
6 rule has not been adopted yet and most likely will
7 not be brought to our Board of Directors for
8 adoption until late 2008, mid to late 2008.

9 HEARING OFFICER GEFTER: It's a public
10 proposal on your web page?

11 MR. BATEMAN: That's correct.

12 HEARING OFFICER GEFTER: Thank you.

13 BY MS. HARGLEROAD:

14 Q Mr. Birdsall, if the air district does
15 decide to regulate fireplace and wood stove usage
16 are not the emission reduction credits generated
17 from the fireplace retrofit program, aren't they
18 really surplus?

19 A That's a good question. And I think
20 that if the Air District passes a rule, which as
21 Mr. Bateman has said would be a year away, the
22 rule would have to go backwards to require
23 retrofits of existing fireplaces. I am not
24 certain that that rule addresses existing
25 fireplaces, or the proposed rule rather, would

1 address existing fireplaces.

2 But the emissions from the existing
3 fireplaces, if they are not subject to a backward-
4 looking regulation, then they would continue to be
5 surplus reductions. The regulations usually
6 require a certain kind of operational change or
7 limits on new installations. So I think that it
8 would be hard to say exactly what part of the
9 universe of fireplaces is surplus until the
10 regulation is final.

11 So our condition is to accelerate these
12 reductions and to get ahead of the Air District
13 rule and to get the existing fireplaces. Not so
14 much new fireplaces.

15 Q Okay. Well how does one verify, and I
16 go back to perhaps Exhibit 12 of the applicant's
17 data concerning the usage, of fireplace usage.
18 There's a certain presumption we have generally in
19 the San Francisco Bay Area a very mild climate
20 compared to other areas of the country as we know
21 are presently experiencing severe ice. Other
22 parts of the country may burn more wood; is that
23 correct? Other parts of the country may burn more
24 wood than we do here?

25 MS. LUCKHARDT: Objection. Is the

1 attorney testifying at this point?

2 HEARING OFFICER GEFTER: If you could
3 just ask the question directly that would be
4 helpful.

5 MS. HARGLEROAD: We are on cross,
6 though.

7 BY MS. HARGLEROAD:

8 Q So given -- The data you relied on, do
9 you know whether or not the assumption on how much
10 wood is being burned, does that apply to the
11 climate of the San Francisco Bay Area?

12 A I think that the assumptions used in
13 the fireplace retrofit program are good on an
14 average basis and would be, yes, appropriate for
15 this area.

16 Q And why is that?

17 A Because like you say, there is a
18 certain amount of variability. But on the other
19 hand of things, this program is not meant to just
20 isolate one or two fireplaces, it is going for an
21 area average. And the Air District does have,
22 like I say, some experience with implementing
23 these programs before.

24 Q Also I asked the question going to, how
25 do you verify the fireplace retrofit program?

1 Because what if you have people converting
2 existing fireplaces but they have low usage? Yet
3 isn't the applicant getting a PM2.5 credit for a
4 fireplace retrofit when in fact no wood is being
5 burned?

6 A I think what you're asking about is the
7 actual roll-out and implementation of the program
8 and I don't have personal, firsthand experience
9 with how the Air District takes the, takes the
10 application from a homeowner, for example, and
11 then provides the funding to the homeowner. But
12 when a homeowner would apply to the Air District
13 for a subsidy to replace an existing fireplace
14 there is a certain amount of information that has
15 to come from the homeowner to the Air District.

16 From our perspective, with the
17 implementation of the program being conducted by
18 the Air Quality Resources Agency of the region
19 that there is a certain amount of faith that I
20 give to that agency to ensure that the homeowners
21 are supplying true and correct information when
22 they apply for a subsidy under the retrofit
23 program.

24 Q Well this goes back to the assumption
25 of how much, establishing how much wood is

1 presently being burned. And if we are relying on
2 a national study where the weather differs then
3 the presumption may be high. That we're presuming
4 more wood is being burned than is actually being
5 burned; is that correct?

6 A I think what you are contesting is
7 whether or not the process rates in this table are
8 accurate. And I think that they are accurate and
9 useful for this study and for the use in our
10 mitigation measure.

11 Q Well I go to quantifiable and I go back
12 to the sentence I was quoting on guidance for
13 power plant siting and best available control
14 technology. At the very next sentence is,
15 quantifiable means that the amount of emission
16 reduction can be determined with reasonable
17 certainty.

18 MS. HOLMES: Is there a question?

19 MS. HARGLEROAD: Well, we have been
20 talking about the data which Mr. Birdsall has been
21 relying to come up or to make that recommendation
22 on the fireplace retrofit. So that's my question.
23 How is the -- How is this quantifiable if you
24 again had a situation where a low usage fireplace
25 is being retrofitted and receiving a PM2.5 credit?

1 MS. HOLMES: I am going to object,
2 asked and answered. We have been over this
3 already.

4 HEARING OFFICER GEFTER: And I would
5 sustain the objection. If you have another line
6 of questioning let's do that because we need to
7 move along.

8 MS. HARGLEROAD: Sure. Not at this
9 time, thank you.

10 HEARING OFFICER GEFTER: Thank you.
11 Alameda County, do you have cross examination of
12 the applicant's and staff's witnesses on air
13 quality?

14 MR. MASSEY: Yes I do. Okay, let me
15 begin with Mr. Birdsall.

16 CROSS EXAMINATION

17 BY MR. MASSEY:

18 Q I am Andrew Massey with Alameda County,
19 thanks for being here.

20 I wanted to start on the topic of the
21 interpollutant trading of SO2 for PM10. Are you
22 aware that EPA has expressed strong reservations
23 about the use of interpollutant trading?

24 MS. HOLMES: Excuse me, that sort of
25 assumes facts not in evidence. Could we have --

1 Again, can we have the cross document if there is
2 going to be cross examination on a document that
3 is being --

4 HEARING OFFICER GEFTER: What is the
5 basis of your question? Where did you get that
6 information? Do you have a document from EPA or
7 do you have some sort of, something in the record?

8 MR. MASSEY: It was a series of Federal
9 Register filings by the EPA. But for the sake of
10 expediency I will withdraw the question.

11 It is my understanding that sulfur
12 dioxide is a secondary pollutant, whereas PM10 is
13 a primary pollutant.

14 HEARING OFFICER GEFTER: With respect
15 to what?

16 MR. MASSEY: Let me rephrase.

17 BY MR. MASSEY:

18 Q It is my understanding that SO2 when
19 emitted over time converts to PM10, correct?

20 A The power plant emits sulfur oxides and
21 some quantity of sulfur oxides may react in the
22 atmosphere to create a secondary downwind
23 particulate matter, yes.

24 Q Now that's a process that happens over
25 time, it is not immediately upon emission.

1 A That's true.

2 Q So the conversion to PM10 may take
3 place in a geographically distant location from
4 the power plant, correct

5 A Yes.

6 Q How far away are we talking about in
7 terms of that conversion? What sort of distances
8 do we see before we have a full conversion to
9 PM10?

10 A Well I think what you're getting at is
11 that as the precursor pollutants to PM10 such as
12 sulfur oxides are emitted from the power plant
13 they'll go downwind, they will mix with the
14 ambient air, they'll mix with other, the other
15 constituents including ambient ammonia and create
16 a particle at some point downwind. Now this could
17 be, this could be within the first hour, it could
18 be within three hours or a day.

19 I think the -- I'm not quite sure what
20 the concern is but the point of our mitigation
21 measure is to provide emission reductions that are
22 equal in quantity to the power plant's potential
23 emissions. And with providing those emission
24 reductions we essentially balance out the
25 increases that will be caused by the project so

1 that the net effect downwind of particulate matter
2 formation would be essentially zero.

3 Q But do you know the exact rate of
4 conversion of the sulfur oxides into the PM10?
5 And to give you a little background to my
6 question. What I am trying to explore is whether
7 PM10, the SO2 for PM10 interpollutant trading, is
8 really going to have a significant improvement to
9 the air quality here in Hayward when the Eastshore
10 plant is constructed, if.

11 A Well I think what you're getting at is
12 do I have faith in the interpollutant trading and
13 the ratio that we are recommending. And I do.
14 Interpollutant trading, especially for a compound
15 such as sulfur oxides, is a useful way and is an
16 effective way of reducing particulate matter.

17 If you take away the sulfur component
18 of the emissions or if you essentially offset the
19 sulfur emissions from other sources you have fewer
20 molecules of the sulfur oxides and the sulfates to
21 attach on to the ammonia and the moisture and
22 everything else to cut down on the particles.

23 So I have faith that the interpollutant
24 trading is a, is an acceptable way of reducing
25 ambient particulate matter and that the ratio that

1 we are proposing, which is the 5.3 to 1, is a
2 conservative and protective ratio. Especially
3 when there is information from the applicant
4 supporting use of a lower ratio.

5 Q But in terms of mitigation it would be
6 better, I assume, to get direct PM10 emission
7 reduction credits rather than the sulfur oxide
8 ones.

9 A I am not in a position to pick or
10 choose direct PM10 reductions versus the precursor
11 because if you are out there today sampling
12 particulate matter you get all of the above. You
13 get direct particulate matter that was directly
14 emitted, you get a number of the reactive
15 pollutants as well that are aerosols that are
16 coming from sources of sulfur and sources of
17 nitrogen oxides that react to form aerosol
18 particulate matter.

19 So the particulate matter problem is
20 much bigger than just direct particulate matter
21 emissions. So to deal with that problem, allowing
22 reductions to precursors like sulfur oxides, is
23 useful as long as it is done in an appropriate
24 ratio.

25 Q But if the sulfur dioxides are

1 converting to PM10 downwind then you're ending up
2 when you're doing the trade for sulfur dioxides to
3 PM10, the conversion to PM10 on the sulfur
4 dioxides happens somewhere else whereas the direct
5 emission of the PM10 from the Eastshore facility
6 would occur here in Hayward. Is that a correct
7 statement of the effect?

8 A Are you saying that I should value -- I
9 suppose I should not be asking questions here in
10 this position.

11 What I think you're getting at is that
12 SO2 reductions locally don't have so much of a
13 value. But what they do provide is the downwind
14 improvement in particulate concentrations. I
15 think that what we're trying to do here is to
16 create a mitigation scheme that addresses the
17 local and regional effects of the power plant.

18 I mean, we can't just say that Hayward
19 is the only community that experiences the impact
20 of a relatively large, natural gas-fired power
21 plant. The mitigation needs to be local and it
22 does provide regional benefit.

23 Q But in this case the conversion from
24 sulfur -- I'm sorry, the trading between sulfur
25 dioxide and PM10 will necessarily be to the

1 benefit of other regions more than to Hayward than
2 if you were requiring direct PM10 emission
3 reduction credits instead.

4 A I think that's hard to say because we
5 don't have information from the applicant on where
6 the sulfur oxide credits might come from. If they
7 are for example coming from a source that was shut
8 down in San Francisco then Hayward does benefit.
9 And that is the kind of reduction that my measure
10 AQ-SC8 requires.

11 Q How strong is the science on the
12 interpollutant trading? Is that something that in
13 your review when you were looking at the wisdom of
14 doing interpollutant trading, is that something
15 that is firmly established in the science or is
16 the science still out on interpollutant trading?

17 A I think it is firmly established. The
18 question is always the case-by-case nature of it.
19 It does depend on the local meteorology, it
20 depends on the local emission inventory. Sort of
21 whether or not the area emits more of some things
22 versus another. So it's very complicated.

23 But the Air District has in its adopted
24 state implementation plan for ozone, for example,
25 an interpollutant trading ratio for ozone

1 precursors. So there are ways to arrive at an
2 appropriate ratio and these kinds of programs are
3 approved by EPA. The sulfur oxides to particulate
4 matter trade is a ratio that is normally
5 determined on sort of a case-by-case analysis,
6 which is what we're struggling with here today.

7 Q Thank you. I --

8 PRESIDING COMMISSIONER BYRON:

9 Mr. Massey, if I may. I believe it is also
10 dependant upon the reactivity of the sulfur
11 dioxide, correct?

12 MR. BIRDSALL: That's true. The sulfur
13 dioxide and the sulfates that are emitted are
14 reactive as well as the other precursors are
15 reactive. So the particulate matter issue in the
16 ambient air is a mix of all of these issues, not
17 just particulate matter.

18 PRESIDING COMMISSIONER BYRON: Okay. I
19 was just trying to help Mr. Massey here. If there
20 was anything you could add with regard to the
21 reactivity. For instance, the half-life of the
22 sulfur oxide, so that we do indeed know that they
23 -- Forgive me, I may say the wrong word,
24 transform.

25 MR. BIRDSALL: That's true. The sulfur

1 oxides have a certain kind of reactivity and they
2 will react with the moisture in the air, they will
3 react with any ambient ammonia from natural
4 sources or from motor vehicle exhaust or these
5 other kinds of precursors. So it's a complicated
6 basket.

7 MR. MASSEY: Thank you, I appreciate
8 those follow-up questions.

9 BY MR. MASSEY:

10 Q I also had some questions on the
11 fireplace retrofit program and I don't want to
12 duplicate what Ms. Hargleroad asked. I did want
13 to explore that it is my understanding that the
14 program will be both voluntary and will provide
15 only a partial credit for the retrofit of an
16 individual homeowner's fireplace. Is that
17 correct?

18 A Well the program is made available to
19 homeowners and then it is up to homeowners to
20 participate or not participate. And if there
21 isn't a successful uptake or if there aren't
22 enough homeowners coming out of the City of
23 Hayward interested in the program then the program
24 in AQ-SC8 allows it to be expanded to other
25 western Alameda County communities. But it is not

1 -- You're right, it is a voluntary program.

2 Q And the second part of that, it is only
3 a partial credit in terms of the homeowner doing
4 the retrofit, it is not fully funded per person.

5 A Yes, yes, that's my understanding. As
6 I said, it is a financial incentive or a subsidy
7 of the upgrade.

8 Q Have you conducted any studies in your
9 view whether homeowners in the vicinity of the
10 Eastshore plant are in a financial position to
11 actually pay for the difference between whatever
12 credit they would get towards the retrofit and the
13 full cost of retrofitting their fireplace?

14 A I have not.

15 Q Wouldn't common sense dictate that
16 persons on lower incomes or living paycheck to
17 paycheck may not be able to pay for the difference
18 between the credit and the full cost of the
19 retrofit?

20 A I think that the City of Hayward is a
21 diverse community and that there are probably
22 customers out there who are in a position to
23 participate in the program. There may be, yes,
24 people who are not in a position to participate.
25 I think that the program is something that needs

1 to be offered on a community-wide basis. And if
2 it is not successful in Hayward it expands to
3 other East Bay communities.

4 Q But did you conduct any studies to try
5 to determine whether this program would be
6 something that would actually be taken advantage
7 of by people living in this area?

8 A I didn't conduct any study like that.

9 Q Does a person who wishes to take
10 advantage of this fireplace retrofit program
11 actually have to use their fireplace currently?

12 A Like I explained before, I am not so
13 familiar with the exact implementation of the
14 program but when the Air District offers a subsidy
15 to the homeowner the homeowner would need to
16 provide basic information on its use of that
17 fireplace. And this goes to wood stoves as well
18 as fireplaces. And if there are wood stoves out
19 there that are being used for heating purposes
20 then those would obviously have a much higher
21 rate. But the point is that the homeowner needs
22 to demonstrate that they even have a fireplace to
23 retrofit.

24 HEARING OFFICER GEFTER: Mr. Massey, I
25 think maybe if the Air District has experience

1 with this program perhaps it is best to ask them
2 the direct question on how they implement the
3 program. It seems that most of the intervenors
4 have that very question.

5 MR. MASSEY: I appreciate that.

6 Mr. Bateman, would you be most
7 appropriate to answer my questions?

8 MR. BATEMAN: Unfortunately not. The
9 Air District is a fairly decent sized agency and
10 the staff that has the expertise in that
11 particular area are in our grants and incentives
12 group, not in engineering, so I am not really able
13 to answer that in terms of specifics of how the
14 incentives program is implemented.

15 I am sure that there are some measures
16 of determination that the fireplace was used.
17 Probably there will be requirements for proof of
18 purchase of qualifying devices, for example,
19 natural gas inserts, that sort of thing. Perhaps
20 some sort of an affidavit on behalf of the person
21 that was applying for the grant, an incentive. I
22 can't say with any certainty because that is not
23 my area of expertise.

24 HEARING OFFICER GEFTER: Do you know if
25 there is any report on progress or any sort of

1 follow-up on the program that was conducted in
2 Santa Clara County? Is that where you -- the
3 program near San Jose?

4 MR. BATEMAN: I do not.

5 HEARING OFFICER GEFTER: No, okay.

6 What I would like to ask applicant and staff, to
7 work together on checking with the Air District on
8 whether or not there is any information on who the
9 previous program was implemented. Whether there
10 is a report, whether there are application forms,
11 and put together a little package and serve it on
12 the parties.

13 Because it seems to be the parties' big
14 question. And if we can get them some information
15 other than spending time here this morning asking
16 the questions where our witnesses here today don't
17 have the answers. Thank you.

18 Any more cross examination on another
19 topic with respect to air quality?

20 MR. MASSEY: Not for Mr. Birdsall. Is
21 this the time to ask of the applicant's witness?

22 HEARING OFFICER GEFTER: Yes.

23 MR. MASSEY: Thank you.

24 CROSS EXAMINATION

25 BY MR. MASSEY:

1 Q Mr. Westbrook, I wanted to explore with
2 you the SO2 to PM10 ratio change that you're
3 proposing. It is my sort of lay understanding
4 that if we change from the 5.3 to 1 ratio to the
5 3.0 to 1 ratio, that will necessarily mean an
6 increase in the amount of SO2 emissions because
7 you're mitigating less of it. Is that a fair
8 statement of the effect?

9 A You know, I wouldn't know the answer to
10 that question. What I presented here was the fact
11 that the staff did not analyze the uncertainty in
12 deriving a value and that we have a precedent for
13 using three to one in multiple projects like the
14 San Francisco electric reliability project.

15 And while it laid out the analysis that
16 shows you can get lower numbers such as one to one
17 on a high PM2.5 day versus a high PM10 day, the
18 staff shows where they got the number they got.
19 There is a difference in the numbers.

20 So when you apply the method -- my
21 point in all this is that staff needs to take a
22 look at all the data and justify and back-up their
23 presumption for 5.3 to 1. As far as you're
24 question, I'm sorry, I can't answer that.

25 Q So if I am releasing three units of

1 SO2, versus if I'm releasing 5.3 units of SO2, 5.3
2 isn't bigger than three?

3 A Can you repeat that question.

4 Q My question is, if I am releasing three
5 units of SO2 versus if I emit 5.3 units of SO2,
6 isn't 5.3 bigger than three?

7 MS. LUCKHARDT: Are you referring to
8 emissions from this project or are you referring
9 to something else?

10 MR. MASSEY: I'm trying to get at the
11 issue of the effect of the change in the ratio and
12 what that will do in terms of the actual quantity
13 of SO2. If we had two --

14 MS. LUCKHARDT: Are you talking
15 about --

16 HEARING OFFICER GEFTER: Let me
17 interrupt. I am not sure whether you are looking
18 at Air Quality Appendix 1, which is at page 4.1-66
19 of the FSA, Exhibit 200, in which Mr. Birdsall has
20 laid out his table on the 5.3 to 1 ratio. Perhaps
21 if you take a look at that and frame your question
22 more specifically perhaps the applicant can answer
23 the question.

24 PRESIDING COMMISSIONER BYRON:
25 Mr. Massey, I think I understand what you're

1 trying to say and that is, with the lower ratio of
2 SO2 or sulfur oxides to PM10 -- 2.5 are you not
3 going to be emitting more SO2?

4 BY MR. MASSEY:

5 Q Yes, that's my basic question.

6 A It's important to understand we're not
7 talking about the project emissions, we're talking
8 about using an emission reduction credit that is
9 banked to mitigate particulate matter. So what
10 we're doing is we're taking that banked SO2 credit
11 and we're making an assumption that there is a
12 conversion to PM10 in the atmosphere, which
13 science shows there is. My point in all this is
14 that there is a lot of uncertainty in how you
15 derive that number and the staff's analysis is
16 very limited in deriving that number.

17 Q But my question is going to, if you
18 mitigate 5.3 units of SO2, versus if you mitigate
19 three units of SO2, you're mitigating less SO2
20 when you use the 3 to 1 ratio than if you use the
21 5.3 to 1 ratio. Is that correct?

22 A It is not correct because what we're
23 trying to do in the conversion is mitigate PM10.

24 Q So then using the 5.3 to 1 ratio as
25 opposed to the 3.0 ratio you're mitigating under

1 your proposal less PM10; is that correct?

2 A You're mitigating less PM10? You know,
3 again I am not saying the proposal, based upon the
4 uncertainty we saw in the analysis. What I'm
5 saying is that there is a background for 3 to 1 as
6 an appropriate number.

7 As far as what is less or more, you
8 have to look, you have to look at all the study to
9 understand the uncertainty of what would happen.
10 What I'm talking about is a number that has been
11 established and justified in the record for what
12 an appropriate value would be for this project.

13 HEARING OFFICER GEFTER: And this
14 ratio, Mr. Massey, has to do with the purchase of
15 ERCs from the Air District's bank and how much
16 they're worth, basically. The Air District
17 indicated they had fewer PM10 ERCs available than
18 you might have for sulfates, SO2. So in terms of
19 how much, how many ERCs they need to come up with,
20 that's what this ratio deals with.

21 MR. MASSEY: I appreciate that
22 clarification. Just a couple of follow-ups I
23 guess on that, then.

24 If as you stated in your direct
25 testimony there is uncertainty as to the science.

1 When there is uncertainty as to the science and
2 the effect of making a bad policy choice here
3 could be an increase in the amount of emissions in
4 the local Hayward area. Wouldn't it be more
5 prudent --

6 MS. LUCKHARDT: I'm sorry, I object.
7 You're saying an increase in emissions in the
8 local Hayward area. We're talking about offset
9 ratios. I don't believe there is anything that is
10 talking about any kind of increase.

11 MR. MASSEY: Let me rephrase that.
12 When you say that there is uncertainty as to the
13 science and you have a proposal that would require
14 a smaller ratio, that the 3 to 1 versus the 5.3 to
15 1 ratio, is the 3.0 ratio more protective of the
16 air quality in terms of the emissions when you --
17 And I understand Ms. Gefter's point that this is
18 an emissions reduction credit.

19 HEARING OFFICER GEFTER: It is how much
20 the applicant wants to pay for the credits and how
21 much they're worth. And the other thing that I
22 think you're trying to get at is, when science is
23 unclear typically the analysis will go towards the
24 more conservative analysis.

25 MR. MASSEY: Correct.

1 HEARING OFFICER GEFTER: So you are
2 suggesting that the 5.3 to 1 as opposed to the 3.0
3 to 1 is a more conservative analysis. And I think
4 that everybody here is on the same page with you
5 on that question, it would be more conservative.
6 It would be also more expensive for the applicant.

7 BY MR. MASSEY:

8 Q And then I guess this gets to my
9 ultimate point that the primary motivator here for
10 recommending a 3.0 to 1 versus the 5.3 to 1 ratio
11 when the science is uncertain, and 5.3 is the more
12 conservative view, is basically money.

13 A No. This number of 5.3 to 1 is not
14 backed up or justified by staff. So, you know,
15 what number do you want to make up without an
16 analysis. We haven't seen calculations, we
17 haven't seen peer review of this information. We
18 don't know how staff came up with that number.

19 It has been referred to in another
20 project, we just don't know how they derived that
21 number. We know the method they used because they
22 referred to that method. So it is not about
23 money, it is about good science and about doing
24 the science the way you're supposed to do it. And
25 we have not seen that backup.

1 So three to one is a number which has
2 been used in multiple projects recently including
3 2006 and it has a lot of history. And that number
4 by itself is likely very conservative already.

5 Q But 5.3 to 1 is more conservative.

6 A It would be --

7 HEARING OFFICER GEFTER: I think the
8 question has been asked and answered. If you have
9 another line of questioning, otherwise we'll move
10 on to another party.

11 BY MR. MASSEY: This question is for
12 Mr. Bateman and this has to do with the use of the
13 emissions reduction credits.

14 CROSS EXAMINATION

15 BY MR. MASSEY:

16 Q There's been the proposal from the
17 applicant to expand the market from which they can
18 -- the geographic region from which they can
19 purchase these emissions reduction credits and I
20 wanted to explore that issue with you.

21 It is my understanding that the Hayward
22 area is out of compliance for a number of
23 pollutants in the air; is that correct?

24 A Well, the entire San Francisco Bay area
25 region is non-attainment for federal and state

1 ozone standards and the air quality standards. So
2 that includes Hayward and every other part of the
3 Bay Area.

4 Q When you propose to use these emissions
5 reduction credits, it is my understanding that an
6 emissions reduction credit is an existing
7 reduction. It's the status quo, it's what we have
8 presently. Somebody has banked it in the past and
9 they're going to apply it to a different project;
10 is that correct?

11 A Under our rules emission reduction
12 credits can be in that category, yes. I should
13 point out that the Air District's requirements for
14 the use of emission reduction credits in this
15 project, it is only with respect to two
16 pollutants, precursor organic compounds and
17 nitrogen oxides, not PM. Based on the emissions
18 from the project under our rules the project did
19 not trigger requirements for PM offsets.

20 Q So when you apply one of these emission
21 reduction credits it has already been banked? The
22 actual effect of doing that to a project that will
23 produce X amount of conditions is to create an
24 actual increase beyond the existing status quo.

25 A If you are defining the status quo as

1 current emissions.

2 Q Correct.

3 A That would be true depending on the age
4 of the banked reductions. If they were, for
5 example, from reductions that were achieved a long
6 time ago then that would be true, yes.

7 Q You had explained to me previously that
8 the Bay Area exceeds I believe it was ozone. Then
9 given that won't the construction of the Eastshore
10 plant using banked emissions credits result in an
11 actual increase in emissions in this area?

12 A No it won't because we have a
13 requirement under both the state and federal
14 planning requirements to run a permitting program
15 that would have no net increase for the pollutants
16 that I mentioned in this case, precursor organics
17 and nitrogen oxides. The permitting program has
18 to have no net increase in those emissions,
19 including the emissions from permitting projects.

20 MR. MASSEY: Thank you.

21 I realize I'd left out a line of
22 questioning for Mr. Westbrook if I might go back
23 and ask him a follow-up question.

24 HEARING OFFICER GEFTER: Yes.

25 FURTHER CROSS EXAMINATION

1 BY MR. MASSEY:

2 Q I was interested in your proposal to
3 expand the scope geographically of where these
4 emissions reduction credits could be purchased.
5 You have proposed that the applicant need only use
6 best efforts to purchase more local emissions
7 reduction credits and that your understanding of
8 best efforts is to consult the local market and
9 see what is available; is that correct?

10 A That is correct. But what you would do
11 is you would consult the market and you would keep
12 a record of those consultations. You would go out
13 to brokers, emission brokers who are knowledgeable
14 about pending transactions as well as going to
15 owners of the certificates and document the fact
16 that you contacted them repeatedly over the period
17 of time we are talking about. That's what a good
18 faith effort consists of.

19 Q Now what happens if as a product of the
20 good faith effort the applicant is able to find a
21 local emissions reduction credit and there is a
22 willing seller but it is very expensive? Would
23 the applicant be under any obligation to purchase
24 that very expensive credit?

25 MS. LUCKHARDT: So basically you're

1 asking whether someone can blackmail the project
2 for a very high cost. Is that what you're asking?

3 MR. MASSEY: No, that's not my
4 question.

5 BY MR. MASSEY:

6 Q My question is that in your testimony
7 you had indicated that local credits are scarce.
8 And I guess maybe I need to ask this foundational
9 question. If local emissions are scarce does that
10 not make them expensive?

11 A They are absolutely expensive, yes.

12 Q And are they more expensive than
13 emissions reduction credits that could be
14 purchased from some of the other more
15 geographically distant areas that you are
16 proposing?

17 A No, they might be less expensive or
18 more expensive in other areas. And you know the
19 reason for the justification for other areas is
20 that you could have an emission of particulate
21 matter in the northern part of the bay where the
22 air can travel down to Hayward outside of the
23 areas we are talking about.

24 So even though we are looking at this
25 local preference, in terms of meteorology and

1 chemistry we talked about SO2 and conversion to
2 PM10. It could be that on the worst PM10 days you
3 are getting some impact from these other areas.

4 But when you look at the issues of what
5 to get, if this project is not able to get the
6 mitigation it can't go forward. So what staff has
7 described is flexibility in terms of different
8 ways to get the mitigation. It could be that one
9 program is more difficult but less costly per ton
10 of mitigation. It could be that another way is
11 easier. We just don't know. We don't know
12 sitting here today what we are going to do for
13 mitigation. What specific location, what specific
14 needs.

15 Q But if you are able to find a local
16 emissions reduction credit but don't like the
17 price would the applicant be under any obligation
18 to purchase it under your proposed flexibility?

19 A I think that's a question for staff.

20 Q No, I believe it would be a question
21 more appropriate for you because --

22 MS. LUCKHARDT: Are you asking whether
23 it's at market price or whether it's above market
24 price?

25 BY MR. MASSEY:

1 Q I'm asking if you are able to identify
2 an emissions reduction credit using your best
3 efforts within the local area proposed by staff
4 would the applicant be under any obligation under
5 your proposal to purchase that local emissions
6 reduction credit despite the high cost?

7 A The proposed condition, the language
8 currently does require justification of the
9 location of the offsets. So of course location
10 and price, those are folded in as a consideration.

11 Q If you end up with conditions of
12 compliance as the staff has proposed, the
13 applicant would be required to purchase emissions
14 reduction credits within the localized area,
15 correct?

16 A Without our changes that's correct.

17 Q And that credit, the credits you might
18 be able to find in this local area might be very
19 expensive.

20 A I don't know the answer to that. I
21 have no way of knowing whether they are going to
22 be expensive or not expensive and what that means,
23 I'm sorry. I don't know what is going to happen
24 with that search in terms of availability and
25 cost.

1 Q Assuming that you identify an emissions
2 reduction credit in the local area proposed by
3 staff that is more than the applicant wants to
4 pay. Under your modified compliance conditions
5 would you be under any obligation to purchase it
6 as opposed to a more geographically distant
7 emissions reduction credit that is much cheaper?

8 A In that respect I don't see a
9 difference between the staff's proposal or our
10 proposed condition language.

11 HEARING OFFICER GEFTER: Mr. Massey, I
12 don't believe the witness is going to answer your
13 question the way you want him to answer it. It
14 sounds like it is a business decision on the part
15 of the applicant. If they can't provide the
16 required ERCs they can't go forward, bottom line.
17 So I don't think you're going to get an answer to
18 your question. But you certainly can brief it.

19 MR. MASSEY: I am getting that
20 impression.

21 HEARING OFFICER GEFTER: Another line
22 of questioning or let's move on.

23 MR. MASSEY: No, I believe that was my
24 last question, thank you.

25 HEARING OFFICER GEFTER: Thank you very

1 much.

2 Does the City of Hayward have any
3 questions of the witness, of the applicant and
4 staff witnesses?

5 MS. GRAVES: No.

6 HEARING OFFICER GEFTER: Okay.

7 Mr. Sarvey do you have any air quality
8 cross examination?

9 MR. SARVEY: Yes I do, thank you.

10 HEARING OFFICER GEFTER: Okay. Let's
11 try to keep it brief, thank you.

12 MR. SARVEY: I'll do my best. It
13 depends on the answers that I receive.

14 HEARING OFFICER GEFTER: Thank you.

15 CROSS EXAMINATION

16 BY MR. SARVEY:

17 Q Mr. Lusher, is the fireplace retrofit
18 the only program available in the district to
19 mitigate this project's particulate matter and
20 other emissions from this project?

21 A We have no PM mitigation requirements
22 for this project under our rules and regulations.
23 We have been following what CEC staff has been
24 proposing and taking a look at that. Fireplace
25 mitigation programs, to my knowledge, have been

1 used for other power plants in the state in other
2 air districts and we have a program before us
3 today that people are discussing.

4 Q And do you have like other programs
5 like vehicle scrappage and a Carl Moyer program
6 that also could be utilized to reduce the
7 project's particulate matter impacts locally?

8 A We certainly are actively looking for
9 opportunities under the Carl Moyer program to fund
10 removal of diesel engines off the road to reduce
11 diesel particulate matter. But when you retrofit
12 a diesel bus, for example, it is very expensive
13 and it is a very toxic particulate matter. But
14 having a mitigation for diesel particulate I think
15 the District would be interested in but it is very
16 difficult because you may not be able to get a ton
17 for ton in diesel particulate matter.

18 Q Would these types of programs be more
19 effective for mitigating the local particulate
20 matter impact than the ERCs that are being
21 proposed since these emissions would occur in the
22 future rather than in the past?

23 A Well I am not sure what the final
24 mitigation program will be. I have certainly
25 considered the program and it appears to be

1 consistent with other programs I have seen. I am
2 not going to speak to whether it is the perfect
3 mitigation or not.

4 HEARING OFFICER GEFTER: There is a
5 Carl Moyer program available for the Bay Area?

6 MR. LUSHER: Yes. I am not an expert
7 on the Carl Moyer program but it is on our web
8 site and there is an outreach and incentive staff.
9 And grants are given to people to retrofit diesel
10 engines under that program.

11 HEARING OFFICER GEFTER: Has staff
12 considered that for this project? Have you looked
13 into that program from the Bay Area?

14 MR. BIRDSALL: Yes, we have looked into
15 a Carl Moyer program-kinds of reductions before
16 and also on this case. There may be some
17 potential for reductions in PM through a more
18 aggressive Carl Moyer program, providing
19 incentives for local companies and local fleet
20 owners like the City of Hayward to retire diesel
21 equipment or for AC Transit, for example, to
22 retire diesel-emitting busses.

23 Those programs have been in place from
24 the California Air Resources Board and the local
25 Air District for awhile. What we tend to find is

1 that the reductions that you gain in particulate
2 matter are relatively small in quantity.

3 So what we did for Eastshore and what
4 we have been doing for some of the other power
5 plants that I'm sure you're aware of, Mr. Sarvey,
6 is we take a look at the stationary source
7 inventory rather than the mobile source inventory.

8 The emissions from wood stoves during
9 wintertime conditions are a big component of the
10 local inventory. That combined with the
11 stationary source emission reduction credit
12 program, we think those are two very highly
13 effective pathways to mitigation and that it would
14 be very difficult to achieve the kinds of tons in
15 reductions that we are looking for using Carl
16 Moyer. But Carl Moyer has been, has definitely
17 been considered.

18 MR. SARVEY: Some of these next
19 questions require that the witnesses have this,
20 which I have already given out, but I want to give
21 them a copy real quickly if I could.

22 HEARING OFFICER GEFTER: Okay, and
23 identify the exhibit. This is one of Mr. Sarvey's
24 exhibits.

25 MR. SARVEY: This is Exhibit 804.

1 HEARING OFFICER GEFTER: It's listed in
2 the exhibit list.

3 MR. SARVEY: Mr. Lusher, how long does
4 it take to get an ERC certificate after the
5 emission source has been retrofitted or shut down?

6 MR. LUSHER: I don't process those
7 applications personally. I would say it would be
8 a matter of months. You have to submit an
9 application, a district engineer gets assigned to
10 it, they review and quantify what they think the
11 emission reduction is and then that generates an
12 ERC.

13 MR. SARVEY: So in terms of months
14 then, okay.

15 CROSS EXAMINATION

16 BY MR. SARVEY:

17 Q Mr. Brewster, you mentioned earlier
18 that SO2 emissions could take as long as three
19 hours or three days to form particulate matter.
20 How about three months?

21 A I would say not three months. You've
22 got precipitation, you've got wind currents and
23 that tends to move the air along.

24 MR. SARVEY: Okay, I would like to ask
25 all the witnesses this question. Would increasing

1 the project stack height lower the project's
2 ambient air quality impacts?

3 MR. DARVIN: Yes it would.

4 MR. LUSHER: I would agree.

5 MR. SARVEY: Okay, thank you.

6 MR. BIRDSALL: Yes.

7 FURTHER CROSS EXAMINATION

8 MR. SARVEY: Mr. Lusher, according to
9 your response to Mr. Toth on his comments in the
10 PDOC, and that's Exhibit 804 page 72, there are no
11 generic cancer potency values or reference
12 exposure levels for fine particulate matter so it
13 is not included in the health risk assessment, is
14 that correct?

15 MR. LUSHER: Well let me clarify that.
16 OEHHA does not have relative exposure values for
17 PM2.5 by itself but I think everybody would
18 recognize that combustion particulate is made up
19 of a dominant species called PAHs, which is
20 polynuclear aromatic hydrocarbons and those are
21 also a particulate matter. So we do look at the
22 particulate matter species that we have reference
23 exposure values for from OEHHA.

24 PRESIDING COMMISSIONER BYRON: Could
25 you -- Excuse me, for all of us not familiar with

1 all these acronyms. OEHHA, please.

2 MR. LUSHER: Office of Environmental
3 Health Hazard Assessment. Sorry, folks.

4 PRESIDING COMMISSIONER BYRON: That's
5 all right, thank you.

6 MR. SARVEY: Is he done with his
7 answer?

8 MR. LUSHER: Yes.

9 MR. SARVEY: Okay, thank you.

10 BY MR. SARVEY:

11 Q Mr. Lusher, in the PDOC, Appendix A
12 page one, you estimate that the facility's SO2
13 emissions using a fuel sulfur limit of .182
14 grains.

15 A Um-hmm.

16 Q Do you have a condition that guarantees
17 compliance with that fuel sulfur limit for the gas
18 supplied to the project?

19 A Well they have to track the fuel gas
20 sulfur and they have to manage underneath the
21 limit. I don't have a specific limit that limits
22 it. What really drives the sulfur emissions from
23 the project is not the fuel gas sulfur content, it
24 is the lube oil content that was provided by the
25 applicant. And I believe that the fuel gas

1 portion is actually quite small versus the lube
2 oil portion. So they have vendor guarantee data
3 that they believe they can live with that number.

4 MR. SARVEY: Mr. Birdsall, do you have
5 a condition in your conditions of certification to
6 test the fuel sulfur in the gas, the natural gas
7 supplied to this project?

8 MR. BIRDSALL: We have the same
9 conditions that the Air District put forth in its
10 final determination of compliance for that issue
11 so I would have to look through. But I do
12 believe --

13 MR. LUSHER: Maybe I misunderstood the
14 question.

15 MR. BIRDSALL: I'll stop.

16 MR. SARVEY: Should I repeat the
17 question?

18 MR. LUSHER: No, no, no, sorry. I'm
19 trying to add on to my response.

20 MR. SARVEY: I'm sorry.

21 MR. LUSHER: We allow the applicant to
22 use PG&E data because PG&E tests the system on a
23 weekly basis for sulfur. So they will track the
24 sulfur in the fuel gas using PG&E data.

25 MR. SARVEY: A lot of power plants

1 recently have been amending their conditions of
2 certification to raise their fuel sulfur limit.
3 And I would quote most recently the Los Esteros
4 project has increased their limit from 25 to 33
5 grains. Shouldn't that factor into your
6 assessment of the fuel sulfur limit for the
7 natural gas for this project?

8 MR. LUSHER: Like I tried to state
9 earlier, the fuel gas sulfur component is a small
10 portion of the sulfur emissions from the facility.
11 And that they have to meet their permit limit and
12 they have to track emission calculations over the
13 year to demonstrate they meet their permit limit.
14 And they are subject to enforcement action if the
15 sulfur goes over the permit limit.

16 HEARING OFFICER GEFTER: Are you saying
17 that there is a condition in the FDOC relating to
18 the sulfur content of the natural gas? If there
19 is why don't we find it and identify it for the
20 record.

21 I also have a question. Mr. Sarvey,
22 when you asked the question about if the height of
23 the stacks is increased then the emissions of
24 pollutants would be less. Is that what your
25 question was?

1 MR. SARVEY: Better dispersion, yes.

2 HEARING OFFICER GEFTER: Okay. And
3 what was the point of that question? Are you
4 suggesting that the applicant should raise the
5 height of the stacks?

6 MR. SARVEY: Most definitely and that
7 is in my testimony. When you look at the ambient
8 air quality impacts from this project, and I'll
9 address that in my testimony, it's already there.

10 HEARING OFFICER GEFTER: Okay.

11 MR. SARVEY: Compared to other projects
12 that the Energy Commission has approved and other
13 projects that are being sited throughout the
14 country, the ambient air quality impacts from this
15 project are very, very high.

16 HEARING OFFICER GEFTER: Okay. Well
17 we'll wait for your testimony on that and that
18 will come up pretty soon. Do you have any other
19 questions on cross?

20 MR. SARVEY: Yes I do.

21 HEARING OFFICER GEFTER: Okay.

22 FURTHER CROSS EXAMINATION

23 BY MR. SARVEY:

24 Q Mr. Birdsall, how many of the projects
25 you have analyzed for the Energy Commission have

1 had particulate matter impacts as high as this
2 Eastshore project?

3 A Your direct testimony that was filed,
4 Mr. Sarvey, pointed out that the ambient air
5 quality impacts of Eastshore are higher than
6 typical power plant impacts.

7 Q In Air Quality Table 16 in your
8 exhibit, could you look at that briefly, please.

9 MS. HOLMES: I'm sorry, could you
10 repeat the reference again.

11 BY MR. SARVEY:

12 Q Air quality Table 16 in Exhibit 100.

13 A Yes.

14 Q According to your testimony there under
15 the pollutant PM10 you list the project's annual
16 impacts as 3.1 and the background as 20 and then
17 in the bold color you have the total impact is
18 23.1. Are you indicating that that is a violation
19 of the PM10 standard there, for annual PM10
20 standard?

21 A The testimony makes it clear that the
22 project most definitely contributes to violations
23 of PM10 standards. The PM10 standard on a daily
24 basis is already violated. The project most
25 definitely contributes to those violations. Which

1 is why we are proposing AQ-SC8.

2 Q And then in the annual PM2.5 standard
3 you have the modeled impact as 3.1. That
4 represents 25 percent of the annual federal PM2.5
5 impact; is that correct?

6 A The 3.1 being about one-quarter of the
7 standard of 12. That would be yes, about one-
8 quarter.

9 Q And then when combined with the
10 background you indicate there could possibly be a
11 violation of the federal PM2.5 standard for this
12 project?

13 A That's right. Well the federal
14 standard for PM2.5, as explained in the testimony,
15 is relatively new, the 35 microgram per cubic
16 meter standard. And the Air District is still
17 going through its formal demonstration of
18 attainment on non-attainment. It is pretty
19 clear -- I think the testimony spells this out,
20 that the area looks like it will be designated
21 non-attainment for PM2.5. This project would
22 definitely contribute to that violation. Then
23 that's again what leads us to our mitigation.

24 Q Are you familiar with the new NO2
25 standard that is being promulgated by the Air

1 Resources Board?

2 A Yes. We have been watching that
3 closely over the year or so. In February of 2007
4 I think the Air Resources Board adopted a lower
5 standard for nitrogen dioxide, NO2, and the
6 standard has yet to be approved by the Office of
7 Administrative Law. We have been watching this
8 standard but we aren't using it in our staff
9 assessments until it becomes law.

10 Q You said you have been watching the
11 standard. Have you seen the staff report on the
12 standard?

13 A I don't think I've read the staff
14 report on that standard.

15 Q Okay, thank you, thank you. Do you
16 know what the new standard is per micrograms per
17 cubic meter?

18 A The newer standard is mentioned in the
19 footnote to my table, my table that summarizes the
20 ambient air quality standards in the beginning of
21 my staff assessment so that's the footnote to Air
22 Quality Table 2.

23 Q Thank you, Mr. Birdsall. And the 314.3
24 micrograms per cubic meter NO2 impact from this
25 project is about 90 to 95 percent of that

1 standard; is that correct?

2 A Right. The modeled impact for NO2 on
3 this project is close to but not exceeding the new
4 standard that would become law if it becomes law.
5 The points that you have raised in your direct
6 testimony, just to kind of jump ahead a little
7 bit, I think are very relevant in the fact that a
8 newer standard and lower standard may come down
9 from the Office of Administrative Law is something
10 that I say we're watching very closely.

11 I think what will need to occur when
12 and if that becomes law is that we will have to be
13 working very closely with the Air Districts and
14 the Air Resources Board to determine what is the
15 proper way and the methodology to model a
16 project's impacts against that standard.

17 Nitrogen dioxide is a reactive
18 pollutant and as you know the power plant emits
19 nitrogen oxides, which is a blend of nitric oxide
20 and nitrogen dioxide. So modeling compliance with
21 the NO2 standard always involves a certain amount
22 of reactivity in the equations or reactivity in
23 the analysis. And that is a little bit more
24 difficult to model than a direct pollutant impact
25 like the direct impact of sulfur oxides, for

1 example, where we don't assume any reactions.

2 The analysis that is in the staff
3 assessment does assume a certain level of
4 reactivity. If the new, lower standard becomes
5 law we would have to work with the Air Resources
6 Board to figure out the proper modeling protocol
7 for that short-term NO2 standard.

8 Q If the Office of Administrative Law
9 approves this amendment before this project is
10 certified how does that affect the project?

11 HEARING OFFICER GEFTER: That is a
12 question of law and, you know, the attorneys can
13 brief that as well.

14 MR. SARVEY: Okay, thank you. I'll
15 move on.

16 HEARING OFFICER GEFTER: I want to
17 interrupt just one minute.

18 MR. SARVEY: Sure.

19 HEARING OFFICER GEFTER: Because,
20 Mr. Sarvey, I know that you have air quality
21 testimony which actually is very connected to your
22 cross examination.

23 MR. SARVEY: Yes.

24 HEARING OFFICER GEFTER: And it makes
25 sense, perhaps, to have you actually do your

1 direct now.

2 But let me ask Mr. Haavik if you have
3 any cross examination of any of the air quality
4 witnesses at this point? Because if not what I
5 think I'll do is have Mr. Sarvey testify and then
6 have Dr. Zannetti testify afterwards.

7 MR. HAAVIK: I have only one comment on
8 the cross for Mr. Lusher.

9 HEARING OFFICER GEFTER: Thank you.

10 CROSS EXAMINATION

11 BY MR. HAAVIK:

12 Q Are you familiar with the Russell City
13 proponent and the discussions they have had in
14 regards to the fireplace retrofit program?

15 A I am aware of it just because I know
16 the engineer in my group who's working on it but I
17 am not directly involved in all of that.

18 Q You do not know the components of that
19 particular proposition?

20 A I am not, I have not been reviewing
21 that very extensively recently. I mean, I know
22 that they had proposed -- I was at the evidentiary
23 hearing for the proceeding obviously so I know
24 that we were discussing many of the same issues at
25 that proceeding but I am not, I do not know where

1 the mitigation is going to fall out.

2 MR. HAAVIK: Okay, thank you, nothing
3 else.

4 HEARING OFFICER GEFTER: That's it?
5 Okay.

6 MS. HARGLEROAD: Excuse me.

7 HEARING OFFICER GEFTER: Yes.

8 MS. HARGLEROAD: Before we move on to
9 Mr. Sarvey's direct I just wanted to qualify that
10 I have a few more follow-up. I didn't expect to
11 be the first one to ask the cross. So if I could
12 follow-up if the intervenors or any other cross
13 examination is complete.

14 HEARING OFFICER GEFTER: All right,
15 after everything is complete, including
16 Dr. Zannetti's direct, you can come back and ask
17 questions at that point.

18 MS. HARGLEROAD: Okay, I can come back
19 to staff and the Bay Area, okay, thank you.

20 HEARING OFFICER GEFTER: Yes, because
21 we need to move along. You know, we are supposed
22 to break at one o'clock and I thought we might be
23 through public health by now. We're not even
24 starting public health.

25 So Mr. Sarvey, if you would like to

1 present direct testimony now. I know that you
2 have offered yourself as an expert witness on air
3 quality. As you know, I haven't ever qualified
4 you as an expert witness on air quality, however,
5 I will qualify you as an expert intervenor and
6 very knowledgeable in our proceedings. So if you
7 want to, you know, be sworn in I'll take your
8 testimony.

9 MR. SARVEY: I'd have to object to that.

10 HEARING OFFICER GEFTER: Okay. Do you
11 want to be sworn in?

12 MR. SARVEY: I'd have to object to your
13 not qualifying me as an expert witness. I have
14 the educational background and the experience.

15 HEARING OFFICER GEFTER: I know and
16 other hearing officers have qualified you but I
17 won't. However, I will accept your testimony and
18 if you want to be sworn I will swear you in.

19 MR. SARVEY: I'll do so under
20 objection.

21 HEARING OFFICER GEFTER: Okay.
22 Whereupon,

23 ROBERT SARVEY
24 was duly sworn.

25 HEARING OFFICER GEFTER: Thank you,

1 Mr. Sarvey. Okay, go ahead.

2 MR. SARVEY: I also had some more cross
3 examination questions. Will I be allowed to ask
4 those later?

5 HEARING OFFICER GEFTER: Sure, yes.

6 MR. SARVEY: Okay.

7 HEARING OFFICER GEFTER: But I thought
8 it would make sense to hear your direct because it
9 is very interconnected with your cross
10 examination. So right now this will be considered
11 your direct testimony, thank you.

12 DIRECT EXAMINATION

13 MR. SARVEY: My direct testimony
14 pretty much speaks for itself. I don't have a lot
15 to add to it.

16 HEARING OFFICER GEFTER: Okay.

17 MR. SARVEY: I have offered a condition
18 of certification, AQ-SC8, which would allow the
19 CEC, the applicant, the Bay Area Air Quality
20 Management District to provide a mitigation
21 program for PM10 that includes advanced street
22 sweeping, school bus retrofits, vehicle scrappage,
23 fireplace/wood stove retrofits or any other CEC-
24 approved emission reduction program in the modeled
25 area of impact with the highest impact areas

1 mitigated first.

2 And I believe that that's the correct
3 way to mitigate the PM10 impacts from this
4 project. I do not believe that the SO2 credits do
5 mitigate the project. The SO2 credits are
6 basically a piece of paper like this.

7 MS. LUCKHARDT: I'm sorry, is this
8 brand new? Is this something that you provided
9 just today? I mean, I'm scrambling to find AQ-
10 SC8.

11 MR. SARVEY: I gave it to all the
12 witnesses, would you like a copy of it?

13 MS. LUCKHARDT: I notice that my
14 witnesses have it. I just want to note that this
15 is something that has just been presented today.

16 MR. SARVEY: Yes, I just provided it
17 today, yes.

18 HEARING OFFICER GEFTER: But Mr.
19 Sarvey, didn't you submit other information in
20 your previous exhibits or is this new testimony
21 that I haven't seen either?

22 MR. SARVEY: This is a new condition.

23 HEARING OFFICER GEFTER: A new
24 condition that you are proposing today?

25 MR. SARVEY: That I am offering today,

1 yes.

2 MS. LUCKHARDT: I would like to object.

3 HEARING OFFICER GEFTER: We all need to
4 see a copy of that.

5 MR. SARVEY: Okay.

6 MS. LUCKHARDT: I also would like to
7 object in general to the provision of new
8 testimony today. Everyone was required to pre-
9 file. Every other party did that. Mr. Sarvey is
10 showing up just now and providing new testimony.
11 I am very concerned that if we continue to allow
12 new testimony in at this point that the process
13 will never be completed. So I would like to see
14 some limits put on the process.

15 HEARING OFFICER GEFTER: Mr. Sarvey is
16 admonished, was admonished previously when you
17 moved to intervene as a petitioner and we told you
18 at that time that that was the last time that we
19 would accept your late filing.

20 I understand that Ms. Luckhardt is
21 concerned that this is the first time we've seen
22 this. So I will take your objection under
23 advisement, Ms. Luckhardt, and we will take
24 Mr. Sarvey's testimony and give it whatever weight
25 it is worth in the context of the whole record.

1 MR. SARVEY: I'm done, thank you.

2 HEARING OFFICER GEFTER: Mr. Sarvey,
3 again, if you can connect this to the previous
4 filings that would be helpful.

5 MR. SARVEY: The condition itself? In
6 the applicant's errata today I received a new
7 condition of certification for AQ-SC8 so I don't
8 think it's all that unusual.

9 MS. LUCKHARDT: I object.

10 HEARING OFFICER GEFTER: No, we had
11 seen that.

12 MS. LUCKHARDT: Those are the documents
13 that were filed with the prehearing conference
14 statement. I provided them to everyone because we
15 did not include them on our exhibit list but I
16 intended to. I wanted to give everyone an
17 opportunity to see them. But they are not new.

18 HEARING OFFICER GEFTER: We have seen
19 them before.

20 MR. SARVEY: You can toss the
21 condition. I'll put it in my brief and then you
22 can brief it if you'd like, that's fine.

23 HEARING OFFICER GEFTER: And what we
24 could do is if you brief it actually the parties
25 need to comment on this because it won't, it is

1 out of context if you just include it in a brief
2 without the comment from the experts on your
3 proposal. And if your proposal has validity it
4 might be useful for both the staff and the
5 applicant's and the Air District's witnesses to
6 see this condition and comment on it. So if you
7 would, if you want to tell us what it's about real
8 quickly in your direct and then we'll move on.

9 MR. SARVEY: I basically already did
10 tell you. What I am trying to do is to get a
11 real-time emission reduction program started here
12 with this condition. I believe that it is much
13 more beneficial to the community because it is
14 actually improving their air quality rather than
15 providing precursor emission reductions, which may
16 or may not provide the mitigation necessary.

17 We have a disagreement between the
18 staff and applicant as to how effective the SO2
19 ratio is and we also have a disagreement on the
20 location of the ERCs. And I believe that this
21 particular condition deals with both those issues
22 in that it provides emission reductions and
23 improves the quality of life for the people who
24 are most affected by this plant.

25 And as I mentioned earlier, the impacts

1 from this project are huge compared to any other
2 project that I have ever been involved with.

3 HEARING OFFICER GEFTER: Mr. Sarvey, I
4 would like to identify this proposed condition as
5 Exhibit 806 in your series of exhibits so that as
6 you speak about it the record will reflect that is
7 Exhibit 806.

8 MR. SARVEY: That's fine.

9 HEARING OFFICER GEFTER: Thank you.

10 MR. SARVEY: Thank you.

11 HEARING OFFICER GEFTER: Do you have
12 any additional cross examination that you would
13 like to finish?

14 MR. SARVEY: Yes I do.

15 HEARING OFFICER GEFTER: Okay, thank
16 you.

17 FURTHER CROSS EXAMINATION

18 BY MR. SARVEY:

19 Q Mr. Birdsall, did the Energy Commission
20 recommend a particulate matter limit of less than
21 .6 pounds per hour for this project in its
22 comments on the PDOC?

23 A I believe we did. I don't have that
24 letter in front of me at the instant.

25 Q Okay. And did the Air Resources Board

1 recommend a similar limit?

2 A In our letter to the Air District, and
3 I think there was a very brief e-mail
4 correspondence between the Air Resources Board and
5 the Air District. In our letter to the Air
6 District we recommended setting the lowest
7 particulate matter limit possible.

8 And we had been using some ARB
9 guidelines to urge the Air District to consider
10 the use of an emission rate as the particulate
11 matter emission rate for the -- as the particulate
12 matter emission limit for the project that is
13 lower than the 1.3 and 1.9 pound per hour that
14 ultimately came in the Final Determination of
15 Compliance.

16 We think, though, that the Air District
17 emission limit does satisfy the ACT and complies
18 with the local and federal laws, ordinances and
19 regulations and standards. To address the
20 potential particulate matter emissions and the
21 impacts of these emissions we have gone forward
22 with the AQ-SC8.

23 So to tie it all together, I think if
24 we asked the applicant to emit a lower level of
25 particulate matter. First of all we have heard

1 throughout the proceeding that the applicant would
2 not accept a lower limit for whatever business
3 reasons. The unintended or the un-intention --

4 The kind of consequence that might come
5 about if we had a lower particulate matter
6 emission rate though would be that staff would not
7 be in a position to ask for such a high level of
8 PM10 mitigation. So our mitigation being at the
9 level that it is today reflects the Air District's
10 permitted emission limit and I believe that the
11 project will emit less than that, much less than
12 that.

13 Q And your comments on the PDOC also
14 mentioned that there were two facilities that have
15 achieved the levels of particulate matter you are
16 recommending in practice; is that correct?

17 A Yes, I think that lower limits, lower
18 levels rather, are definitely achievable. And for
19 that the applicant can sleep well at night.

20 Q Does your analysis include particulate
21 matter emissions from the lube oil?

22 A My analysis includes the total
23 particulate matter emissions from the project.
24 However that originates, yes.

25 Q Okay. Exhibit 802, page 3.2-2, says

1 that it is not unusual to test emissions from two
2 identical reciprocal engines in the same plant,
3 operated by the same personnel, using the same
4 fuel and have the test results show significantly
5 different emissions. Do you agree with that
6 assessment?

7 MS. HOLMES: Excuse me, can you --

8 MR. SARVEY: Exhibit 802 page --

9 MS. HOLMES: Are you referring to what
10 you handed out as Exhibit 702?

11 MR. SARVEY: No, it's in the pre-filed
12 exhibits that I have, 802.

13 HEARING OFFICER GEFTER: Exhibit 802 is
14 identified on the list of exhibits as an EPA
15 emission factors for reciprocating engines.

16 MS. HOLMES: It is, but I have it
17 listed as Exhibit 702.

18 HEARING OFFICER GEFTER: Yes, he
19 misnumbered his exhibits. They are 800 if you
20 look on your exhibit list.

21 MS. HOLMES: So which page of Exhibit
22 802 are you referring to?

23 MR. SARVEY: 3.2-2.

24 MS. HOLMES: Thank you.

25 MR. BIRDSALL: Mr. Sarvey, I would

1 agree that there is a high degree of variability
2 in the testing results.

3 BY MR. SARVEY:

4 Q And have you proposed a condition for
5 this project that it will be source-tested after
6 construction and determine if the project's
7 impacts are accurate and should any additional
8 emission reductions be provided?

9 A There are conditions of certification
10 to require testing to demonstrate compliance with
11 the 1.3 and the 1.9 limitations. I don't know
12 what you're asking. Are you asking is there -- if
13 you're asking if there's another staff condition
14 on top of the Air District conditions the answer
15 is no.

16 Q Okay, thank you.

17 FURTHER CROSS EXAMINATION

18 BY MR. SARVEY:

19 Q Mr. Lusher, in Exhibit 804-13 you have
20 done some testing on some HCO emissions from a
21 Berrick Gold Strike Mine. And it says, in fact,
22 the standard deviation from this project is more
23 than the average emission rates for the turbines.
24 Is that true?

25 A We obtained formaldehyde emissions data

1 from the Berrick facility from the Nevada
2 Department of Environmental Quality. We reviewed
3 those results. Those were in the application for
4 certification. And I did prepare a spreadsheet.
5 I think you're referring to some of the e-mails
6 that you requested in your public records request.
7 And I did look at the average and the standard
8 deviation of that data.

9 MR. SARVEY: Mr. Birdsall --

10 HEARING OFFICER GEFTER: This is
11 referring to Tierra Energy's project in Nevada?
12 Is that what we're talking about?

13 MR. LUSHER: It is not Tierra Energy's
14 project in Nevada, it's a twin facility.

15 HEARING OFFICER GEFTER: A facility
16 that is similar to the proposed --

17 MR. LUSHER: It is more than similar,
18 it has the identical engines.

19 HEARING OFFICER GEFTER: It's the exact
20 same one.

21 MR. LUSHER: The abatement devices
22 might be different.

23 HEARING OFFICER GEFTER: Okay.

24 MR. LUSHER: But the engines themselves
25 are identical.

1 HEARING OFFICER GEFTER: All right. So
2 you were looking at data from that facility.

3 MR. LUSHER: Which was provided in the
4 application for certification.

5 HEARING OFFICER GEFTER: Right, okay,
6 thank you.

7 FURTHER CROSS EXAMINATION

8 BY MR. SARVEY:

9 Q Mr. Birdsell, do you agree with the
10 applicant's assessment that almost 100 percent of
11 the particulate matter emissions from these
12 engines are PM2.5?

13 A Yes, at the stack the emissions from
14 the engines are generally below PM2.5, maybe even
15 PM1 and under.

16 Q Could you say that again, I'm sorry.

17 A The particulate size is small, less
18 than PM2.5, yes.

19 Q And can you explain why in your PM10
20 impacts, estimates, that the PM10 micrograms per
21 cubic meter would be 27.5 and the PM2.5 would be
22 17? Why is that different?

23 A The notes at the bottom of the two
24 tables in my staff assessment that summarize
25 operational impacts, and this is regarding staff

1 assessment table Air Quality 16 and Air Quality
2 Table 20, the note at the bottom of the table
3 explains that PM2.5 is calculated based on a
4 three-year average of maximum eighth highest or
5 98th percentile 24 hour impacts.

6 And this is consistent with the federal
7 standard for PM2.5, which is not calculated based
8 on the one, single 24 hour highest concentration
9 but rather the 98th percentile as I explained
10 here.

11 Q So the applicant when he did his
12 estimates, his PM2.5 and PM emission impacts were
13 the same. Was that incorrect, was that wrong?

14 A I don't know to what part of the
15 applicant's testimony you're referring. Because
16 as the applicant worked forward in the project the
17 last filing that I remember looking at just before
18 coming here was around the time of May regarding
19 cumulative impacts. And the applicant was
20 following this calculation method at that time. I
21 suppose you can ask them whether or not they were
22 doing it incorrectly.

23 Q So is this a new concept by staff? I
24 have never seen this before. I have always seen
25 the PM2.5 impacts be equal to the PM10 impacts.

1 A The new federal PM2.5 standard is
2 calculated based on this statistical approach. So
3 to that effect, yes, it is relatively new.

4 Q What mitigation is the project offering
5 for nitrogen deposition or for the nitrogen
6 emissions, the NOx emissions?

7 A We did not find a significant impact
8 regarding nitrogen deposition so there is no
9 additional mitigation measure. But for nitrogen
10 oxide emissions, they are a precursor to ozone and
11 the applicant has offered a package of credits to
12 comply with the new source review requirements.

13 Q Okay. You mentioned that this project
14 is dirtier than most technology the CEC permits.

15 MS. LUCKHARDT: I'm sorry, I believe
16 that that is an incorrect statement to say that
17 Mr. Birdsell referred to this project as dirtier
18 than any other project.

19 MR. SARVEY: I'll move on.

20 HEARING OFFICER GEFTER: Just restate
21 your question.

22 MR. SARVEY: I'll move on.

23 BY MR. SARVEY:

24 Q Staff's status report number four, page
25 two, states that the community requested that the

1 PSA address the difference in emission rates for
2 reciprocating engines versus turbines. Have you
3 completed that comparison for the community?

4 A Yes, in the final staff assessment
5 there are a couple of bullets kind of in the back
6 of the staff assessment that address the different
7 emission characteristics of combustion turbines
8 versus internal combustion engines. This is
9 around page 4.1-35 and page 4.1-36 of my Final
10 Staff Assessment.

11 Q Okay, thank you.

12 CROSS EXAMINATION

13 BY MR. SARVEY:

14 Q Mr. Westbrook, your testimony in the
15 AFC states that the PM2.5 impact and the PM10
16 impacts are around 49 micrograms per cubic meter.
17 Have you revised that estimate?

18 MS. LUCKHARDT: I'm sorry, could you
19 refer to the page number you're talking about.
20 The AFC?

21 MR. SARVEY: Yes, I'm speaking to the
22 AFC, his air quality testimony. We're in
23 operating impacts.

24 MS. LUCKHARDT: Okay, which page?

25 MR. WESTBROOK: That was based on the

1 old emission rate, which was adjusted and staff
2 updated the modeling in the staff assessment. We
3 did not actually make the change.

4 BY MR. SARVEY:

5 Q So you haven't provided any new
6 estimates then?

7 A No, we have not.

8 Q Okay. Your testimony states that there
9 is a benefit from the line loss that the Eastshore
10 project displaces. Doesn't the project's high
11 emission rates offset any benefit that would be
12 gained from the project's line loss benefits?

13 A Can you repeat that question.

14 HEARING OFFICER GEFTER: Who are you
15 addressing that to?

16 MR. SARVEY: That would be
17 Mr. Westbrook.

18 MR. WESTBROOK: I'm sorry, I couldn't
19 hear you, could you repeat the question.

20 MR. SARVEY: I'm sorry. Your
21 testimony, Mr. Westbrook, states that there is a
22 benefit from the line loss that the Eastshore
23 project displaces. Doesn't the project's high
24 emission rates offset any benefit that would be
25 gained from the project's line loss benefits?

1 MS. LUCKHARDT: I'm sorry, are you just
2 saying high emissions rate or modeling impacts?

3 MR. SARVEY: High emissions rate.

4 MS. LUCKHARDT: When you say high
5 emissions rate to which pollutant are you
6 referring?

7 MR. SARVEY: Compared to the Los
8 Medanos project, the SF area ERP, Contra Costa.

9 MS. LUCKHARDT: I think Mr. Darvin --

10 HEARING OFFICER GEFTER: Mr. Sarvey,
11 actually --

12 MS. LUCKHARDT: I think Mr. Darvin may
13 need to answer that particular question.

14 HEARING OFFICER GEFTER: But actually
15 this question actually goes more to sort of a
16 legal analysis about whether the benefits of the
17 project are offset by the emissions or whether the
18 emissions are offset by the benefits. And this is
19 a legal issue so let's ask another -- if you could
20 ask a different question.

21 MR. SARVEY: I don't think you
22 understand the question but that's okay, I'll move
23 on.

24 HEARING OFFICER GEFTER: Okay, perhaps
25 if you reframe the question.

1 MR. SARVEY: I'll move on. No, no, no,
2 that's fine, I'll move on.

3 HEARING OFFICER GEFTER: Okay, thank
4 you.

5 MR. SARVEY: I don't think you quite
6 understand the question.

7 BY MR. SARVEY:

8 Q In your cumulative analysis of the
9 project did you include the emissions from the
10 adjacent train and freight terminals nearby?

11 A No.

12 Q Why not?

13 A Typically when we do cumulative
14 analysis mobile sources are not looked at.
15 Basically it is sources that are recently
16 permitted but not yet operational. The background
17 air quality actually already contains existing
18 sources such as mobile sources, trains, cars,
19 things like that. So it was not explicitly
20 modeled but it was contained in the background air
21 quality data that was added to the model
22 concentration.

23 Q So you believe that those emissions are
24 reflected in the background, right?

25 A Those emissions were reflected as

1 concentrations in the background, yes.

2 Q Okay. Wouldn't the emission reduction
3 credits you're proposing for use in this project
4 also be reflected in the current background?

5 A I'm not sure I understand your
6 question.

7 Q You're proposing emission reductions to
8 offset your emissions. Aren't those emission
9 reductions already included in the current
10 background that you're assessing this project by?

11 A The emission reduction credits are
12 banked based upon facilities that shut down with
13 emissions that were in the background. I think
14 what you're doing is you're mixing and matching
15 emission reduction issues and modeling questions.
16 I'm still not sure what you're trying to state.

17 MR. SARVEY: Okay, I'll move on.

18 And Mr. Stein, previous testimony that
19 you've given in the Tesla siting cases that 23
20 percent of the emissions from the Hayward area
21 impacts the Tracy area and San Joaquin Valley;
22 isn't that true?

23 HEARING OFFICER GEFTER: I don't know
24 that Dr. Stein can remember what he testified to
25 in Tesla.

1 MR. STEIN: I don't recall the
2 specifics.

3 HEARING OFFICER GEFTER: But I
4 understand that Mr. Sarvey is concerned because he
5 lives in the Tracy area so he was very involved in
6 the Tesla case. So it speaks for itself. If he
7 said that it probably is in the transcript.

8 MR. SARVEY: Okay.

9 BY MR. SARVEY:

10 Q Does your mitigation package offer any
11 NOx mitigation for this project? Actual NOx
12 mitigation ERCs.

13 A Staff has already stated that NOx
14 mitigation is not necessary under CEQA.

15 Q Thank you. Are you familiar with the
16 rules for NOx to VOC substitutions in the San
17 Joaquin Valley Air Pollution Control District?

18 MS. LUCKHARDT: I'm sorry, I'm going to
19 object to relevance here because we're talking
20 about the Bay Area District and not San Joaquin.

21 HEARING OFFICER GEFTER: Yes,
22 sustained. San Joaquin Valley is not part of this
23 case right now. I know it is of interest to you
24 and your concerned but we have the Bay Area Air
25 District here.

1 MR. SARVEY: Okay.

2 HEARING OFFICER GEFTER: I think we
3 need to move on.

4 MR. SARVEY: That's all my questions,
5 thank you.

6 HEARING OFFICER GEFTER: Thank you very
7 much, Mr. Sarvey.

8 All right, now we have a couple of
9 housekeeping matters. I understand that
10 representatives from Assemblywoman Hayashi and
11 also from Senator Corbett's office wanted to
12 address us this afternoon. I don't know if those
13 folks are here. Yes.

14 And also I think Mayor Sweeney might be
15 here. I don't know if you wanted to address us
16 this afternoon also or if you wanted to wait until
17 later tonight.

18 But let's hear from -- I am going to
19 interrupt the air quality testimony at this point
20 because these folks have been waiting patiently.
21 I know you have statements from your elected
22 representatives so we're going to take a little
23 break and you can present your statements at this
24 time. If you would like to come forward, identify
25 yourself please. There is a microphone right

1 there at the podium. Tell us your name and who
2 you represent.

3 MR. JARRED: Hi, my name is Michael
4 Jarred. I represent Senator Ellen Corbett and I
5 am reading a statement on her behalf.

6 HEARING OFFICER GEFTER: Thank you. I
7 might ask if both you and the representative from
8 Assemblywoman Hayashi if it would be all right
9 with you, rather than reading it verbatim into the
10 record, if we just incorporate it into the record.
11 The transcript can incorporate it without having
12 you read it. It's your choice.

13 MS. SCHULKIND: We would request that
14 it be read.

15 MR. PARMAN: We would like to read our
16 statement.

17 HEARING OFFICER GEFTER: All right. It
18 is just a question of time.

19 MR. JARRED: But I also have a written
20 copy.

21 HEARING OFFICER GEFTER: You have
22 copies for the reporter as well, yes?

23 MR. JARRED: Yes.

24 HEARING OFFICER GEFTER: Okay, thank
25 you. I was just trying to save us some time but

1 go ahead, please.

2 MR. JARRED: It's very brief.

3 HEARING OFFICER GEFTER: Okay, thank
4 you.

5 MR. JARRED: It was addressed to both
6 of the Commissioners but since there is only one
7 here this is to Commissioner Byron. Senator
8 Corbett says:

9 "I am in support of the City
10 of Hayward's efforts to prevent
11 the siting of the proposed
12 Eastshore Energy Center.

13 "As you know, the California
14 Energy Commission has already
15 approved the siting of the 600
16 megawatt Russell City Energy
17 Center in Hayward. The
18 cumulative air quality impact of
19 two plants in a single community
20 places an undue burden on Hayward
21 residents and raises questions of
22 environmental justice.

23 "The Hayward City Council is
24 opposed to the siting of the
25 Eastshore Energy Center because

1 the proposed plant is in conflict
2 with the city's General Plan,
3 local zoning ordinances and the
4 Airport Approach zoning
5 regulations. The Federal
6 Aviation Administration has
7 expressed concerns about siting
8 two power plants in close
9 proximity to the Hayward
10 Executive Airport. A number of
11 environmental groups, including
12 the Sierra Club, have expressed
13 concerns that the pollution
14 caused by the plant. Even the
15 CEC's own staff preliminary
16 recommendations were against
17 siting this plant.

18 "For all these above reasons
19 I urge the CEC not to approve the
20 siting of the proposed Eastshore
21 Energy Center. I would like to
22 thank the Energy Commission for
23 holding these hearings in Hayward
24 and for allowing people who will
25 be affected by the plant to

1 participate. And I am very
2 interested in working closely
3 with the CEC on strategies to
4 improve conservation efforts and
5 to support the establishment of
6 renewable energy projects to
7 lessen the need for siting of
8 these plants. I look forward to
9 working with you in the future on
10 our shared goals to protect the
11 environment and improve energy
12 efficiency in California. Thank
13 you for your consideration of my
14 concerns.

15 "Sincerely, Ellen M.
16 Corbett, Senator of the Tenth District."

17 HEARING OFFICER GEFTER: Thank you very
18 much for being here.

19 MR. JARRED: You're welcome.

20 PRESIDING COMMISSIONER BYRON:
21 Mr. Jarred, thank you very much for bringing the
22 comments. And please let the Senator know they
23 take a great deal of weight and we appreciate her
24 willingness to put them on the public record.
25 Thank you.

1 MR. JARRED: Great, thank you.

2 HEARING OFFICER GEFTER: Thank you for
3 coming.

4 And please tell us your name and your
5 representative.

6 MR. PARMAN: I'm Chris Parman, I'm the
7 District Director for Assembly Member Mary
8 Hayashi. And she has a statement to read and put
9 into public comment.

10 HEARING OFFICER GEFTER: Do you have a
11 copy?

12 MR. PARMAN: I do have a copy as well.

13 "Dear Commissioners Byron
14 and Geesman, who is absent today,
15 Ms. Gefter, CEC Staff,
16 Intervenors and residents of Hayward.

17 "It was my hope to be with
18 you today in person at this very
19 important evidentiary hearing to
20 discuss the construction of a
21 second power plant proposed
22 within the City of Hayward.

23 Unfortunately, I was called to
24 Sacramento during this
25 legislative special session to

1 vote on a new healthcare reform
2 package; another critical issue
3 facing the constituents of my
4 district.

5 "As I have previously
6 stated, I am urging the CEC to
7 reject Tierra Energy's
8 application to build the
9 Eastshore Energy power plant in
10 Hayward for many reasons.

11 "Most important is the
12 plant's close proximity to homes,
13 schools and businesses and its
14 potential affects on human
15 health, air quality, and our
16 environment in general. Within a
17 mile of the Eastshore Energy
18 Plant are three colleges with a
19 combined student population of
20 more than 16,000 students.
21 Within a mile of the power plant
22 are single and multi-family homes
23 with a population of
24 approximately 8,000 residents.
25 Within a mile of the power plant

1 is the Eden Gardens Elementary
2 School educating 540 kindergarten
3 to sixth grade children. If
4 approved, the power plant is
5 permitted to release 54 tons of
6 nitrogen oxides, 84 tons of
7 carbon monoxide, 64 tons of
8 particulate matter known as PM10
9 and 6 tons of sulfur dioxide on
10 an annual basis.

11 "These emissions will create
12 enormous environmental problems
13 and adversely impact the region's
14 air quality resulting in higher
15 rates of respiratory ailments
16 such as asthma among our seniors
17 and children. According to the
18 California Department of Health
19 Services, more than 37,000
20 Californians sought hospital care
21 due to asthma in the year 2000.
22 Those most affected were children
23 under age five, women and
24 seniors. The 2007 Asthma
25 Disparities Summit held in

1 Berkeley reported that low-income
2 communities and communities of
3 color experienced disparities in
4 asthma prevalence,
5 hospitalization, and deaths.
6 Reasons given were access to
7 health care, differences in
8 asthma medication, and the
9 environmental injustice their
10 communities face.

11 "The neighborhoods
12 immediately affected by Eastshore
13 are lower income, Minority-
14 Majority communities who need
15 greater access to health care.

16 "Secondly, the City of
17 Hayward has done its fair share
18 by recently approving an energy
19 plant several miles away from the
20 proposed Eastshore Power Plant.
21 The residents of Hayward, and the
22 surrounding communities, have
23 done their fair share in
24 shouldering the burden of
25 California's energy demands.

1 "I urge the CEC to reject
2 Tierra Energy's application to
3 build the Eastshore Energy Plant
4 in Hayward.

5 Sincerely, Mary Hayashi."

6 HEARING OFFICER GEFTER: Thank you very
7 much for coming today.

8 PRESIDING COMMISSIONER BYRON:
9 Mr. Parman, thank you as well. The Assembly
10 Member expressed some similar concerns to me
11 privately and I appreciate her putting her
12 comments on the record today, thank you.

13 HEARING OFFICER GEFTER: Thank you.

14 And Mayor Sweeney, do you want to wait
15 until later or do you want to address us now?

16 MAYOR SWEENEY: On Tuesday.

17 HEARING OFFICER GEFTER: Tuesday, all
18 right. Okay.

19 We had originally planned to break at
20 one for lunch and we all do need a break. I just
21 want to ask Alameda County, you do have your
22 witness, Dr. Zannetti. How long do you expect him
23 to testify on direct?

24 MR. MASSEY: I had envisioned him
25 briefly summarizing his report so I guess that is

1 contingent on how many questions others have for
2 him.

3 HEARING OFFICER GEFTER: Okay. Just a
4 second, let me just see whether we want to break
5 now and then come back. But we really can't begin
6 again until 2:30 because I noticed the hearing to
7 begin at 2:30.

8 Let's try it this way. Do you think we
9 can have his direct before we break and then take
10 a break and he can come back on cross at that
11 point? Would that be possible? Is that
12 reasonable to plan that? In other words, take his
13 direct before we break and then take our break.
14 This way we can be more expeditious in terms of
15 our time.

16 MR. MASSEY: I informed him to be as
17 brief as possible because he had already submitted
18 a written report.

19 HEARING OFFICER GEFTER: Okay. Well
20 then let's do that. Why don't you have your
21 witness come forward. We'll have his direct and
22 then we'll take a break and he'll come back on
23 cross later. Thank you. Dr. Zannetti.

24 Dr. Zannetti, we'll find you a seat.
25 Perhaps one of the Air District folks could move

1 away. But don't go too far because we may need
2 you later. And then Dr. Zannetti can come
3 forward. There we go, thank you.

4 And depending on how much cross
5 examination, we might just press on and then take
6 a break and still be back here by 2:30. Let's see
7 what happens.

8 MR. MASSEY: I think we'll probably be
9 able to do that.

10 HEARING OFFICER GEFTER: Okay, okay.
11 Dr. Zannetti, if you could please stand up, tell
12 us your name and I will swear you in.

13 DR. ZANNETTI: My name is Paolo
14 Zannetti.

15 HEARING OFFICER GEFTER: Thank you.
16 Whereupon,

17 DR. PAOLO ZANNETTI
18 was duly sworn.

19 HEARING OFFICER GEFTER: Please sit
20 down and identify yourself for the record.

21 MR. MASSEY: Dr. Zannetti, could you
22 please identify yourself for the record.

23 DR. ZANNETTI: Give me 30 seconds to
24 get my computer out just in case.

25 HEARING OFFICER GEFTER: While we're

1 waiting for Dr. Zannetti I do have a housekeeping
2 matter, which is the parties to move their air
3 quality testimony and exhibits into the record.
4 So after Dr. zannetti completes testimony and
5 cross I will ask all the parties to move their air
6 quality exhibits into the record.

7 DIRECT EXAMINATION

8 BY MR. MASSEY:

9 Q Dr. Zannetti, could you please identify
10 yourself for the record.

11 A My name is Paolo Zannetti. I am the
12 president of EnviroComp Consulting. I have my own
13 company.

14 Q Did you submit a statement of
15 qualifications to accompany your declaration and
16 proposed testimony?

17 A Yes, I sent you my CV.

18 Q Do you have any changes or amendments
19 to make to that statement of qualifications?

20 A No.

21 Q You submitted along with your
22 declaration a report; is that correct?

23 A Yes I did.

24 Q Do you have any --

25 HEARING OFFICER GEFTER: Do you want to

1 identify that for the record as an exhibit under
2 your exhibits?

3 MR. MASSEY: It is marked as Alameda
4 County Exhibit 500.

5 HEARING OFFICER GEFTER: Thank you.

6 BY MR. MASSEY:

7 Q Dr. Zannetti, do you have any changes
8 to the written report that you submitted as
9 evidence in this proceeding?

10 A Yes, I would like to clarify one point.
11 At page nine on my report, point number two. I
12 wrote the air modeling to address the concern in
13 item one was proposed but we couldn't find it.
14 And now I found the information in all the
15 documents I received describing the accidental
16 modeling of ammonia releases. So I found the
17 document. I never received, however, the computer
18 files to be able to replicate the results.

19 Q Thank you. And could you please give a
20 brief summary of the main points you make in your
21 report.

22 A Certainly. As described in section
23 two, page five, there are three points of concern
24 that were raised. On the first point of concern
25 was the difficulties in estimating the selected

1 catalytic reduction system that was proposed.

2 Now here I am testifying on behalf of
3 my chemical engineer because I am a physicist, an
4 atmospheric scientist. But I had a team helping
5 me in the review of these documents. My chemical
6 engineer, my senior chemical engineer, Dr. --
7 Professor Aaron Jennings has reviewed the document
8 and he is very uncomfortable with the information
9 he found in relation to maintenance, malfunctions,
10 the details of the system. We wrote down some of
11 our questions in our report and we continue to be
12 uncertain about the system itself.

13 I also have a note that I received from
14 Professor Jennings in which he says, the question
15 is whether the plant would incorporate the latest
16 development in SCR technology. Since the
17 technology was not defined in terms of the type of
18 catalyst, the operating conditions and the
19 optional sources of ammonia it was not clear what
20 technology will actually be applied.

21 So it will be hard for me to answer
22 questions on this topic but this is what my
23 chemist has reported. The other two issues I will
24 be able to have a more complete discussion, I
25 hope.

1 Number two is the modeling. That is my
2 field of expertise, air pollution modeling. That
3 is what I have done all my life. And we look at
4 the modeling results presented in the documents
5 and we recalculated the worst-case, one hour
6 impact of NO2. Because we believe there is an
7 error in what they have done.

8 The conditions for the start-up have
9 not been included and we are talking about 300
10 start-ups a year. So during the starting of the
11 system the exit velocity of the plumes and the
12 temperature is going to be lower. So it is
13 incorrect to simulate start-up with normal
14 operating conditions of more than 600 degrees
15 Fahrenheit and 20 meters per second of exit
16 velocity. So by redoing the worst-case, one hour
17 scenario we obtained data that are higher and they
18 exceed the current California standard for NO2.

19 The results that we have are -- So if
20 we try to take into account the fact that at the
21 beginning of the start-up the temperature is lower
22 or the fumes is lower, and the exit velocity is
23 lower we have that the maximum one hour
24 concentration of NO2 is calculated to be 431
25 micrograms per cubic meter. And if we add the

1 background, which is 143, we obtain a total
2 concentration of 574 micrograms per cubic meter,
3 which is exceeding the current standard in
4 California of 470. And of course we also exceed
5 the new standard, which is even more conservative.

6 The third point is the offsets. As a
7 scientist I feel very concerned about everything I
8 heard this morning on the offsets. The physics
9 and the chemistry of the atmosphere does not
10 support what has been said here today.

11 Of course if you have an emission like
12 a particulate matter, and you want to mitigate
13 that emission, the only way to do it is to have
14 local emissions very close to the source to be
15 reduced. That is the only way that has a
16 potential of working. And the only way to be 100
17 percent sure is to do proper modeling. You run
18 the model with the emissions, and by reducing the
19 other emission you calculate whether the entire
20 area is protected.

21 But once you start reducing the
22 emissions that are miles away for PM10 it is
23 almost ridiculous. There is no way that these
24 emissions that are 10, 20, 30 miles away of PM10
25 are going to mitigate the impact of PM10 in

1 Hayward. They are negligible, they are completely
2 negligible.

3 It is always good to reduce emissions,
4 I agree with that. But there is no way to justify
5 with science, with the physics of the atmosphere
6 and with modeling, the reduction of PM10 twenty
7 miles away with benefits in Hayward. By the time
8 the plume reach Hayward it is going to be
9 absolutely negligible in comparison with the local
10 emissions. So this is one issue.

11 The other issue even more troubling
12 from a point of view of science is the
13 interpollutant offsets. The idea that you reduce
14 SO2 and you have a benefit in PM10 is absolutely
15 theoretical and is something that needs to be
16 proven with real analysis and with modeling.

17 I can tell you that yes, if you reduce
18 SO2 you are going to have eventually a reduction
19 in sulfates. And sulfates are a small particle
20 that contributes to PM10 and also even more to
21 PM2.5. But the science is very shaky here. It
22 may take days for the plume to convert SO2 to SO4.
23 A typical, a typical value of conversion rate SO2
24 to sulfate is one percent per hour. That means
25 that it will take typically in normal condition

1 will take days.

2 There can be exceptions. There can be
3 stagnant conditions, there can be -- there are all
4 these exceptions in science. But in normal
5 condition if you reduce SO2 in California, in the
6 Bay Area, the benefits will be almost negligible
7 and probably you will be able to measure them in
8 Nevada. I am not exaggerating here. It takes
9 typically one percent per hour for SO2 to convert
10 to SO4.

11 So as a scientist I know the physics
12 and the chemistry of air pollution and I am very
13 surprised of all this discussion on emission
14 credits. I am not convinced.

15 Q Does that conclude your summary of your
16 direct testimony?

17 A I can talk much longer if you want
18 because I am known for this, but I think that's
19 enough.

20 (Laughter)

21 MR. MASSEY: Well thank you.

22 Dr. Zannetti is available for cross
23 examination to the extent any parties wish.

24 HEARING OFFICER GEFTER: Well thank you
25 very much.

1 My first question to you, Dr. Zannetti,
2 is how familiar you are with the Air District
3 protocol and scenario on how the Air District
4 works with the California Air Resources Board, US
5 EPA, the federal air resources. You know, the
6 entire protocol for analyzing a new source review
7 program. Because it sounds like from your
8 description that you --

9 I am asking, have you ever worked with
10 the Air District in terms of their program or are
11 you familiar at all with what the Air District has
12 done in this case? Have you read the FDOC in this
13 case, have you read the FSA?

14 DR. ZANNETTI: I am an atmospheric
15 scientist more than anything else. I am not
16 really an expert in regulatory application. I
17 have done regulatory modeling in the past,
18 especially in the '80s when I was working in
19 Pasadena for AeroVironment. But most of my
20 current work is not regulatory process and I give
21 my opinion mostly on scientific issues.

22 HEARING OFFICER GEFTER: Thank you. So
23 more of your work is done in sort of more of an
24 academic setting rather than in a regulatory
25 setting like this.

1 DR. ZANNETTI: No, I wouldn't call it
2 academic. Half of my work is dealing with
3 accidental releases of air pollution so I am
4 heavily involved in litigation cases in California
5 and Louisiana. And the other half of my work is
6 research and development.

7 HEARING OFFICER GEFTER: Okay. Does
8 anyone have cross examination of Dr. Zannetti,
9 putting in context his experience and background
10 and his concerns about the protocol and the
11 regulatory scheme that, you know, we are
12 constrained by. Is there any questions?

13 MS. HOLMES: I guess I just would have
14 one question just so that I can make sure that the
15 record is clear.

16 CROSS EXAMINATION

17 BY MS. HOLMES:

18 Q When you conducted your modeling for
19 the NO2 emission impacts you didn't follow then
20 the BAAQMD's modeling guidance, did you?

21 A I got the computer files from the
22 applicants and I ran the model exactly as they
23 have done. The only modification I made is a
24 variation in the temperature of the release and
25 the exit velocity for the first half an hour.

1 Which I think is more correct, let's say, than
2 what has been done by the applicants to take some
3 account of the fact that the plume is not at
4 normal temperature at the very beginning.

5 Q And I am asking you whether or not that
6 is consistent with the Bay Area Air Quality
7 Management's modeling guidelines?

8 A I don't think -- I don't know if my
9 approach has been submitted to the Bay Area
10 District. I believe that -- I would expect any
11 scientist at the District to agree more with our
12 modeling approach than what has been done by the
13 applicants. But of course I look forward to
14 hearing their opinions.

15 Q Perhaps that would be a redirect
16 question I could ask the Air District.

17 HEARING OFFICER GEFTER: Perhaps so.
18 Do you have any questions, Ms. Luckhardt?

19 MS. LUCKHARDT: I do.

20 CROSS EXAMINATION

21 BY MS. LUCKHARDT:

22 Q Mr. Zannetti, isn't it correct that you
23 did not get the exit velocity out of the modeling
24 files that you used in your analysis out of the
25 applicant's modeling files?

1 A Yes, I think that's what I said, that
2 they are using 20 meters per second and we used
3 about 14, 15 meters per second to take some
4 account on the fact that the start-up is different
5 from normal operating conditions.

6 Q Okay. So you created your own exit
7 velocity; is that correct?

8 A I changed the exit velocity to better
9 represent the physics of the phenomena.

10 Q And in addition you changed the
11 temperature.

12 A That is correct.

13 Q As well; is that correct?

14 A Using the same logic.

15 MS. LUCKHARDT: Thank you.

16 HEARING OFFICER GEFTER: Dr. Zannetti,
17 do you have any comments on a mitigation plan in
18 this project based on what you have heard today
19 and what you read in terms of the documents you
20 have looked at?

21 DR. ZANNETTI: Maybe yes. My comments
22 agree with this text I found on the web. They
23 say, EPA continues to discourage interpollutant
24 trading due to the scientific uncertainty of
25 acceptable pollutant trading ratios.

1 HEARING OFFICER GEFTER: This is what
2 you say in your report?

3 DR. ZANNETTI: Pardon?

4 HEARING OFFICER GEFTER: This is what
5 you say in your report?

6 DR. ZANNETTI: No, this is something
7 else that I am replying to your question. That
8 will be my opinion too, that I would really
9 discourage interpollutant tradings like reducing
10 SO2 to have benefit of PM10 within an area. That
11 really doesn't make sense to me.

12 MS. LUCKHARDT: I'm sorry, what
13 document are you referring to?

14 DR. ZANNETTI: I am referring to a web
15 page of comments of the EPA on interpollutant
16 tradings that I am using to answer a question.

17 HEARING OFFICER GEFTER: This is his
18 opinion and he is qualified as an expert.
19 Unfortunately, Dr. Zannetti, you have indicated to
20 us that you are not an expert on the regulatory
21 scheme under which we all are operating here. So
22 I think to some extent a lot of your observations
23 which may be scientifically based don't really fit
24 into the process under which we are operating. So
25 it is as if, you know, we are talking across

1 currents here.

2 At some point I had recommended that
3 Alameda County provide you with the FDOC and the
4 FSA and the AFC so that you could see, in fact,
5 what the Air District has required. Because the
6 Air District has required a number of conditions
7 which address a lot of your questions and they are
8 contained in the FDOC.

9 So any other questions of the witness?

10 DR. ZANNETTI: I would disagree with
11 you. After 35 years of study of air pollution I
12 am very familiar with all the issues related to
13 science.

14 HEARING OFFICER GEFTER: No, I am not
15 questioning your expertise.

16 DR. ZANNETTI: And regulations deal
17 with science. And interpollutant trading is
18 science, it's not just a regulation. So it is not
19 just picking up a number like 3 or 5.1, it has to
20 be justified.

21 Because you asked me a question and I
22 couldn't finish. The EPA says that the ratio will
23 be determined after adequate modeling, public
24 notice and EPA concurrence. No serious modeling
25 has been done or I have seen that would justify

1 three or five or ten or 100. It is an issue that
2 doesn't take into account the science of air
3 pollution.

4 HEARING OFFICER GEFTER: Thank you.
5 And I am not questioning your expertise. I was
6 just saying that in this context we are in a
7 regulatory program and there is a disconnect
8 somehow.

9 MR. MASSEY: Ms. Gefter, I recognize
10 that Dr. Zannetti is taking a different approach
11 to the same information and we thought it was a
12 valuable point of view that you should take into
13 consideration. Particularly because the applicant
14 has requested an override and that expands the
15 scope of the kind of issues that you need to
16 consider and the factors that will go into the
17 override balance in question.

18 And we think that Dr. Zannetti, in
19 addition to offering an important contribution to
20 the mitigation issues, also his testimony goes to
21 the ultimate override question as well in terms of
22 the weighing that the Commission will ultimately
23 have to do on the value of this project.

24 HEARING OFFICER GEFTER: I understand
25 and I really appreciate that also. And I did not

1 mean to undermine your testimony. I am just
2 explaining to the parties and also to the members
3 of the public how we are constrained by the
4 regulatory system.

5 MR. MASSEY: Thank you.

6 HEARING OFFICER GEFTER: Thank you.

7 Any other questions. Okay.

8 Dr. Zannetti, thank you very much.

9 DR. ZANNETTI: Thank you.

10 HEARING OFFICER GEFTER: Do you have
11 any redirect at this point?

12 MS. HOLMES: I do.

13 HEARING OFFICER GEFTER: Let's do it
14 before we break for lunch.

15 MS. LUCKHARDT: Do we get an
16 opportunity to ask questions of staff and the Air
17 District? I do have a few questions.

18 MS. HARGLEROAD: And I also had
19 mentioned that too.

20 HEARING OFFICER GEFTER: Yes, I know
21 that. Staff has some redirect of her witnesses
22 and then applicant and then Ms. Hargleroad and
23 then we'll break.

24 MS. HOLMES: Thank you. I will try to
25 keep it very short. My first two questions are

1 for the staff witness, Mr. Birdsall.

2 REDIRECT EXAMINATION

3 BY MS. HOLMES:

4 Q Mr. Birdsall, earlier this morning you
5 were asked questions about guidance that the Air
6 Resources Board has provided regarding permitting
7 of power plants in California. Do you recall that
8 line of questioning?

9 A Yes I do.

10 Q Is that guidance provided by the Air
11 Resources Board to the Energy Commission or Air
12 Districts or any other lead agencies to govern how
13 they deal with adverse impacts under CEQA?

14 A No, I view the environment or the
15 guidance or that the purpose of the guidance is to
16 provide guidance to permitting agencies in their
17 implementation of a new source review, which is
18 the responsibility of the local air district and
19 that the CEQA process would be separate.

20 Q Thank you. Secondly, there was
21 extensive discussion this morning regarding the
22 project's particulate impacts. Do you believe
23 that the project's impacts will be local, regional
24 or both with respect to particulate matter?

25 A Clearly they are both. The pollution

1 is transported.

2 MS. HOLMES: Thank you.

3 And I have a couple of questions of the
4 District.

5 REDIRECT EXAMINATION

6 BY MS. HOLMES:

7 Q There was discussion including some
8 discussion by the most recent witness regarding
9 the use of banked emission reduction credits.
10 Could you please briefly explain how allowing the
11 use of banked emission reduction credits, that is
12 shutdowns of sources that have happened in the
13 past, nonetheless allows for an air quality
14 improvement throughout the basin.

15 A Well every year we have to demonstrate
16 that our permit program has no net increase of
17 ozone precursors in particular. So we go through
18 that exercise and we do that every year to show
19 that the permit system has not allowed an increase
20 in ozone precursors.

21 There was a baseline, I forget the
22 exact year, I think it's 1991, and that was kind
23 of the zero year. Credits are put in and out and
24 there's a lot of confusion about it. But
25 basically what happens is when a project shuts

1 down we don't give them all of those emissions
2 that they had. So they only get a portion of them
3 based on what is reasonably available to control
4 those emissions. When the shutdown occurs they
5 don't get the whole delta, they get a portion of
6 it.

7 And then when a new project comes in
8 they have to provide a 15 percent surplus in
9 tonnage of emissions for ozone precursors. And so
10 15 percent of the tonnage is kind of taken off the
11 bank and that is not available for use by other
12 facilities.

13 And that is the simplest way I can
14 state it. And if Brian has anything to add I
15 would appreciate it.

16 MR. BATEMAN: Yes, I could add one
17 element to that. Banked emission reductions are
18 retained in the District's emissions inventory for
19 planning purposes. So the Air District is
20 required to prepare air quality plans.

21 I mentioned before that the District is
22 non-attainment for both state and federal ambient
23 air quality standards for ozone. So the emission
24 reductions of precursor organic compounds and NOx,
25 which are precursors to ozone formation, banked

1 emission reductions are retained in the plan. So
2 those excess emissions, if the District has to
3 achieve standards, have to come from other places.
4 There have to be additional emission reductions to
5 make up for those banked credits, in essence.

6 BY MS. HOLMES:

7 Q Thank you.

8 There are times, are there not, when
9 the District does require particulate matter
10 emission reduction credits?

11 A Under our current rules you would have
12 to emit over 100 tons a year and then you would
13 have to provide particulate emission reduction
14 credits.

15 Q When that kind of a requirement is
16 applicable to a project does the district
17 typically apply any kind of locational restraints
18 on those emission reduction credits?

19 A Our rules allow regional use of
20 credits.

21 MS. HOLMES: Thank you.

22 REDIRECT EXAMINATION

23 BY MS. HOLMES:

24 Q And then my last question goes to the
25 discussion that we just heard about the modeling

1 protocol for NO2 impacts. I believe, if I have it
2 correctly, the witness stated that if asked the
3 District would -- I don't want to mischaracterize
4 what he said, but agree that the approach that he
5 was referencing was better than the approach that
6 was used by the staff and the applicant. I was
7 wondering whether or not the District could talk
8 about how their modeling guidelines address
9 modeling NO2 impacts.

10 A First of all the Air District's rules
11 and regulations in this particular case did not
12 require an ambient air quality impact analysis for
13 NO2. And second, we have not reviewed in any
14 level of detail Dr. Zannetti's analysis. So I
15 really can't comment on that in terms of whether
16 or not it would conform with Air District modeling
17 guidance. We would need to take a look at that in
18 more detail.

19 Q Maybe I can just ask you a specific
20 question about that. Does any of the modeling
21 guidelines that you provide for NO2 modeling call
22 for modeling NO2 impacts in 15 minute increments?

23 A No, typically the averaging period for
24 the air quality models that we use, the regulatory
25 dispersion models, is one hour. However, if there

1 was a condition where the emissions within a one
2 hour period -- I think his main comments were on
3 the stack parameters, the exit velocity and the
4 temperature.

5 If during that one hour period the
6 conditions were such that the average temperature
7 or the average exit velocity during that period
8 might be something other than what it would be,
9 say at full load, then yes you would model it at
10 those, at those reduced conditions. That would be
11 the appropriate procedure to do that.

12 MS. HOLMES: Thank you.

13 HEARING OFFICER GEFTER: Ms. Luckhardt.

14 MS. LUCKHARDT: Okay, starting with
15 Mr. Birdsall.

16 CROSS EXAMINATION

17 BY MS. LUCKHARDT:

18 Q Isn't it true that your testimony does
19 not provide supporting calculations for the SO2 to
20 PM10 ratio you propose?

21 A The testimony is mainly a reflection of
22 the Russell City Energy Center testimony. It has
23 some elements that are -- this is Appendix A of
24 the air quality staff assessment. It has data
25 from ambient monitors that is, that is taken and

1 used in a ratio with itself. Meaning that the
2 data from the ambient monitors is essentially just
3 divided from one column to the next in order to
4 get at the ratio. So the calculation is very easy
5 to reproduce.

6 I think what I have heard from your
7 side of the table is that our analysis was not
8 transparent and not good science. And I have
9 reviewed Mr. Westbrook's testimony and he follows
10 a very similar path to arrive at what actually are
11 very similar conclusions when looking at the
12 Concord station and the San Pablo station and the
13 San Francisco station. Which I think are the
14 three locations that are most relevant to this
15 project.

16 So I don't think that the method of
17 analysis provided by Mr. Westbrook and myself or
18 the Russell City Energy Center decision, I don't
19 think the method is all that different.

20 Q But there are no calculations provided
21 in your testimony, correct?

22 A That's true, there are no calculations.
23 But the calculation is very simple, divide one
24 column from the next.

25 Q But it is not there, correct?

1 HEARING OFFICER GEFTER: Are we
2 referencing Air Quality Appendix 1 --

3 MS. LUCKHARDT: The FSA.

4 HEARING OFFICER GEFTER: -- at the end
5 of your section on air quality? This is a table
6 that you brought in from Russell City, apparently.

7 MR. BIRDSALL: Yes, in Air Quality
8 Appendix 1 there is simply a table, the
9 calculation is not explained. But I would be
10 happy to do that for you if you'd like.

11 MS. LUCKHARDT: Okay, turning to the
12 District. And I'll let you guys pick who should
13 respond.

14 CROSS EXAMINATION

15 BY MS. LUCKHARDT:

16 Q Is selective catalytic reduction the
17 best available control technology for NOx control
18 for this project?

19 A Yes, we determined that that is the
20 best available control technology.

21 Q Are you aware of the District's prior
22 use of SO2 for PM10 trades?

23 A I don't have an extensive background.
24 I know that it was done in the Russell City
25 proceeding and I know that the San Francisco

1 Electric Reliability project that has been brought
2 up also had interpollutant trading for SO2 for PM.
3 That's about my level of knowledge of it.

4 Q Are you aware of what ratio the
5 District has used in the past?

6 A I think as has already been established
7 in the record, the San Francisco project was three
8 tons of SO2 to one ton of particulate matter.

9 CROSS EXAMINATION

10 MS. LUCKHARDT: Thank you. I
11 understand that neither of you run the fireplace
12 retrofit program but isn't it true that providing
13 100 percent funding for a program such as this
14 encourages replacement of unused fireplaces?

15 MR. BATEMAN: I would assume that would
16 be true, yes.

17 HEARING OFFICER GEFTER: But we were
18 going to ask the parties, both applicant and
19 staff, to work with the Air District to locate
20 information on the existing program, as we
21 mentioned earlier.

22 MS. LUCKHARDT: Does the District's new
23 source review rule allow the use of emission
24 reduction credits from anywhere within the
25 district?

1 MR. LUSHER: I think that has been
2 stated in the record, yes it does.

3 MS. LUCKHARDT: When you are analyzing
4 projects that are not power plants do you perform
5 the CEQA analysis?

6 MR. BATEMAN: At times the lead agency
7 for CEQA is more typically a city or county
8 agency. But if the city or county does not have
9 approval over an aspect of the project then that
10 can fall to the Air District, yes.

11 MS. LUCKHARDT: Is the project setting
12 a new level for NOx impacts, NOx emission rate?

13 MR. LUSHER: Well on an emission rate
14 basis, other plants in California have tried to
15 meet the five PPM standard proposed for this
16 project and had some difficulty. But there is
17 also a facility in Nevada that appears to meet
18 that requirement so this is -- to my knowledge
19 there is the Nevada facility, which has emission
20 rates expressed in pound per hour that are
21 corresponding roughly to five PPM. And this would
22 be a new achievement practice back level for the
23 source category.

24 MS. LUCKHARDT: And then isn't it
25 correct that ammonia slip is tied to NOx control?

1 Nitrous oxides control, sorry.

2 MR. LUSHER: Yes it is. And it is also
3 tied to catalyst life. Because the applicant has
4 proposed a very low NOx limit I think they were
5 very conservative initially with 20 PPM ammonia
6 slip and now they are at 10.

7 And that being said, some of the data
8 that I have looked at from other facilities, we
9 usually see early in catalyst life very low slip
10 levels. And then just before they change it
11 you'll have a short period where the slip level
12 would approach the permit limit.

13 That being said, over the average
14 lifetime of the catalyst you are not going to be
15 emitting at ten PPM slip the entire time.

16 MS. LUCKHARDT: And would you rather
17 see a lower NOx level or a lower ammonia slip?

18 MR. BATEMAN: There are more stringent
19 regulatory requirements for NOx than there are for
20 ammonia so I think the answer to that question is
21 we would rather see NOx reductions than ammonia
22 reductions.

23 MS. LUCKHARDT: I have nothing further.

24 HEARING OFFICER GEFTER: Thank you.

25 Ms. Hargleroad.

1 MS. HARGLEROAD: I just have some quick
2 follow-up questions also.

3 RECROSS EXAMINATION

4 BY MS. HARGLEROAD:

5 Q To start off with, Mr. Birdsall, if you
6 could go your Table 20, 4.1-31. And that
7 reflects, that page says, the applicant in
8 conjunction with the Energy Commission and Bay
9 Area Air Quality Management staff identified the
10 following potential new sources within six miles
11 of the project. And listed is the, the first item
12 on the list is the Russell City Energy Center.

13 My question is, does this include the
14 daily start-ups and shutdown operations in Table
15 20 for Russell?

16 A Table 20 in my staff assessment shows
17 the combined cumulative effects of the Eastshore
18 power plant then the Russell City power plant and
19 the other new sources that you are asking about.
20 The Russell City modeling assessment does include
21 its short-term emission rates for the short-term
22 averaging periods. Meaning for carbon monoxide
23 one hour averaging period there would be the
24 short-term carbon monoxide emission rate from both
25 Eastshore and Russell.

1 Q Because presently Russell is authorized
2 to start up and shut down twice a day I believe;
3 is that correct?

4 A I couldn't say what it is authorized
5 to.

6 Q Well if it's authorized to do it isn't
7 that going to be relevant to your analysis as to
8 whether or not it is included in this table?

9 A The emissions from Russell during its
10 start-up phase happen on a short-term basis. For
11 example, like I was saying, the carbon monoxide.
12 And if those start-up emissions during its start-
13 up, whether it be once or twice a day, if those
14 are included in the analysis of the one hour
15 carbon monoxide concentration in Table 20 then it
16 doesn't matter if it starts more than once or
17 twice a day. We are assuming, basically, it is
18 starting every hour in that modeling assessment.

19 Q Okay. Additionally there is the toxic
20 air contaminants.

21 MS. HOLMES: Could you please reference
22 a page of the testimony.

23 BY MS. HARGLEROAD:

24 Q Well I'm just referring to the toxic
25 air contaminants. Can you tell me, is there a

1 complete inventory of the toxic air contaminant
2 levels in the Hayward area? Not just the ones
3 that the Bay Area Air Quality Management District
4 regulates but in general a total inventory.

5 A If you are asking about a total
6 inventory of toxic air contaminant emissions for
7 all of the sources in the Bay Area.

8 Q That exist now.

9 A I don't know. I am not preparing an
10 assessment on toxic air contaminant emissions in
11 this air quality section of the analysis.

12 Q Okay. So your analysis is going
13 towards new, additional, potential emissions.

14 A My analysis is focused on air quality
15 criteria pollutants and not toxic air
16 contaminants, which are addressed in public
17 health.

18 Q Okay.

19 A And yes, I am addressing new stationary
20 sources in this Table 20 that we are talking
21 about.

22 Q Also there is a predicted, the
23 localized generation of PM10 and PM2.5 impacts.
24 As far as the generation of that number and what
25 those impacts are, did you also include the

1 contribution of ammonia slip?

2 MS. HOLMES: Again, can you please
3 reference a page in the testimony to which you are
4 referring so that we can look, make sure we're
5 looking at the same numbers.

6 MS. HARGLEROAD: Well, the air quality
7 section.

8 MS. HOLMES: Right, which page?
9 There's a number of tables in there.

10 MR. BIRDSALL: Maybe if you rephrase
11 the question.

12 BY MS. HARGLEROAD:

13 Q Okay, thank you.

14 Well, we have a contribution. This
15 project is going to emit a certain amount of PM10
16 and PM2.5 impacts, is that correct? Right?

17 A Yes.

18 Q Okay. So in calculating what those
19 impacts are did you also include the contribution
20 of ammonia slip, which takes place with the
21 production of the energy?

22 A The ambient air quality impacts that I
23 have modeled in Table 20 do not include the
24 reactivity of ammonia slip and whatever secondary
25 pollutants may come of that.

1 Q Okay.

2 A In order to address those impacts we
3 mitigate the other precursors like sulfur oxides
4 and nitrogen oxides and go for essentially the
5 full PM10 mitigation in the AQ-SC8 and also
6 essentially require the lower ammonia slip
7 emission limit of ten PPM.

8 Q Also group petitioners submitted
9 Exhibit 705. I don't know if you have had an
10 opportunity to look at that.

11 A Maybe if you summarize it.

12 Q It's the emission factor documentation
13 for AP-42 section 3.2, natural gas-fired
14 reciprocating engines.

15 HEARING OFFICER GEFTER: Right, that's
16 the same as Mr. Sarvey's 802.

17 MS. HARGLEROAD: We missed a
18 duplication.

19 HEARING OFFICER GEFTER: Yes. So
20 Mr. Sarvey already asked a question about that.

21 MS. HARGLEROAD: Okay.

22 HEARING OFFICER GEFTER: I don't know
23 if you're repeating the same question.

24 MS. HARGLEROAD: All right. Well I'd
25 like to follow up on that.

1 BY MS. HARGLEROAD:

2 Q Can you tell me how many engines will
3 be tested. There are several engines in this
4 project.

5 A I think that information is in our
6 conditions of certification that come from the Air
7 District's requirements.

8 Q Is that maybe more appropriate for the
9 Air District to respond to?

10 A Yes, or we can all read together if we
11 go and find it in the conditions. It's up to you.

12 CROSS EXAMINATION

13 BY MS. HARGLEROAD:

14 Q Well I'll ask the Air District, they
15 might have the answer to that.

16 A Let me try to understand what you're
17 asking. It appears you're asking about what data
18 is available now for these engines.

19 Q Well no, my question is --

20 A Or how often do they get tested.

21 Q How many engines are going to be
22 tested?

23 A For particulate matter all 14 will be
24 tested one year out. Actually when they start up,
25 one year out and then it goes to a three year or

1 8700 hour schedule.

2 Q Okay.

3 A And all 14 are tested for particulate
4 matter. They will have continuous emission
5 monitors for nitrogen oxides and carbon monoxide
6 so that will be an ongoing thing. And there's
7 also requirements to test for organics and toxics
8 as well.

9 Q Well related to that also is will the
10 applicant be allowed to use the emission factors
11 or banking in lieu of a physical -- wait one
12 second. I take banking away. Will the applicant
13 be allowed to use emission factors in lieu of or
14 to waive a physical source test?

15 A We spell out the frequency of source
16 testing in the permit. The applicant will track
17 emissions using that source test data if that is
18 your question. But it doesn't get them out of a
19 source test, specifically.

20 Q Okay. So they --

21 A And if --

22 Q The source test, the physical source
23 test is going to be required regardless?

24 HEARING OFFICER GEFTER: Ms.

25 Hargleroad, let me interrupt here. If you look at

1 the FSA it incorporates all of the conditions from
2 the FDOC and they explain all the source testing
3 that the Air District requires. So if you take a
4 look you can ask the Air District specifically,
5 you know, condition by condition. But we can all
6 read them as well.

7 MS. HARGLEROAD: Okay, I'm going to --

8 HEARING OFFICER GEFTER: So the line of
9 questioning really isn't very helpful to the
10 record because we know where to find these
11 conditions.

12 MS. HARGLEROAD: Okay, thank you. I am
13 not sure if this is a question for staff or the
14 Air District but how many fireplaces will be
15 required to be retrofitted to satisfy the
16 mitigation goal?

17 MR. BIRDSALL: The mitigation goal has
18 two options, there is the fireplace program and
19 then there is the ERC surrendering that could be
20 used as an alternative to that. So the number of
21 fireplaces that need to be retrofit depends on
22 whether or not the applicant comes forward with
23 emission reduction credits.

24 MS. HARGLEROAD: Well going back to the
25 emission reduction credits. I understand the Bay

1 Area Air Quality District has testified that there
2 are some credits available, I believe that's
3 correct. And my question is, we also have the
4 Russell project out there too. And is that
5 assuming that the Russell project has not
6 purchased any or is that after the purchase of
7 credits for Russell?

8 HEARING OFFICER GEFTER: That may not
9 be within this witness's purview.

10 MR. BIRDSALL: It may be a question --

11 MS. HARGLEROAD: It may be the Air
12 District, that's why I pose it for either
13 organization.

14 HEARING OFFICER GEFTER: The Air
15 District could perhaps answer that question.

16 MR. LUSHER: All I can say is that all
17 credits that are available are on the web site in
18 the bank and both projects might be chasing
19 similar credits if that's the point you're trying
20 to make

21 MS. HARGLEROAD: Okay. So your
22 statement that there are presently credits
23 available does not take into consideration the
24 purchase that would be necessary for the Russell
25 project.

1 MR. LUSHER: Well I have no knowledge
2 of what Calpine has obtained or not obtained but
3 the available credits are on the web site.

4 HEARING OFFICER GEFTER: Do you have
5 many more questions.

6 MS. HARGLEROAD: Well, I don't think I
7 really got an answer to the fireplace, how many
8 fireplaces would have to be retrofitted.

9 HEARING OFFICER GEFTER: I think you've
10 asked that several times.

11 MS. HARGLEROAD: Well. Also the Bay
12 Area, the District -- Let me ask. You did issue a
13 Preliminary Determination of Compliance, correct?

14 MR. LUSHER: Yes, that's correct.

15 MS. HARGLEROAD: Okay. And aren't you
16 required to have a public hearing for that?

17 MR. LUSHER: Not to my knowledge.

18 HEARING OFFICER GEFTER: It is part of
19 the AFC process, they had workshops on it.

20 MR. LUSHER: There is a regulation 2-3.

21 HEARING OFFICER GEFTER: Right. No, I
22 don't think there is a problem with any of --

23 MR. BATEMAN: I'm sorry. We are
24 required to have a public comment period, we are
25 not required to have a public hearing.

1 HEARING OFFICER GEFTER: Right. And
2 there was a workshop that staff sponsored on air
3 quality.

4 MS. HARGLEROAD: Okay. And that is
5 satisfying your regulation 2-4-4-0-5?

6 MR. LUSHER: I'm sorry, I said the
7 wrong reg. That's the one that's power plants, I
8 apologize.

9 MS. HARGLEROAD: Okay, thank you.

10 MR. LUSHER: Yes.

11 HEARING OFFICER GEFTER: In the
12 meantime I would want to move all the air quality
13 exhibits into the record so I'm asking the parties
14 again to be ready to do that when you complete
15 your cross and recross.

16 MS. HARGLEROAD: I think that's all the
17 questions I have, thank you.

18 HEARING OFFICER GEFTER: Thank you.

19 I assume there is no more redirect or
20 recross going on here and we can move on to moving
21 the exhibits. Applicant.

22 MS. LUCKHARDT: Okay. Applicant moves
23 the air quality sections of the AFC, that's
24 Exhibit 1; the air quality and public health
25 sections of the Hayward application for

1 development permit, Exhibit 3; the air quality
2 sections of Exhibit 2; the air quality sections of
3 Exhibit 12; the air quality sections of Exhibit 6;
4 the cumulative air quality impact analysis
5 modeling files, that's Exhibit 11; the air quality
6 comments on the Preliminary Staff Assessment,
7 that's Exhibit 13; the project owner's
8 supplemental testimony on air quality, that's
9 Exhibit 15; and the project owner's -- well, I
10 think we'll hold off on public health.

11 HEARING OFFICER GEFTER: What about 20?
12 We talked about 20. I know it's traffic but you
13 also talked about it.

14 MS. LUCKHARDT: Yes, that is -- It is
15 part of Exhibit 20. The first bullet is the
16 modeling input, which was part of the AFC,
17 attached to the exhibits to the AFC, so that is in
18 Exhibit 1.

19 HEARING OFFICER GEFTER: Okay.

20 MS. LUCKHARDT: And we also have, at
21 some point we would like to move in the conditions
22 of certification. They are air quality conditions
23 associated with the two documents that were part
24 of our prehearing conference statement.

25 HEARING OFFICER GEFTER: Okay, we need

1 to give them some exhibit numbers if you would
2 like to do that.

3 MS. LUCKHARDT: Okay. The first
4 document was submitted with our prehearing
5 conference statement and it is the proposed
6 revisions to conditions of certification,
7 Eastshore Energy Center. It is the larger of the
8 two documents and contains revisions to conditions
9 in redline strikeout.

10 The second document is our errata to
11 Eastshore Energy Center's prehearing conference
12 statement dated November 20, the other one was
13 filed November 19. And the second document just
14 contains a modification to AQ-SC8.

15 HEARING OFFICER GEFTER: Okay, so as I
16 can follow what you're saying, the proposed
17 revisions to conditions would be Exhibit 53. The
18 errata to your prehearing conference statement, is
19 that what you're calling it?

20 MS. LUCKHARDT: Yes.

21 HEARING OFFICER GEFTER: Which is
22 Exhibit 54. And your modification of AQ-SC8 would
23 be Exhibit 55.

24 MS. LUCKHARDT: That is actually
25 contained in Exhibit 54.

1 HEARING OFFICER GEFTER: It's in 54?

2 MS. LUCKHARDT: Yes.

3 HEARING OFFICER GEFTER: Okay, so we'll
4 make two exhibits, right?

5 MS. LUCKHARDT: Yes.

6 HEARING OFFICER GEFTER: Okay. The
7 modification to AQ-SC8 is also part of Exhibit 54.
8 All right, so you're moving those in at this time.

9 MR. SARVEY: I object to Exhibit 11.

10 HEARING OFFICER GEFTER: I'm sorry.

11 MR. SARVEY: I object to Exhibit 11.

12 MS. LUCKHARDT: You object to the
13 cumulative air quality impact analysis modeling
14 files?

15 MR. SARVEY: Yes I do.

16 HEARING OFFICER GEFTER: And on what
17 basis is that?

18 MR. SARVEY: I have requested these
19 files twice from the applicant and they have given
20 me some unaccessible e-mail address. I have
21 requested them from Dockets three times. I have
22 all the documentation right here. They are not --
23 As far as I'm concerned I haven't had the ability
24 to review them.

25 HEARING OFFICER GEFTER: Okay, we'll

1 ask the applicant to provide them to you again; in
2 the interim we will accept the exhibits. Are
3 there any other objections?

4 MS. LUCKHARDT: Yes, we actually set
5 them up for Mr. Sarvey to download. He asked for
6 additional instructions, we provided them and
7 heard nothing further so I assumed he was able to
8 download them.

9 HEARING OFFICER GEFTER: Okay, well
10 that can be worked out between the applicant and
11 Mr. Sarvey. Are there any other objections to the
12 applicant's exhibits?

13 Hearing none, all of the exhibits that
14 applicant has identified regarding air quality are
15 now received into the record. Staff.

16 MS. HOLMES: I thought we had already
17 moved in the FSA.

18 HEARING OFFICER GEFTER: Okay.

19 MS. HARGLEROAD: And the PSA, which
20 were Exhibits 200 and 202. But at this time I
21 would also like to move in the Final Determination
22 of Compliance, which is Exhibit 201.

23 HEARING OFFICER GEFTER: I assume there
24 are no objections to the FDOC, Exhibit 201.

25 Hearing none that exhibit is moved into

1 the record.

2 City of Hayward, you didn't have any
3 air quality exhibits.

4 MS. GRAVES: No.

5 HEARING OFFICER GEFTER: Okay. Alameda
6 County, you had a number of exhibits on air
7 quality, do you want to move them now?

8 MR. MASSEY: I believe we only had two,
9 Exhibits 500 and 501, 500 being Dr. Zannetti's
10 testimony and 501 is an accompanying declaration.

11 THE REPORTER: Please pass him the mic.

12 HEARING OFFICER GEFTER: I'm sorry,
13 please repeat that for the record.

14 MR. MASSEY: The only air quality
15 exhibits the County had were exhibits 500 and 501.
16 Exhibit 500 is the testimony of Dr. Zannetti and
17 Exhibit 501 is his accompanying declaration and
18 r, sum, .

19 HEARING OFFICER GEFTER: Any objections
20 to Exhibits 500 and 501?

21 Hearing none those exhibits are now
22 received into the record.

23 MS. HARGLEROAD: Are we going to be --

24 HEARING OFFICER GEFTER: Let's finish
25 this first and then I'll take your question.

1 Okay. In fact, Ms. Hargleroad, we are
2 now on your exhibits. So if you would like to
3 move your exhibits on air quality.

4 MS. HARGLEROAD: Yes I would, please.

5 HEARING OFFICER GEFTER: Do you want to
6 identify which ones you are moving right now.

7 MS. HARGLEROAD: Yes, that's 705. Just
8 705.

9 HEARING OFFICER GEFTER: Okay. And
10 that was the same exhibit as Mr. Sarvey's 802.
11 It's a public document, it's a US EPA document.
12 There shouldn't be any objection to that, even
13 though nobody has actually verified it except for
14 Mr. Birdsall. But in any event we will take
15 notice of that and accept it into the record,
16 Exhibit 705.

17 And Mr. Sarvey, move your exhibits.

18 MR. SARVEY: Yes, I move Exhibits 800
19 to 806, please.

20 HEARING OFFICER GEFTER: Okay. And
21 we'll note that 802 is the same as 705.

22 What about 806, your proposed
23 condition. Do you want to move that in?

24 MR. SARVEY: Yes, please.

25 HEARING OFFICER GEFTER: Thank you.

1 All right. I know there are a number
2 of technical objections to Mr. Sarvey's exhibits,
3 however, we are going to accept them because
4 Mr. Sarvey has identified them and we have heard
5 his testimony. So we'll just take his exhibits
6 and give them the weight that they are due for the
7 purposes of this hearing.

8 Okay, Mr. Sarvey, thank you very much.
9 You're welcome to stay. I know that you've
10 completed your testimony but please stay if you
11 have any other insights for us today.

12 PRESIDING COMMISSIONER BYRON:

13 Mr. Sarvey, I notice you're a long ways away from
14 the rest of us. I'm not sure if it's the
15 microphone, the only microphone over there that
16 works or if it's a quarantine but thank you for
17 your participation. (Laughter)

18 MR. SARVEY: Thank you, Commissioner
19 Byron.

20 HEARING OFFICER GEFTER: So at this
21 point we're going to break for our lunch break and
22 be back I guess, by 2:30 if we can, or as soon as
23 possible thereafter and then we're going to start
24 with the public health testimony.

25 PRESIDING COMMISSIONER BYRON: And I

1 also wanted to thank Messrs. Bateman and Lusher
2 for being here. Extremely helpful in answering
3 many of our questions today. Thank you,
4 gentlemen, for your time.

5 HEARING OFFICER GEFTER: Thank you very
6 much. Off the record.

7 (Whereupon, the lunch recess
8 was taken.)

9 --oOo--

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1

PETERS SHORTHAND REPORTING CORPORATION (916) 362-2345

1 AFTERNOON SESSION

2 HEARING OFFICER GEFTER: Let's get
3 started. I am going to ask the applicant to begin
4 with your public health testimony. Identify your
5 witnesses please and we'll swear them in.

6 MS. LUCKHARDT: Okay. The witnesses
7 have already been sworn.

8 But before we do that I just want to
9 note that Dave Stein is delivering a copy of the
10 cumulative modeling files that Mr. Sarvey
11 requested to him on disc right now.

12 HEARING OFFICER GEFTER: Well thank you
13 very much. Mr. Sarvey, there you go.

14 MS. LUCKHARDT: We will be calling Dave
15 Stein and James Westbrook to testify in the area
16 of public health. I will start with Mr. Westbrook
17 since he is sitting here.

18 DIRECT EXAMINATION

19 BY MS. LUCKHARDT:

20 Q Was a statement of your qualifications
21 attached to your testimony?

22 A Yes it was.

23 Q And does your testimony --

24 HEARING OFFICER GEFTER: Wait a minute,
25 one more thing. If you could please identify the

1 exhibits, especially the testimony with respect to
2 public health.

3 MS. LUCKHARDT: Okay, with respect to
4 public health we are offering Exhibit 19, which is
5 the supplemental testimony. We are also offering
6 the public health section of the AFC, which is
7 Exhibit 1, the public health section of Exhibit 3,
8 the public health section of Exhibit 2, the public
9 health section of Exhibit 12, Exhibit 6, and
10 Exhibit 19, which I have already identified.

11 HEARING OFFICER GEFTER: Thank you.

12 MS. LUCKHARDT: Those are the exhibit
13 numbers. And those are all identified on
14 Mr. Westbrook's testimony on Exhibit 19.

15 BY MS. LUCKHARDT:

16 Q Mr. Westbrook, do you have any
17 corrections to your testimony at this time?

18 A No.

19 Q Insofar as your testimony contains
20 statement of fact are those facts true and correct
21 to the best of your knowledge?

22 A Yes.

23 Q Insofar as your testimony contains
24 statements of opinion do they represent your best
25 professional judgment?

1 A Yes.

2 Q And do you now adopt all these exhibits
3 as your sworn testimony?

4 A Yes I do.

5 MS. LUCKHARDT: Okay.

6 DIRECT EXAMINATION

7 BY MS. LUCKHARDT:

8 Q And then Mr. Stein, were you
9 responsible for preparation of the AFC?

10 A Yes.

11 Q And did you provide peer review of the
12 public health section?

13 A Yes I did.

14 FURTHER DIRECT EXAMINATION

15 BY MS. LUCKHARDT:

16 Q And Mr. Westbrook, can you explain why
17 you believe AQ-24 protects public health.

18 A Yes. AQ-24 protects public health
19 because it requires a representative source test
20 on a single engine for the compounds stated in the
21 condition, which are the compounds which are of
22 the most concern to health risk impacts. And the
23 results of the tests we would expect to be much
24 lower than the conservative emission estimates
25 based on default emission factors that were

1 provided in the application for certification.

2 Q And what is your concern with the
3 condition of certification in public health?

4 A Staff have recommended a source testing
5 program that is fairly extensive. And while we
6 appreciate staff's consideration of the different
7 sources of emission factors and what is
8 characterized as uncertainty in the emissions data
9 we feel that the amount of testing required is
10 unreasonable and unnecessary.

11 We share the confidence, as I just
12 stated, that the actual emissions will be much,
13 much, much lower for this engine that is burning
14 clean, natural gas. These emissions of toxic
15 compounds that are trace constituents from that
16 combustion, we believe that the tests will show
17 that the results are much lower.

18 So we would stay consistent in our
19 recommendation of what the District has proposed.
20 However, we would add a level of stringency in
21 that if the source test methodology of testing one
22 engine in triplicate, because the District
23 requires three test runs for each test, if that
24 does not provide three valid test runs then we
25 would select another engine. And we would keep

1 selecting engines until we get three valid test
2 runs for all the compounds for all three runs on
3 each engine.

4 Q Thank you.

5 A One more -- I'm sorry, one more concern
6 with the testing requirement for acrolein. The
7 District does not have a appropriate method for
8 acrolein at this time and therefore we would
9 propose the acrolein testing not be required under
10 Public Health-1 consistent with District policy.

11 MS. LUCKHARDT: Our witnesses are
12 available.

13 HEARING OFFICER GEFTER: Okay, thank
14 you very much. I am going to ask the staff to
15 present its witness too and then make both
16 witnesses available for cross.

17 MS. HOLMES: The staff's witness is
18 Dr. Alvin Greenberg, he needs to be sworn.

19 HEARING OFFICER GEFTER: State your
20 name, please.

21 DR. GREENBERG: Alvin Greenberg.
22 Whereupon,

23 DR. ALVIN GREENBERG
24 was duly sworn.

25 HEARING OFFICER GEFTER: Thank you.

1 Proceed.

2 DIRECT EXAMINATION

3 BY MS. HOLMES:

4 Q Dr. Greenberg, did you prepare the
5 public health sections of Exhibit 200, which is
6 the FSA, and Exhibit 202, which is the PSA?

7 A Yes I did.

8 Q And was a statement of your
9 qualifications included with Exhibit 200?

10 A Yes it is.

11 Q Do you have any corrections to make to
12 that testimony?

13 A No I do not.

14 Q Are the facts contained in that
15 testimony true and correct to the best of your
16 knowledge?

17 A Yes they are.

18 Q And do the opinions contained in that
19 testimony reflect your best professional judgment?

20 A Yes they do.

21 Q Could you please provide a brief
22 summary of your analysis.

23 A Yes I will. You asked me to provide a
24 very brief summary of my qualifications. Just to
25 point out a few salient features, besides

1 receiving a PhD from the University of California
2 San Francisco Medical Center I served as Assistant
3 Deputy Chief for health with Cal-OSHA in the Jerry
4 Brown administration. I was appointed then by
5 Jerry Brown when he was Governor to the Cal-OSHA
6 Standards Board.

7 I have served as a member and Chairman
8 of the Bay Area Air Quality Management District
9 Hearing Board and I have been a consultant to the
10 Energy Commission since 1993. I am the author of
11 over 100 human health risk assessments and I have
12 reviewed and evaluated over 100 air toxics health
13 risk assessments for the Office of Environmental
14 Health Hazard Assessment.

15 I have served on many advisory
16 committees for both state and federal governmental
17 agencies, two of which are most relevant, one
18 being the California EPA advisory committee on
19 stochastic human health risk assessment methods
20 and the US EPA work group on cumulative risk
21 assessment. That's the short version.

22 Q Could you please summarize your
23 testimony.

24 A I think the hearing officer and the
25 Commissioner are aware of the differences between

1 air quality assessment and public health
2 assessment. Public health addresses toxic air
3 contaminants. Air quality, which was heard this
4 morning, addresses the criteria air pollutants for
5 which there are national ambient air quality
6 standards.

7 When addressing toxic air contaminants
8 in the State of California one follows a
9 methodology to produce a human health risk
10 assessment. I conducted an independent analysis
11 using the 2003 guidelines from the Office of
12 Environmental Health Hazard Assessment and using
13 emission factors recommended by the California Air
14 Resources Board.

15 Just as an aside, the Bay Area Air
16 Quality Management District also conducted a
17 separate and independent analysis.

18 One of the reasons that we use a
19 standardized methodology is so that when I am
20 talking to you about human health risks from a
21 proposed power plant in Chula Vista or the Bay
22 area or anywhere else in the state you have the
23 confidence of knowing that I used the same
24 methodology. And we use the same databases, the
25 same toxicity factors from Cal-EPA, so that you

1 can compare and contrast any risks or hazards from
2 these various proposed power plants.

3 The other reason is that California
4 methodology has embedded in it a certain level of
5 what we call conservatism in that it is health
6 protective. It tends to overestimate the health
7 risks. Not that we want to overestimate the
8 health risks but what we want to do is assure
9 ourselves that we are not underestimating the
10 health risks.

11 So when I tell you that there is a
12 certain risk of cancer or a certain hazard
13 associated with non-cancer impacts, these are
14 overestimations. There is conservatism built in
15 there. Conservatism in the air dispersion models,
16 in the toxicity values that come from Cal-EPA
17 where there are safety factors to ensure that we
18 are protective of the most sensitive members of
19 our population, what we can sensitive receptors.
20 These include the very young, the elderly, those
21 with preexisting medical conditions.

22 I also looked besides at the 14
23 Wartsila engines burning natural gas. I also
24 looked at the emergency diesel generator and added
25 in those results because that emergency diesel

1 generator has to be tested a certain number of
2 hours each year to make sure that it is able to
3 provide emergency power should it be needed.

4 If you refer to Public Health Table 4
5 on page 4.7-13 of Exhibit 200 you will see a
6 comparison between what the AFC calculated, or
7 estimated rather as a health risk, and what I
8 estimated as a health risk. And you will see in
9 all cases that they are below the applicable
10 significant threshold. For cancer risk the
11 threshold is ten excess cancers in a million,
12 utilizing toxics best available control
13 technology.

14 For a chronic hazard index or an acute
15 hazard index. This is the assessment of the non-
16 cancer toxicological end points such as
17 respiratory disease or liver disease or
18 cardiovascular disease, the threshold is 1.0 and
19 these values are all less than one, indicating
20 that I do not predict that there would be any non-
21 cancer health impacts in the population in the
22 area.

23 Turning now to Public Health Table 7 on
24 page 4.7-17. I also conducted a cumulative risk
25 assessment of considering emissions from both the

1 Eastshore Energy Center and the Russell City
2 Energy Center. And again that table shows that
3 the cumulative impacts are still below a level of
4 significance with a cancer risk being 3.9 in a
5 million, a chronic hazard index of .11, an acute
6 hazard index of .40.

7 I also identified what I would term
8 mitigation monitoring as being necessary to ensure
9 the protection of public health. This is
10 reflected in staff's Proposed Condition of
11 Certification, Public Health 1. And as the
12 applicant just mentioned, this is slightly more
13 stringent than the Air District's requirements in
14 the FDOC, the Final Determination of Compliance,
15 for conducting actual source tests.

16 This would also require the applicant,
17 at this point it would be the project owner if
18 this project is indeed licensed, to prepare a new
19 health risk assessment based on the monitoring,
20 the source testing of the stacks.

21 I believe that this mitigation
22 monitoring is necessary and appropriate for two
23 simple reasons. One, there is a great deal of
24 public concern about the impacts on public health
25 and I think that we need to assure the public that

1 the emission factors that I used and that the
2 applicant used and that the Air District used were
3 indeed conservative. That we were overestimating
4 the emissions and overestimating the risks. So
5 this is very important for this.

6 The second reason, and I have to walk a
7 very fine line here. While I have confidence in
8 the use of the surrogate emission factors from the
9 California Air Resources Board database that we
10 are pretty much directed by state guidelines to
11 use, the emission factor database doesn't contain
12 emission factors for these very exact engines,
13 these precise engines, using the pollution control
14 equipment that these engines will have.

15 That means that in comparison to other
16 projects where we have gas turbines and we use
17 surrogate emission factors I have slightly less
18 degree of confidence in the emission factors. A
19 little bit more uncertainty. Not enough
20 uncertainty to reject the emission factors from
21 the California toxic emission factor database
22 that's run by Air Resources Board, but enough to
23 ensure that the values that I used in my risk
24 assessment were either accurate or overestimated
25 the emissions and hence the risks.

1 So I would urge you to adopt this
2 particular condition of certification. What it
3 does is it starts out with a requirement that they
4 test four engines, not one engine but four engines
5 out of the 14.

6 And that if the emissions of toxic air
7 contaminants from these four engines fall within a
8 range such that there are no outliers in the
9 result they're done testing. If it turns out that
10 for one or two toxic emission -- emissions rather
11 of toxic air contaminants it falls out of a
12 certain range, then they'll have to test another
13 group of four.

14 Also these four engines they test first
15 need to be randomly chosen. There is some
16 variation. And testing just one, in my view,
17 doesn't give you the needed level of assurance
18 that that is going to be reflective of all 14.
19 Testing four gives you a much better level of
20 confidence that you're not going to find one
21 engine that is going to go completely different.
22 It is different and the applicant has questions
23 about that but I believe that that is an
24 appropriate mitigation monitor.

25 The bottom line, my conclusions are the

1 Eastshore Energy Center, if certified and
2 operated, will not cause a significant risk to
3 public health and will not cause a significant
4 risk to even the most sensitive members of our
5 population.

6 Q Dr. Greenberg, in your FSA did you
7 respond to public comments and concerns?

8 A Yes I did.

9 Q Could you very briefly please summarize
10 how you responded to those.

11 A Is that less brief than my --
12 Members of the public raised a number
13 of concerns on public health, one of which
14 concerned the emission factor of a particular
15 substance known as acrolein.

16 By the way as an aside, you will often
17 hear the mispronunciation of acrolein as acrolein.
18 Let's accept both. But it is proper to call it
19 acrolein according to the International Union of
20 Pure and Applied Chemistry. But I may be the only
21 organic chemist here so we'll let the
22 mispronunciations go.

23 The emission factor for acrolein varied
24 between the California Air Resources Board
25 database and the US EPA database. Now I attempted

1 to address some of this uncertainty in the risk
2 assessment.

3 In Public Health Table 6 on page 4.7-14
4 where I ran the risk -- I calculated the risks
5 with the mean values with the oxidative catalyst
6 providing a reduction, the mean values with the
7 oxidative catalyst not even present, and then the
8 maximum values from the California toxic emission
9 factor database with the oxidative catalyst
10 running. And as you can see once again, while
11 there are some differences they are still all
12 below the levels of significance.

13 Now I would caution you about using an
14 emission factor for acrolein from another source
15 such as the US EPA AP-42 tables. The reason I
16 would caution you is two-fold. I spoke with the
17 Air Resources Board staffer who is basically in
18 charge of the California database. And it is his
19 opinion that the emission factors for acrolein
20 from US EPA or California are based on the same
21 methodology. And that the methodology, both have
22 both of them. Therefore the numbers are as good
23 as the other and does not recommend that I use
24 another number from another agency.

25 The second reason is, and I don't mean

1 to disparage anybody who makes the suggestion, but
2 in a way a sort of cherry picking data. If you
3 want to use US EPA data then you should use all US
4 EPA data, not just for one substance. You should
5 also use their toxicity values.

6 Well, there would not be any ability to
7 conduct an analysis of the acute, the short-term
8 impacts of acrolein using EPA data because they
9 don't have an acute reference exposure limit.
10 California EPA does. So basically what has been
11 suggested is, let's take some data from US EPA,
12 let's take some data from Cal-EPA. Maybe we'll
13 take some data from the state of Massachusetts or
14 from Sweden. I am aware of toxicity factors that
15 differ around the world.

16 We are here in California and quite
17 frankly I am required to use California values
18 unless the agency that I rely on in Cal-EPA, the
19 Air Resources Board or the Office of Environmental
20 Health Hazard Assessment tells me that their
21 values are no good, use somebody else's. So we
22 want to be consistent so I use California values.
23 And these are the values that use and I've tried
24 to explain that to the public. That no matter how
25 I look at it using California values and toxicity

1 values that there still is no impact.

2 Interestingly, since writing the PSA
3 and since publishing the FSA the Office of
4 Environmental Health Hazard Assessment has decided
5 that the toxicity value for acrolein, which is
6 0.19 micrograms per cubic meter of air, that's the
7 reference exposure level below which no impact is
8 predicted, has put out for public comment a
9 revision up to 2.3 micrograms per cubic meter.

10 Now I have not included that difference
11 which would make the hazard index drop even
12 further. What they are saying is that it is more
13 than ten times less toxic to humans. I've kept in
14 the .19 number and my air dispersion modeling and
15 risk assessment calculations show that the maximum
16 one hour concentration of acrolein at the point of
17 maximum impact would be .05 micrograms per cubic
18 meter. So if you compare that to the Cal-EPA new
19 number of 2.3 micrograms you can see how much less
20 .05 micrograms per cubic meter is. And it is
21 still less than .19 micrograms per cubic meter.

22 Nevertheless I still think it is
23 important that we have mitigation monitoring and
24 the source testing will confirm, or hopefully will
25 confirm, that the emissions of acrolein are going

1 to be less than even what I have used in my risk
2 assessment.

3 There also was concern raised and there
4 was a brief discussion under air quality about the
5 possible carcinogenicity of PM2.5. Does it cause
6 cancer in and of itself, by itself, as opposed to
7 constituents within PM2.5?

8 What I can say to that and what I did
9 say in my FSA section is that there are several
10 articles that tend -- that show that there is a
11 relationship between airborne PM2.5 in cities, in
12 urban air, and increase in lung cancer. But it
13 doesn't say what type of PM2.5 or what the source
14 is.

15 In fact, when I review those articles
16 and I review the emissions data in the South Coast
17 Air Quality Management District and the North
18 Coast Air Quality Management District and airborne
19 concentrations predicted as a result of those
20 efforts to locate sources, in my professional
21 opinion the association between PM2.5 and cancer
22 track very nicely with diesel particulate matter
23 in the air being the causative agent of those
24 increase in cancer.

25 Nevertheless, even if I thought that

1 PM2.5 was a carcinogen in its own right I could
2 not assess it because we do not have it identified
3 as a carcinogen, either by Cal-EPA or US EPA.

4 US EPA in 2005 published 166 pages
5 entitled their Carcinogen Identification Policy.
6 If you are with US EPA and you want to get
7 something identified as a carcinogen you have to
8 go through that. It talks about the strength of
9 the evidence and the weight of the evidence and
10 how good the studies are.

11 The California process, there is a
12 carcinogen identification committee. And it must
13 go through them, it must go through the scientific
14 review panel and then it must go out for public
15 comment and then it comes back. So we have a
16 system that works very well and very efficiently
17 that has not yet identified that as a carcinogen.

18 But lest you think that I am not
19 addressing cancer-causing substances associated
20 with PM2.5, I am and so has the District and so
21 did the applicant. Because again it is my
22 professional opinion that the cancer-causing
23 substances from a natural gas-fired power plant
24 would consist of the polycyclic aromatic
25 hydrocarbons that are adsorbed to the surface of

1 particulates.

2 And this is not just my theory or
3 professional opinion but there is an example in
4 the scientific literature that I do cite in my
5 final staff assessment. I believe the Air
6 District also alluded to that earlier. So we are
7 addressing the cancer potential of what is emitted
8 from the facility.

9 MS. HOLMES: Thank you.

10 HEARING OFFICER GEFTER: I just wanted
11 to tell the reporter that Dr. Greenberg could
12 spell some of those words for you later in case
13 you didn't follow him.

14 DR. GREENBERG: But I did avoid all the
15 abbreviations.

16 HEARING OFFICER GEFTER: Yes, you
17 didn't say PAH.

18 Okay, I have a question. Again this
19 has been raised by members of the public in many
20 of their comments regarding the dispersion of
21 toxic air contaminants. And in your testimony in
22 the FSA you indicate the location of the point of
23 maximum impact. And I thought maybe you could
24 explain that again on the record to those members
25 of the public who are here right now.

1 DR. GREENBERG: Yes. The air
2 dispersion model does predict a point of maximum
3 impact, which for both chronic, non-cancer health
4 impacts and for cancer impacts appears to be maybe
5 50 yards to the east in a parking lot. And the
6 location for the maximum acute impacts would be
7 just on the north end of the facility fence line.

8 Regardless of whether or not an
9 individual could possibly live their entire 70
10 year life at the point of maximum impact, which
11 quite frankly is a physical impossibility, we
12 nevertheless use that as our measuring stick of
13 what is acceptable or what is not.

14 Now the risks to anybody located any
15 distance away drop off dramatically. One hundred
16 feet, a block, two blocks, three blocks. We don't
17 even go out as far as a mile because the risks
18 drop off so greatly after that.

19 But that is the standard that we use
20 and when we use it consistently once again we know
21 that we can compare risk assessments around the
22 state but we also are assured that we are not
23 underestimating the risk or the hazard to anyone.

24 HEARING OFFICER GEFTER: And with
25 respect again to how far out the health risk

1 assessment looks in terms of a radius and then
2 connecting that with the air quality analysis and
3 also the EJ analysis. I wonder if you could
4 explain that as well.

5 DR. GREENBERG: Well I am not sure,
6 Hearing Officer Gefter, that I understand your
7 question.

8 HEARING OFFICER GEFTER: There is a six
9 mile radius, apparently, in the EJ-air quality
10 analysis. Is that something you are familiar
11 with?

12 DR. GREENBERG: Yes I am. In the human
13 health risk assessment we only go, really we look
14 at the point of maximum impact. We sometimes
15 would put in a specific receptor location such as
16 a school or a hospital. In this case I did not
17 because the risks were so very, you know, below
18 the level of significance at the point of maximum
19 impact. What I can tell you is that, once again,
20 you go out further, the risks are less than what
21 you see there in -- let me get the table right.
22 Less than what you see in Public Health Table 4.

23 HEARING OFFICER GEFTER: At this point
24 are you done with your direct?

25 MS. HOLMES: (Nodded)

1 HEARING OFFICER GEFTER: Okay, I am
2 going to then open the questioning up for cross
3 examination by the parties. And this time I am
4 going to start with the City of Hayward and then
5 go back the other way. So City of Hayward first
6 for cross examination on public health.

7 MS. GRAVES: We have no questions.

8 HEARING OFFICER GEFTER: All right.
9 Alameda County?

10 MR. MASSEY: No questions.

11 HEARING OFFICER GEFTER: Okay.
12 Ms. Hargleroad, group petitioners on public
13 health.

14 CROSS EXAMINATION

15 BY MS. HARGLEROAD:

16 Q Let me ask if you had an opportunity to
17 review the group petitioners' prehearing
18 conference statement. Did you review that at all?

19 A Yes I did.

20 Q Okay. And it sounded as you may have.
21 So can you tell us though about in looking at the
22 background, the existing conditions for this area,
23 there is also the interchange of 880 and Highways
24 92. You're familiar with that?

25 A Yes I am.

1 Q Okay. And that this project is
2 extremely close also to that location.

3 A Define extremely.

4 Q Define extremely. I think it's -- I
5 would say less than a mile.

6 A I'd say that it's close, not extremely.

7 Q Close. It's close, okay.

8 A Whenever you use an adjective you get
9 trouble with an expert witness.

10 Q Okay, all right. So there is a toxic
11 air contaminant background level, is that correct?

12 A Background for the entire Bay Area,
13 yes.

14 Q Okay. And does that include that
15 interchange of Highway 880 and 92?

16 A Yes it would.

17 Q Okay. So your staff report in the
18 background includes an analysis of the existing
19 toxic air contaminants.

20 A For the San Francisco Bay Area, yes.

21 Q And the San Francisco Bay Area is
22 defined as?

23 A Nine Bay Area counties within the Bay
24 Area Air Quality Management District.

25 Q Okay. And does the toxic air

1 contamination level vary among the counties?

2 A To a certain extent there is some
3 variation, yes.

4 Q And do we know what the toxic air
5 contamination level is within a one to two mile
6 radius of the proposed location for this plant?

7 A I do not know because I am not aware
8 that there is a toxic air contaminant monitoring
9 station from any entity at all within one mile of
10 the proposed location.

11 Q And where is the closest toxic air
12 contamination monitoring station?

13 A Well as I state on page 4.7-4 at the
14 top of the page, there are three locations in
15 Oakland, one in San Leandro and one in Fremont and
16 those would be the closest ones.

17 Q So Oakland and Fremont?

18 A And San Leandro.

19 Q And San Leandro, okay.

20 Going to -- Did you have an opportunity
21 to review the group petitioners' supplemental or
22 amendment to our exhibit list?

23 A Is that the one I just got Saturday?

24 Q It might be. It's the amendment.

25 A Please ask the --

1 Q It was docketed.

2 A Please ask the question.

3 Q It was docketed last week.

4 A Please go ahead and ask the question
5 and if I haven't reviewed it I'll let you know.

6 Q Well it has a list of various articles,
7 scientific journals and articles about acrolein
8 and the cancer --

9 HEARING OFFICER GEFTER: Ask the
10 question, please.

11 BY MS. HARGLEROAD:

12 Q On page 4.7-11 of the Final Staff
13 Assessment there is an indication that inhalation
14 cancer is not associated with acrolein exposure;
15 is that correct?

16 A That is correct.

17 Q Okay. And are you familiar with the
18 study that is in Exhibit 719 which is entitled --
19 a scientific journal article, Acrolein is a Major
20 Cigarette-Related Lung Cancer Agent?

21 A Yes, I am familiar with that article.

22 Q Okay. So if you are familiar with that
23 article how can you be sure that acrolein exposure
24 does not create a significant cancer hazard?

25 A As I explained in my direct testimony,

1 I am bound by certain regulations that require me
2 to consider carcinogens that have been identified
3 through a very rigorous scientific process either
4 in Cal-EPA or in US EPA. Neither of those
5 agencies have indicated that either acrolein is a
6 known or potential human carcinogen or have given
7 me a potency slope on which I can calculate a
8 human health risk assessment.

9 Furthermore in reviewing that article I
10 note that it is not considered in that article a
11 direct acting carcinogen but rather a promoter.
12 That means there is a different mechanism of
13 action and a different type of what we call cancer
14 risk assessment if it turns it is indeed a
15 promoter and it would come up with a potency slope
16 that might be different if it were a direct acting
17 carcinogen.

18 It certainly is beyond my expertise.
19 And I've got a lot of expertise but I don't have
20 this expertise to calculate my own cancer potency
21 factor. And I really wouldn't be allowed to do so
22 even if it were within my area of expertise.

23 Q So basically your testimony is
24 somewhat, I don't want to use the verb controlled
25 or regulated, but limited to those elements which

1 have been officially or formally recognized. Is
2 that correct?

3 A I'd say that is a fair
4 characterization. That we do have a process in
5 California, we have a process in the United
6 States, and for better or for worse we have to let
7 that process work. As I have stated in the Final
8 Staff Assessment, I do rely on the very excellent
9 scientists at Cal-EPA to provide certain
10 toxicological information.

11 Q Well my question though is, what
12 happens when there is research that Cal-EPA may be
13 investigating but may not have officially or
14 formally recognized yet? Does that mean that is
15 simply, that new research or science is ignored
16 until it is officially recognized?

17 MS. LUCKHARDT: I have an objection to
18 this question. In my experience the Energy
19 Commission does not set new health standards.
20 These types of issues have been argued in numerous
21 cases before. The Energy Commission has
22 consistently found that a siting it is not the
23 location to set or discuss or evaluate new health
24 standards.

25 MS. HARGLEROAD: I am simply --

1 HEARING OFFICER GEFTER: Your objection
2 is sustained.

3 MS. HARGLEROAD: Can I reply before you
4 sustain her objection?

5 HEARING OFFICER GEFTER: You may
6 respond.

7 MS. HARGLEROAD: And that simply is I
8 am attempting to examine Dr. Greenberg on his
9 opinion and the limitations of his opinion. So I
10 think that that should be relevant. It is
11 unfortunate that whatever --

12 HEARING OFFICER GEFTER: I believe that
13 Dr. Greenberg has already answered your question
14 previously.

15 BY MS. HARGLEROAD:

16 Q The applicant has stated that the acute
17 hazard index of .66 out of 1.0 -- And this is
18 referring to public health section 4.7-12 again
19 and if you continue to 4.7-13.

20 (Coughed) My PM2.5 exposure here.

21 And staff has indicated an acute hazard
22 index of .32. Can you explain the difference?

23 A No, I cannot.

24 Q Okay. Additionally, what statistical
25 confidence or interval is incorporated into your

1 health risk analysis and how do we account for the
2 variability in the data to have a quantifiable
3 level of confidence that the acute hazard index
4 will not exceed one?

5 MS. HOLMES: Can I please ask that you
6 just break that down into two, separate questions.

7 MS. HARGLEROAD: Sure, sure.

8 MS. HOLMES: One after the other would
9 be better.

10 MS. HARGLEROAD: Sure.

11 BY MS. HARGLEROAD:

12 Q What statistical confidence interval is
13 incorporated into your health risk analysis?

14 A There is none and let me explain why.
15 This is what we call a tier one human health risk
16 assessment. I am referring to the 2003 guidelines
17 on conducting health risk assessments under the
18 Toxic Hot Spots Act, AB 2588, that the Cal-EPA
19 Office of Environmental Health Hazard Assessment
20 promulgated. There are four tiers.

21 A tier one assessment is what we call a
22 point estimate assessment. We use one point for
23 exposure, for emission factors, et cetera. All
24 the factors or ingredients, if you will, that go
25 into a health risk assessment. These are upper

1 bound, for the most part upper bound levels, and
2 therefore that is why I stated earlier in my
3 direct testimony that they are an overestimation
4 of the risks.

5 If you want to get to confidence
6 intervals you conduct a tier three or tier four
7 stochastic. Stochastic is another word for
8 probablistic risk assessment. The Cal-EPA Office
9 of Environmental Health Hazard Assessment
10 promulgated guidance on that. That was the
11 advisory committee that I was on. I have
12 conducted probablistic or stochastic risk
13 assessments.

14 That is not what we are required to do
15 in conducting these health risk assessments.

16 Q Okay. So it hasn't been done because
17 there is no requirement at this point in time.

18 A Yes but that may be a
19 mischaracterization. It is not needed in my view.

20 Q Okay, and why is that?

21 A Because this is already an upper bound.
22 If you do a stochastic assessment more likely than
23 not you'll come out with a number very similar to
24 this or lower, depending on the percentile of risk
25 that you would like to look at. If you look at

1 the 95th percentile you'll probably come out with
2 the same number. If you look at the 90th or the
3 85th or 80th percentile you'll come out with lower
4 numbers.

5 Q Well maybe you can explain to me then
6 how, how do we account for the variability in the
7 data to have that quantifiable level of
8 confidence?

9 MS. HOLMES: I'm sorry, which
10 variability and which data? So that I can follow
11 along with this.

12 BY MS. HARGLEROAD:

13 Q The emission factors used for the
14 calculation.

15 A I see. Well, as I mentioned, we don't
16 account for that variability. We use a point
17 estimate and we use an emission factor for each
18 one of these substances.

19 If I did a stochastic assessment then I
20 would use a range. I would also have to do a
21 statistical analysis, or maybe by professional
22 opinion, to determine the shape of the
23 variability. Whether it's normally distributed,
24 whether the data is lognormally distributed or
25 whether it's a probit-type distribution, and put

1 those in. We don't do that for a tier one
2 assessment.

3 Q If you go to public health 4.7-14. In
4 your computation of the acute hazard index did you
5 use the emission factor for the compound acrolein
6 as published in the California air toxics emission
7 factors database?

8 A Yes I did.

9 Q And do you think that or believe that
10 the mean emission factor for acrolein published in
11 California air toxics emission factors database,
12 given the test population size of two for the
13 engine type being proposed for the Eastshore, is
14 statistically sound enough to use to protect the
15 public health? And I refer you to our group
16 petitioners Exhibit 707.

17 A I understand your question, I also
18 understand the concerns by the member of the
19 public sitting to your right who has raised this
20 issue. And I have tried to explain and I will do
21 so again.

22 Even with my experience I don't have
23 all the expertise in the world. So I rely on the
24 California Air Resources Board to give me their
25 best professional opinion. And I did talk with

1 the person at the California Air Resources Board
2 who told me that these were just as good emission
3 factors as from EPA, given the problems that both
4 Air Resources Board and US EPA have had with the
5 methodology for measuring acrolein.

6 That is one of the reasons why the Air
7 District, all the Air Districts around the state
8 have been advised by the Air Resources Board to
9 not base any type of permit decision on acrolein
10 emissions. The analytical method is very suspect.
11 They have been working on this for over ten years.
12 It's a tough one to analyze at these low levels.
13 It is highly reactive in the atmosphere, it has a
14 half-life anywhere between 12 and 20 hours, and so
15 it breaks down immediately.

16 So I relied on the Air Resources Board
17 and did not conduct an independent evaluation of
18 which database was better. But I also gave you
19 other reasons that we can't just pick which
20 emission factor we want to use from which agency.

21 Q Can you tell me who at the Air Resource
22 Board you spoke to?

23 A Certainly. His name is Mr. Chris Halm,
24 H-A-L-M.

25 Q And his position is, or department?

1 Division? Area of expertise, shall we say.

2 A He is an air quality engineer. I
3 apologize, I do not have his phone number with me.
4 Well, I might.

5 Q Not his phone number but his division.

6 HEARING OFFICER GEFTER: While he looks
7 for that why don't we ask another question. He'll
8 get you that information.

9 MS. HARGLEROAD: He can --
10 Dr. Greenberg can provide that to me later.

11 DR. GREENBERG: Very simply, you can go
12 on the ARB web site and go to their list of
13 contacts and by alphabetical order you'll get it.

14 BY MS. HARGLEROAD:

15 Q I'm asking you though who you spoke to
16 and you relied on, right. So you're aware of the
17 Air Board's policy that the acrolein emission
18 factors in the California air toxic emission
19 factors database should not be used because they
20 are based on a decertified test method. And I
21 refer to group petitioners Exhibit 706.

22 A They recommend that they not be used
23 for permitting purposes. I used it in my health
24 risk assessment because I felt that I needed to
25 include that in the health risk assessment. So

1 despite the use, despite the warnings or
2 admonition that it not be used for permitting I
3 thought I should use it anyway in human health
4 risk assessment. Otherwise it wouldn't be
5 included.

6 Q Well are you aware of the US EPA AP-42
7 mean emission factor for acrolein?

8 A Yes I am and I did cover that in my
9 direct testimony.

10 Q Right. And that is 88 times higher
11 than the California air toxic emission factors.

12 HEARING OFFICER GEFTER: I think we are
13 going way off base here. I am not sure what --

14 MS. HARGLEROAD: No, that is his direct
15 testimony.

16 HEARING OFFICER GEFTER: And he
17 explained his position on that. But I am not sure
18 where you are going with all these questions.
19 Where does this get us? What's your point? Where
20 are you going?

21 MS. HARGLEROAD: Well, if -- I think as
22 we have just been talking about is, if we don't
23 have all of the information in front of us or the
24 Commission does not have a full picture then it is
25 somewhat difficult to draw certain conclusions.