

1 UNITED STATES ENVIRONMENTAL PROTECTION AGENCY

2 REGION 5

3

4

5 IN THE THE MATTER OF:)
6 ROBERT J. HESER, ANDREW) DOCKET NO.
HESER, and HESER FARMS,) CWA-05-2006-0002
7 Respondents.)
8 Proceeding to Assess a Class)
II Civil Penalty Under)
9 Section (g) of the Clean)
Water Act, U.S.C. Section)
10 1319(g).)

11

12

13

14 Hearing held, pursuant to notice, on Wednesday,
15 May 2, 2007, at the hour of 9:00 a.m. at Clinton
16 County Courthouse, 850 Fairfax, Carlyle, Illinois,
17 before HONORABLE WILLIAM B. MORAN, United States
18 Administrative Law Judge.

19

20

21

22

23 SULLIVAN REPORTING COMPANY,
By: Carla Boehl, Reporter
24 Lic. #084-002710

1 APPEARANCES.

2 MR. CHARLES J. NORTHRUP
3 SORLING, NORTHRUP, HANNA, CULLEN, COCHRAN, LTD.
4 Suite 800 Illinois Building
607 East Adams Street
Springfield, Illinois 62701

5 - and -

6 MR. BRADLEY W. SMALL
7 MATHIS, MARIFIAN, RICHTER & GRANDY, LTD.
23 Public Square, Suite 300
Post Office Box 307
8 Belleville, Illinois 62220

9 (Appearing on behalf of Respondents)

10 MR. THOMAS J. MARTIN
11 MS. CHRISTINE PELLEGRIN
Associate Regional Counsel
77 West Jackson Boulevard (C-14J)
12 Chicago, Illinois 60604-3590

13 (Appearing on behalf of the United
14 States Environmental Protection Agency)

15

16

17

18

19

20

21

22

23

24

	I N D E X			
	WITNESS	DIRECT	CROSS	REDIRECT RECROSS
1				
2				
3	SIMON MANOYAN			
4	By Ms. Pellegrin	5		103
	By Mr. Small		77	
5	By Mr. Northrup		89	106
	By Judge Moran		98	
6				
	WENDY MELGIN			
7	By Ms. Pellegrin	108,155		
	By Judge Moran		153	
8				
9				
10				
11				
12				
13				
14	EXHIBITS		MARKED	ADMITTED
15	Complainant's 11		151	152
	(Pgs. CX176-179)			
16	Complainant's 34A		30	32
	Complainant's 58		37	-
17	EPA Demonstrative I		45	76
	EPA Demonstrative J		61	76
18				
19				
20				
21				
22				
23				
24				

1 engineering.

2 Q. And what is thermal dynamics?

3 A. Thermal dynamics literally means heat's
4 movement, heat transfer.

5 Q. And what is thermodynamic mechanical
6 engineer?

7 A. It would be dealing with heat transfer
8 directly. In real world applications it would be
9 heating, ventilation, air conditioning and also
10 refrigeration designs.

11 Q. What year did you earn your bachelor's of
12 science degree?

13 A. 1980.

14 Q. And let's turn to, I believe you said,
15 your master's degree. What was your master's degree
16 in?

17 A. Hydrogeology and numerical analysis.

18 Q. Where did you earn that degree?

19 A. Northeastern Illinois University.

20 Q. What year was that?

21 A. 1999.

22 Q. And, Mr. Manoyan, what is hydrogeology?

23 A. Hydrogeology deals with subsurface water
24 movement, ground water and its effects.

1 Q. And what is the numerical analysis?

2 A. Numerical analysis could be modeling,
3 trend analysis, looking at data and developing
4 opinions.

5 Q. And you mentioned the term "modeling."
6 Can you explain generally what is modeling?

7 A. Model is a simulation of real world
8 situations. It is just a simulation. It is not an
9 exact simulation of the real conditions.

10 Q. And does that have to do with mathematics
11 in any way?

12 A. Yes, it does.

13 Q. In what way?

14 A. Well, you use mathematical formulas to
15 develop your model.

16 Q. And, let's see, while you were earning
17 your bachelor's degree -- let me back up a second.
18 Did you conduct any research while earning that
19 degree?

20 A. I did.

21 Q. And what was that research?

22 A. That was in regards to geothermal energy
23 and its utilization.

24 Q. And what was that -- what would that

1 research entail?

2 A. It entailed developing and designing a
3 system that would produce electricity for 50,000
4 people.

5 Q. And let me ask you about your master's
6 degree. What year did you earn your master's degree,
7 Mr. Manoyan?

8 A. 1999.

9 Q. And I am not sure if you said this, but
10 what university was that from?

11 A. Northeastern Illinois University.

12 Q. And, let's see, you mention the term --
13 you defined numerical analysis. What is a real world
14 application for numerical analysis?

15 A. Well, every day weather broadcasters use
16 them to predict weather conditions.

17 MR. SMALL: Your Honor, could I ask him
18 please to speak up just a little bit? I am having
19 trouble hearing him.

20 JUDGE MORAN: Yes, please speak up.

21 THE WITNESS: A. Weather broadcasters use
22 them every day to predict conditions, whether it's
23 going to rain or the temperatures and so on. So
24 that's one application.

1 BY MS. PELLEGRIN:

2 Q. Let me ask you, did you conduct any
3 research while you were studying for your master's
4 degree?

5 A. Two, two researches.

6 Q. Let's turn to the first one. What was
7 your first research project?

8 A. The first one involved a modified water
9 body budget, water budget, for the lower Fox River.

10 Q. What is a water budget?

11 A. It's the in-flow and out-flow of the
12 water body system, what's coming into and what is
13 exiting the body.

14 Q. And what's an example of an in-flow in
15 the water body system?

16 A. Precipitation will be one. In-flow from
17 ground water would be another.

18 Q. And what's an example of an out-flow of a
19 water --

20 A. Out-flow would be evaporation, also the
21 discharge in an outlet.

22 Q. And when you are doing a water budget,
23 what are you looking for?

24 A. I am looking for trends, what's happening

1 within that particular water body system, the
2 temperatures, the rain data, the water levels and so
3 on.

4 Q. And the water budget analysis, who did
5 that? Who, if anyone, did that water project with
6 you?

7 A. I received data from USGS, and I was
8 doing this in cooperation with Northeast Illinois
9 University.

10 Q. And what does the water budget
11 analysis -- what was the purpose or the goals of that
12 project?

13 A. At that time we were trying to determine
14 water levels in the lower Fox River and also looking
15 at turbidity values to see if the sedimentation was
16 occurring.

17 Q. And what kind of data did you review for
18 that project?

19 A. For that particular project, weather
20 data, precipitation data, geological data and
21 historical background data.

22 Q. What's an example of historical
23 background data?

24 A. It would be looking around the water body

1 to see if there is any industries that are cropping
2 up or going out of business, and what effect they
3 would have had on the water body itself.

4 Q. And what was the results of that lower
5 Fox River project?

6 A. At that time we determined that water
7 levels were decreasing. As it moved from upstream to
8 downstream temperatures were also increasing.

9 Q. Let me try, I believe you mentioned two
10 research projects. What was the second research
11 project?

12 A. The second research was my master's
13 thesis. It entailed developing well-head protection
14 areas.

15 JUDGE MORAN: Developing what?

16 A. Well-head protection areas for central
17 Illinois communities.

18 Q. And what is a well-head protection area?

19 A. It's an area that needs to be protected
20 for a particular well so that it won't be
21 contaminated.

22 Q. And what kind of well are you talking
23 about?

24 A. Community supply wells that could be used

1 for drinking purposes or food preparation.

2 Q. And who did this project with you, if
3 anyone?

4 A. This was in cooperation with IEPA,
5 Illinois Environmental Protection Agency. They
6 essentially contracted Northeastern Illinois
7 University to develop these areas for them.

8 Q. And what was the purpose of this
9 well-head protection area project?

10 A. It is to protect the well water for that
11 particular area or various communities.

12 Q. And what kind of data did you review in
13 regards to this project?

14 A. Again I used a well log information from
15 loggers, water levels from ISWS, and weather
16 conditions and geologic conditions.

17 Q. Mr. Manoyan, you mentioned the initials
18 ISWS. What is ISWS?

19 A. Illinois State Water Survey.

20 Q. And what is the Illinois State Water
21 Survey?

22 A. It deals with water issues within the
23 state of Illinois. It is an organization,
24 governmental organization, at state level.

1 Q. And I believe you mentioned that this
2 involved modeling. How did this involve modeling?

3 A. It involved three dimensional modeling.
4 Essentially, it is ground water so you need to have
5 more than one dimension. I used a GMS ground water
6 modeling system developed by U.S. Army Corps of
7 Engineers.

8 Q. And what do you mean by 3D modeling?

9 A. It is in three dimensions, rather than
10 just one dimension, XYZ.

11 Q. What do you mean by XYZ?

12 A. It's the three dimensions. If you look
13 at a cube, it has three dimensions. If you just look
14 at a line, it's just one linear dimension.

15 Q. Thank you, Mr. Manoyan. What was the
16 results of your research for the well-head protection
17 area?

18 A. We delineated capture zones for five
19 years for various communities in central Illinois.

20 Q. And what is a capture zone?

21 A. It would be the area that needs to be
22 protected, at least for five years.

23 Q. And who, if anyone, benefitted, if you
24 know, from the resulting research?

1 A. Water managers, the community itself, the
2 people who are living in it, farmers, everybody.

3 Q. Mr. Manoyan, after you earned your
4 master's degree did you take any additional -- have
5 you taken any additional courses?

6 A. I have taken a lot of courses, yes.

7 JUDGE MORAN: You have taken what?

8 A. A lot of courses.

9 Q. And by courses are you talking about
10 training courses?

11 A. Some of them were training courses.
12 Others were university courses, also.

13 Q. Okay. And let's talk first about your
14 university courses. What kinds of university courses
15 have you taken since you earned your master's degree?

16 A. I have taken additional modeling courses
17 and also statistical courses, statistics.

18 Q. And generally what kinds of modeling
19 courses have you taken?

20 A. Both surface water modeling and ground
21 water modeling.

22 Q. Can you give me an approximate number of
23 how many modeling courses you have taken since
24 earning your master's degree?

1 A. I would say about at least ten.

2 Q. And I think you mentioned the term
3 "surface water modeling." What is surface water
4 modeling?

5 A. Surface water entails developing models
6 for rivers, lakes, streams, ponds. It is physical on
7 the surface.

8 Q. And generally what are you looking for
9 when you are developing surface water modeling?

10 A. It could involve anywhere from
11 contamination to flow, water levels, the amount of
12 water and movement of water within that water body
13 system.

14 Q. Mr. Manoyan, I am going to turn now to
15 your employment history. Did you currently -- did
16 you work while you were earning your master's degree?

17 A. Yes, I was.

18 Q. And where did you work?

19 A. Initially, at Northeastern Illinois
20 University and then later on at U.S. EPA.

21 Q. Okay. Let's turn to your work for
22 Northeastern Illinois University. What did you do
23 there?

24 A. I was doing lab work in that university.

1 Q. And just generally what kind of lab work
2 did you do?

3 A. Sediment analysis, particle size
4 analysis, that type of work.

5 Q. And let's turn to your work for the U.S.
6 EPA. First of all, how long have you worked for the
7 U.S. EPA?

8 A. About ten years.

9 Q. And what did you do initially when you
10 worked for the U.S. EPA?

11 A. I started working with Great Lakes
12 National Program Office and there I was doing quality
13 assurance for that particular office.

14 Q. And by quality assurance, what do you
15 mean by that?

16 A. It's approving or recommending approval
17 for how to do a project by others. In other words,
18 they would submit a project plan, I would review it,
19 and based on a determination whether to approve or
20 not.

21 Q. And generally what kinds of project plans
22 were you reviewing?

23 A. It came from various disciplines. By
24 disciplines I mean biologists, geologists. It

1 involved various projects, and I had to decide
2 whether it was properly being handled or not.

3 Q. And, let's see, how long did you work on
4 quality assurance while at U.S. EPA?

5 A. At that time ten months.

6 Q. And where did you work next?

7 A. Next I moved to the Standards and Applied
8 Sciences Branch.

9 Q. And what did you do for the Standards and
10 Applied Sciences Branch?

11 A. Principally I was one of the modelers
12 that was developing a mine development model in
13 Crandon, Wisconsin.

14 Q. And before we go into that, what, if any,
15 other roles did you have with the Standards and
16 Applied Sciences Branch?

17 A. I was a technical contact for Native
18 Americans communities.

19 JUDGE MORAN: Let me just stop you for a
20 second.

21 (Whereupon there was then had an
22 off-the-record discussion.)

23 JUDGE MORAN: Okay. Go ahead.

24 BY MS. PELLEGRIN:

1 Q. Let's see, I am sorry. You said you were
2 a technical contact for Native Americans. What did
3 that entail?

4 A. That entailed giving advice, technical
5 advice, to communities in Michigan and also in
6 Wisconsin. That may have involved giving advice on
7 use of a particular model, solving problems with the
8 model and so on. Also advice on various other
9 projects. It would involve both surface water and
10 ground water.

11 Q. And, let's see, you mentioned a mine
12 project that you performed. What was that mine
13 project?

14 A. Crandon mine modeling, actually the
15 Crandon Mine Project.

16 Q. And first of all, what was the Crandon
17 mine modeling for?

18 A. Well, in the 1970s zinc and other metals
19 were discovered there, and they wanted to get a
20 permit from various governmental organizations. And
21 we were assessing whether it would have any impact on
22 surrounding communities and lakes and other water
23 bodies.

24 Q. And what was your role with regard to the

1 Crandon Mine Project?

2 A. I was one of the three principal
3 modelers. We were calibrating a model, verifying the
4 model, and then finally making some predictions based
5 on our results.

6 Q. And I think you may have covered this,
7 but just generally why was modeling needed for this
8 Crandon Mine Project?

9 A. Well, there were other models being
10 developed by other organizations. Ours was the only
11 surface water model that needed to be done. We were
12 trying to assess the impact had this mine gone in or
13 been placed. That was the reason we were trying to
14 determine whether it had any impacts.

15 Q. And who was the model performed for?

16 A. It was mostly for Native Americans. We
17 were in a trust position with them, and we were
18 trying to look out for them, in essence.

19 Q. And why were Native Americans concerned,
20 if at all, with this kind of mine project?

21 A. It would have affected them directly.
22 One of the main impacts would have been the food
23 sources within that area, like fishing, wild rice and
24 other food products, would have been impacted,

1 contaminated. They would have been unusable for
2 them. So it was a big concern.

3 Q. And, Mr. Manoyan, adopting the surface
4 water model for the Crandon mine, what kind of data
5 did you review?

6 A. We used weather, precipitation,
7 historical data, cultural data, climate data, almost
8 anything you could think of, we used it. Atmospheric
9 data also.

10 Q. And, Mr. Manoyan, if I use the term
11 "quantitative data," do you have an understanding of
12 what that term means?

13 A. Yes, I do.

14 Q. And what does the term "quantitative
15 data" mean to you?

16 A. It means real data. It is a number. It
17 is definite. It tells you something about something.

18 Q. And if I use the term "qualitative" as
19 opposed to quantitative data, do you have an
20 understanding of what that term means?

21 A. I do.

22 Q. And what does qualitative data mean?

23 A. It could be anecdotal data, some
24 historical information, but not a definite data.

1 Q. And in terms of the Crandon Mine Project,
2 can you give me an example of the type of
3 quantitative data you may have used?

4 A. Quantitative data would have been weather
5 information, water level information, geological
6 information; it had a number attached to it. So that
7 would be quantitative data.

8 Q. And can you give me an example of
9 qualitative data you used for the Crandon mine?

10 A. Well, we used one specific information
11 about wild rice that was being consumed by Native
12 Americans. We didn't have any specific amount for
13 per person usage. We had to develop an idea by using
14 historical information going back to possibly the
15 1930s. We used several books written by others, not
16 Native Americans, to describe how they harvest it and
17 how much they harvest it and how it was being
18 introduced and so on. And in the end we developed a
19 number for individual consumption. So that would be
20 qualitative data. That eventually turned into
21 quantitative data.

22 Q. So if I am understanding you correctly,
23 the qualitative data that you gathered in that case
24 would have informed your quantitative data?

1 A. Yes.

2 Q. Mr. Manoyan, what were the results of
3 your Crandon Mine Project?

4 A. Our model predicted that there would be
5 definitely effects on surrounding lakes and streams
6 and also the culture itself.

7 Q. And was that mine located eventually?

8 A. No. It was purchased by Native
9 Americans, and they decided that they don't want the
10 mine in.

11 Q. Let me ask you, moving on to your
12 employment history a little further, how long did you
13 work for the Standards and Applied Sciences Branch?

14 A. That particular branch eventually became
15 the Water Quality Branch, and I was there until 2005.

16 Q. And when it became the Water Quality
17 Branch, did your roles change?

18 A. I also became a technical contact for the
19 State of Ohio. I was also reviewing models for other
20 divisions and other regions.

21 Q. And when you say you were reviewing
22 models for other divisions and other regions, you
23 said?

24 A. Right.

1 Q. What did that entail?

2 A. A model would be submitted to our branch
3 and I would offer technical comments used in
4 developing an opinion.

5 Q. And can you give me an example of what
6 kinds of models those were generally?

7 A. It involved both types of a model, both
8 ground water and surface water models, but mostly
9 surface water models.

10 Q. And after you worked for the Water
11 Quality Branch where about did you work?

12 A. Then I moved to the Water Sheds and
13 Wetlands Branch.

14 Q. And when did you move to the Water Sheds
15 and Wetlands Branch?

16 A. I'm sorry. Did you say when?

17 Q. Yes, when.

18 A. 2005, April, I believe.

19 Q. And you are currently at the Water Sheds
20 and Wetlands Branch?

21 A. Yes, I am.

22 Q. And what is your current title?

23 A. My title is Environmental Scientist.

24 Q. And currently what are your primary

1 responsibilities?

2 A. Reviewing total daily maximum load
3 reports.

4 Q. And what does reviewing total maximum
5 daily load reports entail?

6 A. Well, these reports are being developed
7 for impaired waters within the region, and it
8 calculates loads that's going into the water body
9 system, assessing how much water that could go into a
10 water body without exceeding the water quality
11 standards. Based on those calculations we make a
12 determination as to what needs to be done with that
13 particular water body to reduce incoming pollution
14 and contaminants.

15 Q. And what is your particular role with
16 regard to reviewing total maximum daily load reports?

17 A. I look at most of the reports that
18 involve models and basically review what's being
19 done, what's being advocated and decide whether it is
20 applicable for that particular water body.

21 Q. And, Mr. Manoyan, just generally how much
22 of your current job is related to reviewing models?

23 JUDGE MORAN: Is related to what?

24 Q. Related to reviewing models.

1 A. About 25 percent.

2 Q. And what kind of modeling generally are
3 you reviewing?

4 A. Mostly surface water models.

5 Q. Speaking of models, how many different
6 types of models have you worked with in your
7 experience?

8 A. All and all I would say I probably would
9 have more familiarity with at least 25 models.

10 Q. And is there sort of a range of
11 complexity among models?

12 A. Yes, there is.

13 Q. And can you explain that some more?

14 A. Well, you could use a very simple model
15 which would be just a formula, and the other end it
16 would be a very complex model which would require a
17 lot of information beforehand. Those would be the
18 range, very basic and very complex and detailed ones.

19 Q. And if you know, how does one determine
20 whether to review a simple model or a more
21 complicated model in a particular case?

22 A. It all depends on the resources you have,
23 the amount of data you have, the modeler, the staff
24 that would have experience. Also it depends on the

1 expertise of the modeler.

2 Q. And, Mr. Manoyan, do you know what I mean
3 by the term "running a model"?

4 A. Yes, I do.

5 Q. And what does the term "running a model"
6 mean to you?

7 A. That would be inputting your data into a
8 model. By that I mean in the software, if you are
9 using a software, and doing some calculations,
10 verifications, and finally coming up with some
11 results.

12 Q. And have you personally run a model
13 before?

14 A. I have.

15 Q. And are you familiar with the term
16 "creating a model"?

17 A. Yes.

18 Q. And what does that entail, creating a
19 model?

20 A. First of all, you develop a conceptual
21 model of the site you are going to be modeling. By
22 conceptual model I mean you have to make a lot of
23 assumptions to determine how you could fit that
24 particular area into a mathematical formula. That

1 would be one of the first steps that you would do.
2 Then you would go to gather data that you would need,
3 and then do a quality assurance check on the data to
4 see if it is representative of the site, and then
5 finally do a calibration of the model to observe data
6 is fitting the predicted results.

7 Q. And you mentioned how you observe data
8 fitting with your results?

9 A. Right.

10 Q. Can you explain what you mean by that?

11 A. If you have a good match, that means your
12 model is representative and accurate. If you don't,
13 then you need to make more assumptions. You need to
14 get either more data or you have the wrong data and
15 you need to get better data. So that's what I mean
16 by it.

17 Q. And have you ever personally created a
18 model?

19 A. Yes, I have.

20 Q. And what model or models is that?

21 A. The ones I mentioned earlier,
22 specifically developing well-head protection areas in
23 central Illinois communities. For that purpose I
24 used GMS ground water modeling systems. It is a

1 three dimensional model.

2 Q. And I think you mentioned the Crandon
3 Mine. Is that a model that you, if I am terming it
4 correctly, created?

5 A. We worked on that model. I wasn't
6 specifically developing the model. It was developed
7 by U.S. EPA. We were using the software to calibrate
8 our data to the site conditions.

9 JUDGE MORAN: But you didn't create that
10 model?

11 A. I did not.

12 Q. Okay. And, Mr. Manoyan, can you tell me
13 just generally how reliable are models?

14 A. Models are as reliable as the data that
15 goes into it and the expertise of the modeler and the
16 resources you have.

17 Q. Mr. Manoyan, have you ever published any
18 materials?

19 A. I have.

20 Q. And what kind of materials have you
21 published generally?

22 A. I published a report along with others at
23 EPA about the Crandon Mine modeling effort. That's
24 one. And then I also did a report, my Upper

1 Mississippi River Water Quality Assessment Report.

2 Q. And I believe we already talked about the
3 Crandon Mine. So I will ask you in terms of the
4 Upper Mississippi River Water Quality Model, what did
5 that publication involve?

6 A. It involved compiling the data as far
7 back as the 1950s to 2000 at that time. After doing
8 quality assurance on the data itself, I developed
9 some trend analysis using that particular data, and
10 it is available for anyone to use. It was one of the
11 first kind for the upper Mississippi River.

12 Q. And what kind of data did that project
13 involve?

14 A. It involved physical, chemical,
15 biological data for the upper Mississippi River. It
16 basically involved water levels, some chemicals,
17 temperature, precipitation data, sedimentation data,
18 and so on. It is a highly complex data set.

19 Q. And, Mr. Manoyan, you mentioned I think
20 two publications. Were any of those publications
21 peer reviewed?

22 A. Both were peer reviewed.

23 Q. Let me ask you, Mr. Manoyan, have you
24 ever received any professional awards?

1 A. I have.

2 Q. And what are those awards?

3 A. I received two bronze medals and also
4 excellence awards from regional administrations.

5 Q. And what did the excellence awards or
6 awards, what was that for?

7 A. One was for the Crandon Mine modeling
8 effort. The other one was for the Upper Mississippi
9 River Water Quality Assessment Report, and the final
10 one is about a TMDL for a group.

11 Q. And by TMDL, just define that term,
12 define that acronym, would you, please?

13 A. Total maximum daily load.

14 Q. We talked about that earlier in your
15 testimony. Is that the same thing?

16 A. Right, same thing.

17 Q. Mr. Manoyan, I am going to ask you to
18 turn your attention to Complainant's Exhibit 34A.

19 (Whereupon Complainant's Exhibit
20 34A was presented for purposes
21 of identification as of this
22 date.

23 JUDGE MORAN: It should look familiar to you.

24 THE WITNESS: Yeah, it does.

1 BY MS. PELLEGRIN:

2 Q. Mr. Manoyan, Complainant's Exhibit 34A,
3 can you tell me if you recognize this document?

4 A. I do.

5 Q. And what is this document?

6 A. This is my resume'.

7 Q. Is it the original or a copy?

8 A. A copy of it.

9 Q. And I would like you to page through it
10 and tell me if it is a true -- well, first of all,
11 let me ask you does it accurately reflect your
12 educational background?

13 A. Yes, it does.

14 Q. And can I ask you is it a true and
15 accurate and complete copy of your resume'?

16 A. It is complete except for one date.

17 Q. And can you please refer to the -- tell
18 me what you are referring to.

19 A. It's on page 1072. It says Northeastern
20 Illinois University, August 1996. That should be
21 1980.

22 Q. The date should be 19 --

23 A. 80.

24 Q. Except for the date change is this a

1 true, accurate and complete copy of your resume'?

2 A. Yes, it is.

3 MS. PELLEGRIN: Your Honor, at this time I
4 would like to move to admit Mr. Manoyan's resume'
5 into the record, Exhibit 34A.

6 MR. NORTHRUP: No objection.

7 JUDGE MORAN: Okay. Complainant's Exhibit
8 34A is admitted.

9 (Whereupon Complainant's Exhibit
10 34A was admitted into evidence.)

11 MS. PELLEGRIN: And, Your Honor, at this time
12 I would like you to qualify Mr. Manoyan as an expert
13 in surface water and ground water modeling.

14 MR. NORTHRUP: No objection.

15 MR. SMALL: We will waive it.

16 JUDGE MORAN: Okay. The Respondents have not
17 objected and, therefore, although not exclusively for
18 that reason, the witness is deemed to be an expert
19 for the purposes identified by Ms. Pellegrin.

20 BY MS. PELLEGRIN:

21 Q. Mr. Manoyan, were you asked to provide
22 expert testimony here today?

23 A. Yes, I was.

24 Q. And what were you asked to provide expert

1 testimony regarding?

2 A. In particular, a February 24, 2007,
3 precipitation event, to characterize that event and
4 come to a -- quantify that.

5 JUDGE MORAN: And to what?

6 THE WITNESS: Quantify that particular rain
7 event.

8 JUDGE MORAN: The date again, sir, is
9 February 24 of this year, 2007?

10 THE WITNESS: Correct.

11 BY MS. PELLEGRIN:

12 Q. And, Mr. Manoyan, why is that information
13 needed in this case?

14 A. I am sorry, could you repeat your
15 question?

16 Q. Sure. I believe you said the
17 quantification -- you wanted to quantify the February
18 24, 2007, rain event. Why is that information needed
19 in this particular case?

20 A. Well, for this particular case previously
21 there were some photos were shown here. It indicated
22 that there was some flooding on those photos. I
23 wanted to see what was happening on that particular
24 date data-wise, just to have an idea as to how much

1 rain occurred and how long it took to occur and so
2 on.

3 Q. And were you asked to perform any
4 calculations regarding that rain data?

5 A. Yes, I was.

6 Q. And what were you asked to calculate?

7 A. I was asked to calculate the volume of
8 that precipitation event and also the volumetric flow
9 rate for that particular event.

10 Q. Let's take those one at a time. First of
11 all, we talked earlier about quantitative data and
12 qualitative data. Speaking of this February 24,
13 2007, rain event, if you were to describe -- how
14 would you describe a rain event or this particular
15 rain event qualitatively?

16 A. You could say it rained hard on that day.
17 It may have, but it is meaningless to me. I like to
18 look at the numbers. That would be quantitative,
19 looking at it. Or you would have pictures or
20 something like that, describing that event without
21 using any values attached to it.

22 Q. And so were you present -- I believe you
23 just said this but for the record, were you present
24 during the testimony of Mr. Daniel Heser when he

1 described the flows of that particular rain event?

2 A. Yes, I was.

3 Q. And in fact, Mr. Manoyan, were you
4 present when Mr. Daniel turned those photographs over
5 to U.S. EPA in this case?

6 A. I was.

7 Q. And when and where was that?

8 A. This was March 8 at the Martin ranch
9 area.

10 Q. Let me ask, we talked about qualitatively
11 and I believe you said you described it rained hard
12 but you wanted to look at the data?

13 A. Yes.

14 Q. Were you able to ascertain information
15 about that rain event quantitatively?

16 A. Yes, I did.

17 Q. And how did you do that?

18 A. I looked up the information on
19 Wunderground Weather Service and obtained the
20 information for that particular day.

21 JUDGE MORAN: That particular what?

22 THE WITNESS: Day.

23 JUDGE MORAN: Day. Sometimes I am not
24 hearing particularly what you are saying. Go ahead.

1 BY MS. PELLEGRIN:

2 Q. You mentioned the term "wunderground."

3 Is that wunderground.com?

4 A. Yes, it is.

5 Q. And why did you use the data from
6 wunderground.com.

7 A. I wanted to be consistent with the
8 Respondent's use of that data. So I went to the same
9 source so that there won't be any inconsistencies and
10 bias on my part.

11 JUDGE MORAN: Just before you ask, would you
12 spell wunderground? Is that WU or WO or how do you
13 spell it?

14 THE WITNESS: W-U-N-D-E-R ground.

15 JUDGE MORAN: All one word?

16 THE WITNESS: All one word.

17 JUDGE MORAN: Thank you.

18 BY MS. PELLEGRIN:

19 Q. And just generally about wunderground,
20 were you able to ascertain any information about
21 where wunderground gets its data?

22 A. From the National Weather Service.

23 Q. And, let's see, let me turn your
24 attention to Complainant's Exhibit 38, and

1 particularly Bates number 1400.

2 JUDGE MORAN: Bates number what?

3 MS. PELLEGRIN: 1400.

4 JUDGE MORAN: For Exhibit 38?

5 MS. PELLEGRIN: Did I say Exhibit 38? I
6 believe I meant 58, Your Honor, I apologize, Exhibit
7 Number 58.

8 MR. NORTHRUP: Ms. Pellegrin, where are you
9 at?

10 MS. PELLEGRIN: Complainant's Exhibit 58.

11 JUDGE MORAN: Right. The last exhibit I have
12 is 39 in my logs.

13 MS. PELLEGRIN: Could we go off the record
14 for a second, Your Honor?

15 JUDGE MORAN: Sure, I am going to take a
16 five-minute break while you handle that.

17 (Whereupon the hearing was in a
18 short recess.)

19 JUDGE MORAN: We are ready.

20 (Whereupon Complainant's Exhibit
21 58 was presented for purposes of
22 identification as of this date.)

23 BY MS. PELLEGRIN:

24 Q. Mr. Manoyan, are you on Complainant's

1 Exhibit 58?

2 A. Yes.

3 Q. Actually, let's look at the whole -- I
4 know I told you to turn to 1400 but I am going to
5 have you turn your attention to 1399 through 1409.

6 A. 14 what?

7 Q. 09.

8 A. Okay.

9 Q. And, Mr. Manoyan, do you recognize this
10 document?

11 A. Yes, I do.

12 Q. What is this document?

13 A. This is the weather information from
14 wunderground, a study from January 2007. The first
15 couple of pages are monthly calendar-like
16 information. And then on page 1403 is the rain event
17 for February 24, 2007.

18 Q. Okay. And let's turn our attention to
19 Bates number 1400. And I believe you mentioned a
20 date, February 24, 2007. Is that date on this
21 calendar?

22 A. Yes, it is.

23 Q. And let's look at that date on this
24 calendar. And could you explain to me, Mr. Manoyan,

1 what information is incorporated in that date?

2 A. For that particular date it gives the
3 temperature, maximum temperature and minimum
4 temperature, actual precipitation and it also gives
5 you average temperatures for that particular date and
6 average precipitation for that day.

7 Q. And for your purposes, Mr. Manoyan, when
8 you are looking at this data, what are you looking
9 for?

10 A. Mainly I am interested in the
11 precipitation.

12 Q. And what is the precipitation for
13 February 24, 2007?

14 A. It's 0.96 inches.

15 Q. It doesn't say inches on there. How do
16 you know that it is inches?

17 A. I think there is -- if you go back to the
18 daily version of this, it says inches.

19 Q. And, Mr. Manoyan, you mention that you, I
20 think you mentioned, calculated, you wanted to
21 calculate the amount of water?

22 A. Yes, volume of water for this particular
23 day.

24 Q. And how did you go about calculating

1 volume of water for this particular day?

2 A. I used the distribution, multiplied it by
3 the area of the water shed.

4 Q. By area of water shed -- actually, Your
5 Honor, I may approach to Exhibit A?

6 JUDGE MORAN: Sure. And while counsel is
7 doing that, Mr. Manoyan, as I am looking at this
8 Complainant's Exhibit 1400, I don't see anything on
9 this exhibit that tells me that this relates to this
10 area as opposed to, at least from the four corners of
11 this document that, I mean, this could -- as far as I
12 would know, this could involve Bangor, Maine, water,
13 rain precipitation. Is there any way --

14 THE WITNESS: Yes. If you look at the bottom
15 of the page there is a link. It says Airport KSLO.

16 JUDGE MORAN: Airport and then KSLO?

17 THE WITNESS: Yes, in the bottom part of it.

18 JUDGE MORAN: Yes. And do you know what KSLO
19 is?

20 THE WITNESS: It stands for Airport at Salem,
21 Illinois.

22 JUDGE MORAN: Okay. So that's how you know
23 it is related to this area?

24 THE WITNESS: Yes. I specifically looked for

1 Salem, Illinois, at this web page.

2 JUDGE MORAN: Ms. Pellegrin?

3 BY MS. PELLEGRIN:

4 Q. And just to clarify, Mr. Manoyan, why did
5 you look for weather data at Salem, Illinois, for
6 this particular site?

7 A. It was used by the Respondents also. I
8 wanted to have the same information or same site so
9 that there won't be any inconsistencies, or any bias
10 would be introduced by selecting another site.

11 Q. Okay. And I believe we were --
12 Mr. Manoyan, you mentioned the term "area of the
13 water shed." If I asked you to approach Exhibit A,
14 could you point out what particular area you are
15 talking about?

16 A. Yes, I can.

17 MS. PELLEGRIN: Your Honor, permission for
18 Mr. Manoyan to approach the map.

19 JUDGE MORAN: Yes.

20 BY MS. PELLEGRIN:

21 Q. And then could you point to the area and
22 could you describe for the record the area where you
23 are pointing?

24 A. I am pointing on Exhibit A almost about

1 the mid-part of it on the right side. It says Martin
2 Ranch Water Shed. But I wasn't using all of that
3 water shed, just part of that water shed.

4 Q. And which part specifically?

5 A. Actually, it would be this part. I am
6 tracing it with my finger to there. It is upstream
7 of the Martin Branch to the impacted site.

8 Q. And, Mr. Manoyan, you are tracing an area
9 and I believe is the left portion of that area in a
10 different color? What color is that?

11 A. I am sorry. Left portion?

12 Q. The figure that you described with your
13 finger, the left most portion of that, there is a
14 line. What color is that for the record?

15 A. It is blue.

16 Q. It is blue?

17 JUDGE MORAN: You know, just as a suggestion,
18 if he just were to draw a broken line, an increment
19 line around that, then that would identify it from
20 other markings on there. Do you see what I mean?
21 Not a continuous line, but just -- that's a
22 suggestion.

23 MS. PELLEGRIN: That's great. Then I would
24 not use red since it is partly red.

1 THE WITNESS: Green.

2 JUDGE MORAN: I am talking about something
3 like on a highway when you see the dividing lines.

4 THE WITNESS: Right.

5 (Pause.)

6 JUDGE MORAN: You might just state for the
7 record what you just did.

8 THE WITNESS: I used a green marker to trace
9 the area that I was interested in. It specifically
10 contributes to this channel, impacted channel, and
11 upstream of it.

12 BY MS. PELLEGRIN:

13 Q. Mr. Manoyan, you may have a seat.

14 Mr. Manoyan, why are you interested in
15 this particular part, the one you delineated with the
16 broken green line on Exhibit A? Why are you
17 interested in this part for your compilation?

18 A. This is the area that contributes to
19 Martin Branch above the impacted area and the
20 impacted area itself.

21 Q. And were you present during the testimony
22 of Ms. Joan Rogers earlier in a part of this hearing?

23 A. Yes, I was.

24 Q. And were you present when she delineated

1 the blue line that forms the left most portion of
2 your broken green line?

3 A. Yes, I was.

4 Q. And, Mr. Manoyan, were you present when
5 Ms. Rogers told us what that she had calculated that
6 particular area in acreage?

7 A. I was. That's 446 acres.

8 Q. And now you said you calculated the
9 amount of water that fell in that particular area,
10 the area designated within the broken green line, is
11 that correct?

12 A. Yes.

13 Q. And how did you calculate the amount, the
14 volume, of rain that fell within that area?

15 A. The water is a three dimensional value.
16 It is area times the depth of the precipitation.

17 Q. And again what did you use for the depth
18 of precipitation in this case?

19 A. .96 and I divided that value by 12 to get
20 to feet portion of it, convert it to feet, actually.

21 Q. Mr. Manoyan, I am going to ask you to
22 perform that calculation for us on an e-board. Could
23 you do that?

24 A. I can.

1 MS. PELLEGRIN: Mr. Moran, I would ask
2 permission for Mr. Manoyan to approach the easel and
3 perform the calculation of the volume of rain that
4 fell into feet.

5 Can we go off the record for a second?

6 JUDGE MORAN: Yes, we are off the record.

7 (Whereupon there was then had an
8 off-the-record discussion.)

9 JUDGE MORAN: Okay. Go back on the record.

10 BY MS. PELLEGRIN:

11 Q. Okay, Mr. Manoyan, before you do
12 anything, I would like -- to keep the record clear, I
13 would like for you to label this Exhibit I.

14 A. (Marking the exhibit).

15 (Whereupon EPA Demonstrative
16 Exhibit I was marked for
17 purposes of identification as of
18 this date.)

19 Q. And, Mr. Manoyan, can you title this
20 document Calculation of Volume?

21 A. Okay. (Marking the exhibit.)

22 Q. Okay, Mr. Manoyan, I would like for you
23 to go ahead and perform your calculation. And as you
24 are writing it, please tell us what you are doing.

1 A. Okay. I am writing down the
2 precipitation depth for 2007. As we have mentioned
3 before, it is .96 inches of rain accumulated for that
4 date. Another component is area which is 446 acres.
5 Volume is area times the depth.

6 So I converted inches to feet, .96
7 divided by 12.

8 Can I use my calculator to do this?

9 JUDGE MORAN: Sure.

10 A. I have one. This is .08 feet, equivalent
11 to .96 inches. The area is 446 acres. The volume is
12 35.68 acre/foot. This is a unit of volume. I could
13 convert this volume to something most of us could
14 understand, if I can.

15 Q. Yes, please. I don't know what an
16 acre/foot is, Mr. Manoyan. I would appreciate it if
17 you would convert it into something a layperson could
18 understand.

19 A. Gallons?

20 Q. Gallons, sure, that would be great.

21 A. To convert it to gallons I will multiply
22 this number by 325,821, and that would give me the
23 volume in gallons.

24 MR. SMALL: Could he speak up just a little

1 bit?

2 JUDGE MORAN: Yes. Did you not hear that?

3 MR. SMALL: I couldn't.

4 JUDGE MORAN: What you just said, Mr.
5 Manoyan, could you repeat that? Because your
6 voice -- first of all, you were squatted down. Speak
7 up and repeat what you just said. You were just
8 saying how you converted it to gallons.

9 THE WITNESS: I converted 35.6 acres plus to
10 gallons by multiplying it by 325,821. That's the
11 conversion factor.

12 Can I write the results on a different
13 page so that everyone can see it?

14 JUDGE MORAN: Sure. Before you speak about
15 that, Mr. Manoyan, what's that last number before the
16 word "gallons." Is that an 8?

17 THE WITNESS: Eight, sorry.

18 JUDGE MORAN: Thanks. So why don't you tell
19 us what you did.

20 THE WITNESS: This number is 11,625,293
21 gallons.

22 BY MS. PELLEGRIN:

23 Q. And is there a number after the decimal
24 point?

1 A. 28. That's not legible actually.

2 Q. Okay. Mr. Manoyan, am I understanding
3 you correctly that during -- what you have just done
4 is you have calculated the volume of rain that fell
5 within this particular portion of Martin Branch,
6 upstream and including the site, during this .96 rain
7 event on February 24, 2007?

8 A. Correct.

9 Q. Mr. Manoyan, I am going to sort of round
10 my talk about this, round up to 12 million, round
11 down to 11 million, how do you want it?

12 A. Twelve would be okay.

13 Q. I'm sorry?

14 A. Twelve million would be okay, either way.

15 Q. Now, Mr. Manoyan, am I understanding you
16 that 12 million gallons fell in this water shed
17 during that rain event according to your calculation?

18 A. Yes.

19 Q. Now, Mr. Manoyan, let me ask you, do you
20 know, if you know, did all of that rain that fell
21 within this portion of the water shed make it
22 downstream where it goes downstream to Lake
23 Centralia?

24 A. Eventually. But let's be conservative

1 about it and say 35 percent of it evaporated,
2 although I think that's a high number. I assume that
3 it is 35 percent. Even 50 percent would be okay.

4 Q. And, Mr. Manoyan, let me ask you, in your
5 experience have you calculated evaporation rates?

6 A. I have.

7 Q. And what would that involve?

8 A. It would involve looking at the maps of a
9 particular region and determine how much of
10 evaporation is occurring for that particular branch,
11 a particular region or site, and then multiply that
12 number with the amount of water you have.

13 Q. And what are some factors involved in
14 whether or not or what evaporation rate would you
15 use?

16 A. Our main one would be temperature. If
17 you have a high enough temperature, it would
18 evaporate more and faster.

19 Q. And, Mr. Manoyan, you used a couple of
20 numbers, I think. What number do you want to use for
21 your conservative estimate of how much evaporated in
22 this case?

23 A. I will go with 40 percent.

24 Q. Okay, 40 percent.

1 A. Right. It's a big number; we can afford
2 it.

3 Q. And can you tell me then, I guess, would
4 you reduce that amount by 40 percent?

5 A. Yes.

6 Q. For us to perform that calculation?

7 A. What's left over after 40 percent of
8 reduction is 7.2 million gallons.

9 Q. Mr. Manoyan, you can have a seat now.
10 Actually, before you sit down, can you label for the
11 record -- this is a two-page Exhibit I. Can you
12 label this page 2 of Exhibit I.

13 A. (Marking the exhibit).

14 Q. Can you turn back to the first page and
15 label it page 1?

16 A. (Marking the exhibit).

17 JUDGE MORAN: And then when he is done doing
18 that, ask him, if you didn't already, the 7.2, what
19 that represents. You said what it was. You said
20 what's left is 7.2. That 7.2, he can fill in the
21 blanks.

22 Q. Mr. Manoyan, the number that you came up
23 with, 7.2 million gallons, what does that number
24 represent?

1 A. That's the amount left after evaporation
2 occurs.

3 Q. And by left, where, if you know, does
4 that water go when it is left?

5 A. Well, parts of it will go into the
6 channel. Parts of it will be infiltrated and
7 eventually end up going into Lake Centralia, one way
8 or the other.

9 Q. And, Mr. Manoyan, I think we have had a
10 couple of different people describing what a water
11 shed is. And can you explain to me what a water shed
12 is in terms of the calculations you just performed.

13 A. Well, in this particular case, the area
14 that I indicated is a water shed, sub-water shed, of
15 the Martin Branch. It is the amount of water flowing
16 into that area. It goes directly into either the
17 stream itself or the center of that water shed.

18 JUDGE MORAN: Or what?

19 THE WITNESS: Center. Which part? I am
20 sorry.

21 JUDGE MORAN: You trailed off at the end.
22 You said some of it will go into --

23 THE WITNESS: To the stream.

24 JUDGE MORAN: Yes, Martin Branch or --

1 THE WITNESS: Or center of that water shed.

2 JUDGE MORAN: Or center of the water shed,
3 okay.

4 THE WITNESS: Collected in the center of the
5 water shed.

6 BY MS. PELLEGRIN:

7 Q. And if I use the term "collection point"
8 for the Martin Branch water shed, do you understand
9 what I mean by that term?

10 JUDGE MORAN: The answer is no, you don't
11 understand, right?

12 THE WITNESS: A. The answer is no, I don't
13 understand at this point.

14 BY MS. PELLEGRIN:

15 Q. Okay. I will move on. Mr. Manoyan, you
16 can have a seat now.

17 Okay, Mr. Manoyan, you mentioned that you
18 also calculated the volumetric flow rate; is that
19 correct?

20 A. Yes, that is correct.

21 Q. And what is a volumetric flow rate,
22 Mr. Manoyan?

23 A. It is a volume of water moving at one
24 location for a period of time. It's a rate.

1 Q. And what is the method for calculating
2 volumetric flow rate?

3 A. There are multiples of methods that you
4 could use to calculate, anywhere from a simple
5 formula to highly complex softwares to calculate it.

6 Q. And how did you calculate volumetric flow
7 rate in this case?

8 A. I used rational method to calculate it.

9 Q. And what is the definition of "rational
10 method"?

11 A. Rational method is mostly used for small
12 water sheds in urban areas or even in rural areas,
13 farming communities, to calculate flow rate.

14 Q. And is that a generally accepted method
15 in your field to calculate volumetric flow rates?

16 A. Yes. If you wanted to get a ballpark
17 figure, then you would do something similar. If you
18 need anything more than that, you would go into
19 complex or more involved methods.

20 Q. And why did you use the rational method
21 in this case to calculate volumetric flow rates?

22 A. Again, I wanted to use the same method
23 that was used by the Respondents. I wanted to reduce
24 any personal bias on my part by selecting something

1 other than what they used.

2 Q. And when you say "they," could you be
3 more specific what "they" used?

4 A. The Respondents consultants, I believe it
5 is Rapps Engineering.

6 Q. Now, Mr. Manoyan, I am not going to ask
7 you any questions about Respondents' calculations or
8 what Rapps Engineering did in this case. But let me
9 just ask you, to your knowledge has Respondent used
10 the rational method to calculate the volumetric flow
11 rate for this specific rain event of February 24,
12 2007?

13 A. I am not aware of that.

14 Q. Now, Mr. Manoyan, the volumetric flow
15 rate, what kind of information do you need in order
16 to calculate the volumetric flow rate?

17 A. For that particular method I need the
18 area, intensity of the rainfall event and run off
19 coefficient.

20 Q. Now, let's take these one at a time.

21 What information did you use for the size
22 of the water shed in calculating the volumetric flow
23 rating?

24 A. I used the area delineated by one of my

1 colleagues, Ms. Joan Rogers, and that value is 446
2 acres.

3 Q. And, Mr. Manoyan, you previously
4 calculated for us the volume of water that fell
5 during that rain event using 446 acres. Is that the
6 same number that you are using now in this
7 calculation for the volumetric flow rating?

8 A. Yes, I am.

9 Q. Now let's talk about, I think, one of the
10 other -- what other information you would need, which
11 was intensity of the rainfall event. Can you tell me
12 what do you mean by intensity of the rainfall event?

13 A. In laymen's terms it would be how hard it
14 rained, but it has a value attached to it, a number
15 attached to it.

16 Q. Can you give me an example of a number
17 that would be attached to a rain event, intensity of
18 a rain event?

19 A. Intensity, let me define that first and
20 then I will give you a number.

21 Q. What's the definition of intensity?

22 A. Intensity is the rainfall depth divided
23 by the time it took to occur.

24 Q. Can you give me an example of what an

1 intensity would be?

2 A. It could be anywhere from .1 or maybe
3 even lesser numbers and goes up to 2.5 maybe.

4 Q. And you said over the period that it
5 falls. How would that be measured?

6 A. Could you repeat that?

7 Q. Sure. You said it is the amount of rain
8 that falls, over the period that it falls in. How
9 would the time period that it falls in be measured?

10 A. It would be when the rain started and
11 ended. That's the time period that I am talking
12 about. Duration, in other words.

13 Q. Okay. And let's turn your attention
14 again back to Complainant's Exhibit 58. And now this
15 time I would like you to look at Bates number 1403.

16 A. Okay.

17 Q. And looking at 1403 through 1409, do you
18 know what these pages contain, 1403 through 1409?

19 A. This is the specific data for the
20 February 24, 2007, rain event.

21 Q. And where was this measured?

22 A. Salem, Illinois.

23 Q. And again why are you interested in the
24 Salem, Illinois, data?

1 A. Because it was used by Respondents'
2 consultant.

3 Q. Okay. Now, in this case can you explain,
4 looking at 1403 through 1409, can you explain using
5 these documents what you mean by intensity for this
6 particular event?

7 A. For this particular event precipitation
8 amount was about 0.96 inches and the rain started --
9 on page 1406, if you will look at that page -- it
10 started around 11:05 a.m.

11 Q. Okay. Mr. Manoyan, I am looking in the
12 center of page. In my copy it is right above the
13 middle of the punch bowl, and it says by Comment at
14 11:05 going from left to right. Is that what you are
15 referring to?

16 A. Yes, left to right. At the very end or
17 very right it says .02 inches recorded at that time.
18 Continuing on, this rain event continues until page
19 1408. Again, same location, middle of the page, 8:28
20 p.m., and that's when it ended.

21 Q. And to clarify, Mr. Manoyan, when you are
22 looking at intensity, you are looking at the
23 intensity over what time it fell over a 24-hour
24 period in this case?

1 A. What time it fell, yes, within a 24-hour
2 period.

3 Q. And as I am looking at the times between,
4 let's see, 11:05 and 8:28, there seems to be some
5 N/A. I am looking at -- let's see, I am looking at
6 exhibit page 1406 and two lines under 11:05 or two
7 entries under 11:05, three entries rather, at 12:05
8 p.m., all the way to the right of that line at 12:05
9 p.m. it says N/A. What does that mean?

10 A. Not applicable. They don't have any
11 value for that particular time period.

12 Q. Okay. Do you know why that is?

13 A. It probably wasn't recorded, but it could
14 also be that there was no rain to be recorded.

15 Q. Okay. And so when you are looking at
16 11:05 to 8:28, what do you determine that the
17 intensity is for this particular rain event on
18 February 24, 2007?

19 A. Again, I was being very conservative. I
20 used those N/A designations as if it rained. I used
21 that time period to be conservative. I didn't just
22 subtract those particular periods from my calculation
23 at the start and end of the rain event.

24 Q. Okay. And so what did you use for your

1 start of your rain event, just to be clear?

2 A. I used 11:05 a.m., continuing until 8:28
3 p.m.

4 Q. And if you know, how long -- you did that
5 calculation. How long did that take to fall?

6 A. It is approximately 9.4 hours. If I had
7 subtracted those N/As from 9.4, it would have been
8 less time.

9 Q. And if it was less time, would it
10 increase or decrease your number for intensity?

11 A. It would have increased.

12 Q. So it is your testimony that if you used
13 a longer period of time, that would have decreased
14 the intensity; and your testimony is that was
15 conservative on your part; is that correct?

16 A. Yes.

17 Q. I believe you mentioned the third thing
18 that you looked at, which was the run off
19 coefficient, Mr. Manoyan; is that correct?

20 A. Run off coefficient, yes.

21 Q. And what is a run off coefficient?

22 A. It is run off divided by rainfall.

23 Q. And how does one go about obtaining a run
24 off coefficient?

1 A. These are literature values. You could
2 go into a textbook and find this. Also, it is
3 available at internet.

4 Q. And you say literature values or textbook
5 values, is it common practice to use a textbook to
6 obtain this particular value?

7 A. Yes, it is.

8 Q. And when you are talking about run off
9 coefficient, can you tell me what is a run off
10 coefficient determining or encompassing?

11 A. Well, it factors in land use, the type of
12 land it is, impervious areas, pervious areas, it is
13 all factored in that coefficient. It is a universe.

14 Q. And for this coefficient what did you
15 use for the run off coefficient in this case?

16 A. I chose .3 for urban areas. And I also
17 wanted to be consistent again in this case; I used
18 the Rapps Engineering's use of that value also.

19 Q. And I am sorry, you said you used the
20 amount of coefficient for urban areas?

21 A. Urban -- not urban, I am sorry. I made a
22 mistake. Agricultural areas, farming communities.

23 MS. PELLEGRIN: Your Honor, permission for
24 Mr. Manoyan to approach the easel and perform his

1 calculation for the volumetric flow?

2 JUDGE MORAN: Sure.

3 THE WITNESS: I am going to take my
4 calculator just in case.

5 JUDGE MORAN: Sure.

6 BY MS. PELLEGRIN:

7 Q. Mr. Manoyan, I am going to have you flip
8 to a clean page and start out by writing Exhibit J.

9 A. (Marking the exhibit).

10 (Whereupon EPA Demonstrative
11 Exhibit J was marked for
12 purposes of identification as of
13 this date.)

14 JUDGE MORAN: I will have so many wall
15 hangings in my office.

16 MS. PELLEGRIN: Maybe we will make it to Z by
17 the end of this hearing.

18 THE WITNESS: All set.

19 BY MS. PELLEGRIN:

20 Q. Mr. Manoyan, you mentioned that you used
21 the rational method. Is that a -- can you write --
22 well, first of all, let's title this document
23 Volumetric Flow Rate.

24 A. (Marking the exhibit).

1 Q. Okay. Mr. Manoyan, you mentioned that
2 you used the rational method formula to calculate the
3 volumetric flow rate in this case. What is the
4 formula for the rational method? Can you please
5 write that on Exhibit J?

6 A. Sure (Marking the exhibit).

7 Q. And what have you just written for the
8 record, Mr. Manoyan?

9 A. I said Q is equal to CIA.

10 Q. Is that the rational method formula?

11 A. Yes, it is.

12 Q. What does Q standard for?

13 A. Q is flow.

14 Q. Okay. Could you please write Q equals
15 flow?

16 A. (Marking the exhibit).

17 Q. And what does C stand for in this
18 formula?

19 A. Run off coefficient (Marking the exhibit).

20 Q. What does I stand for?

21 A. Intensity (Marking the exhibit).

22 Q. And what does A stand for?

23 A. A is area (Marking the exhibit).

24 Q. And for the record could you please

1 explain what you have written on the first page of
2 Exhibit J?

3 A. Exhibit J indicates the volumetric flow
4 rate calculation. The formula being used here is
5 rational form method. It is Q equal to CIA . Q is
6 equal to flow, C is run off coefficient, I is
7 intensity, A is area.

8 Q. Okay. Let's go ahead and turn to what
9 would be page 2 of Exhibit J. And in this case, Mr.
10 Manoyan, you are solving for Q ; is that right?

11 A. Yes.

12 Q. So what does in this case C stand for?

13 A. The value of C is equal to .3 and it has
14 no units.

15 Q. Okay. And that's the run off
16 coefficient?

17 A. Yes, it is.

18 Q. And in this case what is I ? What is the
19 value of I ?

20 A. I have to calculate that for this
21 particular case. I is equal to rainfall, depth,
22 divided by time. And in this case it is .96 inches
23 divided by 9.4 hours.

24 Q. And the .96 and 9.4 hours, Mr. Manoyan,

1 just to remind us, where did you get that from?

2 A. This is from Wunderground Weather
3 Service.

4 Q. And if you would like to go ahead and
5 perform that calculation?

6 A. I can. I is equal to .102 inches per
7 hour.

8 Q. And what is A equal to in this case?

9 A. A is equal to 446 acres.

10 Q. And, Mr. Manoyan, if you so wish, you
11 could turn to the next page if you think you need
12 more room, and calculate for us what the volumetric
13 flow rate of Q is in this case.

14 A. Okay. I will write down page 3. Q is
15 equal to .3 times .102 inches per hour times the
16 area, 446 acres, and that number is 13.6 Cfs or cubic
17 feet per second.

18 Q. And, Mr. Manoyan, you have just
19 calculated Q equal to 13.6 cubic feet per second; is
20 that correct?

21 A. Yes.

22 Q. And can you put cubic feet per second in
23 something that a layman can understand? I would
24 suggest gallons again or gallons per time.

1 A. Okay. Let's be consistent, use gallons.
2 I will have to use the conversion factor for gallons
3 which is, let's say, converting factor, it is 7.4805
4 which means one cubic feet per second equals to
5 7.4805 gallons per second. So I will just multiply
6 these two numbers to come up with gallons per second.
7 That's 102.1 gallons per second.

8 Q. And can I ask you one more favor? Can
9 you convert that in to gallons per minute for us?

10 A. Okay. I will just have to multiply that
11 by 60 because there are 60 seconds in a minute.

12 Q. Okay. Mr. Manoyan, if I am understanding
13 you correctly, you have just calculated the
14 volumetric flow rate in gallons per minute of this
15 particular February 24, 2007, storm event; is that
16 right?

17 A. This is correct, yes.

18 Q. And now, Mr. Manoyan, if we all ever make
19 it out of this courtroom this week sometime, it is
20 summer soon. So I would like you to use an analogy
21 of a backyard swimming pool to show us in layman's
22 terms what that rate of flow looks like. And I will
23 give you -- I have in mind a 30-foot long pool.

24 A. Let me write that down.

1 Q. Okay. By, let's say, 15 feet wide, and
2 so that I can reach the top, five feet deep. What
3 would you have to do in order to determine what that
4 volumetric flow rate would look like in a swimming
5 pool?

6 A. Okay. I need to find the volume of that
7 swimming pool which is the multiplication of the
8 numbers you have given me. These are the dimensions
9 of your swimming pool.

10 JUDGE MORAN: Let me just stop you. I wasn't
11 paying attention for a second. You are coming up
12 with a swimming pool analogy?

13 MS. PELLEGRIN: Yes.

14 JUDGE MORAN: And you have created a swimming
15 pool of these dimensions?

16 MS. PELLEGRIN: Yes, Your Honor.

17 THE WITNESS: 30 feet by 15 by 5 feet.

18 JUDGE MORAN: This would not be one of the
19 circular swimming pools I see in the CVS inserts
20 where you see four people, two adults.

21 MS. PELLEGRIN: I am envisioning an in-ground
22 swimming pool, Your Honor. Although I am sure it
23 would probably fill one of those pools faster than
24 this size pool.

1 THE WITNESS: A. Your volume for this
2 particular swimming pool is 2250 cubic feet.

3 Q. And can you convert that to gallons to be
4 consistent?

5 A. I can. I have to multiply it by the
6 conversion factor again which was 7.4805. So 2250
7 times 7.4805 is -- in gallons it is 16,831 gallons.

8 Q. That's the gallons, that's the volume of
9 the swimming pool I have asked you to calculate; is
10 that correct?

11 A. Yes, in gallons.

12 Q. And can you tell me at the volumetric
13 flow rate that you calculated how long would it take
14 to fill up this swimming pool?

15 A. Going back to the previous page where I
16 calculated the volumetric rate, I have 6125.5 gallons
17 per minute. I need to divide this number by this
18 rate to get the time for you.

19 JUDGE MORAN: And while he is doing that, I
20 will reassure you we will be getting out of this
21 courtroom on Friday. There is no question about
22 that. The question is whether we will be here on
23 Monday.

24 MS. PELLEGRIN: I know, Your Honor. And

1 actually it is summer time soon so I am thinking of
2 swimming pools. Sort of, I would rather be fishing,
3 I would rather be swimming.

4 JUDGE MORAN: Go catch some minnows down in
5 the Martin Branch, I understand.

6 MS. PELLEGRIN: Although I don't know if I
7 want to swim in the Martin Branch channel.

8 Q. Mr. Manoyan, what have you just done
9 here?

10 A. I have calculated the amount of time it
11 would take with the rate that we have calculated
12 previously. For your swimming pool, it would take
13 2.7 minutes to either fill or empty.

14 Q. Okay. And so again backing up a little
15 bit, the volumetric flow rate of the rain event on
16 February 24, 2007, was flowing at such a rate that it
17 would take 2.7 minutes to fill up the swimming pool
18 that I just asked you to calculate for us; is that
19 correct?

20 A. Yes, that's correct.

21 Q. And, Mr. Manoyan, I think this will be my
22 last calculation for you. You originally in Exhibit
23 I, I believe, gave us the amount of gallons that this
24 rain would produce and you subtracted the evaporation

1 rates so you reduced the amount of gallons that this
2 rain would produce. And remind me if you remember,
3 what was that number in the amount of gallons?

4 A. We end up something 7.2 million gallons.

5 Q. Okay. Continuing with analogy of this
6 in-ground, non-CVS swimming pool, how many swimming
7 pools would it take -- how many swimming pools would
8 this amount of water fill?

9 A. I need to divide the 7.2 million gallons
10 by this volume of the swimming pool which is 16,831.1
11 gallons. I'll go to another page and do that. That
12 number is --

13 (Pause.)

14 Q. And, Mr. Manoyan, could you explain what
15 you just calculated?

16 A. I calculated the number of pools that
17 this 7.2 million gallons of water would translate to
18 using your dimensions. Your dimensions end up being
19 16,831.1 gallons or one swimming pool. This was the
20 amount left over from that rain event that occurred
21 on February 24, 2007. The number of pools that it
22 would fill would be roughly 428 pools.

23 Q. Okay. And, Mr. Manoyan, just to clean
24 up, can you please make sure that you label Exhibit

1 J, pages 1 through whatever it is now you are on, for
2 the record?

3 JUDGE MORAN: Are you sure you have that
4 right? That's page 4 of the new exhibit, of J?

5 THE WITNESS: Yes, it is.

6 JUDGE MORAN: Whatever. But I take it, Mr.
7 Manoyan, that the number of this 427 swimming pools,
8 that would have been filled up whether the Martin
9 Branch had been altered or not. The same thing would
10 have happened on that day.

11 THE WITNESS: Yes, exactly.

12 BY MS. PELLEGRIN:

13 Q. And, Mr. Manoyan, I think you can have a
14 seat now.

15 And now, Mr. Manoyan, this rain event,
16 the February 24, 2007, event, I believe you testified
17 earlier that you were present when Mr. Daniel Hesel
18 testified about the photos he took with his family?

19 A. Yes, I was.

20 Q. And, Mr. Manoyan, were you present when
21 Mr. Small was cross-examining Mr. Daniel Hesel about
22 this rain event?

23 A. Yes, I was.

24 Q. Now, do you remember when Mr. Small asked

1 Mr. Heser, and I am quoting from page 83 of day three
2 of the transcript,

3 Mr. Small:

4 "Q. Okay. Now, I hope you can remember
5 this, but wasn't that a week when it just -- the week
6 before that day -- wasn't it just every day it rained
7 and rained, it rained off and on, it was very
8 unsettling weather that whole week; was it not?

9 "A. (By Mr. Daniel Heser) That I do not
10 recall."

11 And my question to you, Mr. Manoyan, is
12 did you have any occasion to determine what the
13 rainfall data was the week before the February 24,
14 2007, rain event which you quantified for us today?

15 A. Yes, I did. I looked at the whole month
16 of February 2007.

17 Q. And what information -- let's go ahead
18 and turn to Complainant's Exhibit 58, again Bates
19 page 1400.

20 A. Okay. I am there.

21 Q. And looking at -- let's start with
22 February 24, 2007, on this calendar. For the record
23 can you state what the precipitation event for the
24 week before that day are? Let's see, going up to a

1 week til Saturday, February 17, what was the rain
2 event?

3 A. There was no rain event.

4 Q. Okay. And when was the most recent rain
5 event to the February 24, 2007, rain event?

6 A. February 12 and 13.

7 Q. And for the record what were those rain
8 events on February 12? Let's start there.

9 A. 12th, it was .13 inches.

10 Q. And the 13th?

11 A. 13.85 inches.

12 Q. So it is your testimony that from the
13 14th through to the 24th, those ten days, according
14 to this rain data there is no precipitation?

15 A. According to this document, yes, there is
16 no rain event.

17 Q. All right. And I believe there has been
18 some testimony about -- I believe you testified that
19 you were present on the site of the general area on
20 March 8, 2007?

21 A. Yes.

22 Q. And did you have an occasion to review
23 the rainfall data from the February 24, 2007, rain
24 event until the time you were there on March 8, 2007?

1 A. No, I did not.

2 Q. I am sorry, you didn't review it at that
3 time?

4 A. At that time I did not review it.

5 Q. Since that time have you reviewed that
6 rain data?

7 A. Yes, I have looked at the data.

8 Q. And looking again at the February 24,
9 2007, rain event, let's look at the week after the
10 February 24, 2007, rain event, and I am on Bates page
11 1400. From the time the rain event occurred on
12 February 24, 2007, and the time you were at the site
13 on March 8, 2007, what, if any, rain event occurred?

14 A. On March 1 there was .2 inches of rain
15 occur.

16 Q. .20 inches of rain?

17 A. Yes.

18 Q. And is that all the rain?

19 A. That's all.

20 Q. Okay. Mr. Manoyan, you calculated the
21 rainfall intensity for .96 inches over, was it 8.9?

22 A. 9.4 hours.

23 Q. 9.4 hours. You calculated the intensity
24 of a .96 inch event over 9.4 hours; is that correct?

1 A. That's correct.

2 Q. And did you have occasion to determine
3 the frequency of that intensity of rain in this area,
4 the Salem, Illinois, area?

5 A. Yes, I did.

6 Q. And how did you go about doing that?

7 A. I looked at each of the daily
8 precipitation events going back to January of 2002 up
9 to 2006 December, so about roughly about five years
10 of data.

11 Q. And what data did you use?

12 A. I used the same resource again,
13 wunderground.com data.

14 Q. And why did you use the wunderground.com
15 data?

16 A. It was submitted by the Respondents.

17 Q. Mr. Manoyan, I am not sure if you have a
18 Respondents' binder up there with you. There should
19 be a Respondents' binder up there with you. It is
20 another black binder. It has just a couple tabs. It
21 just has numbered tabs.

22 A. Okay. I think I have it.

23 Q. Turning your attention to Tab 19 in that
24 book?

1 A. Okay.

2 Q. And I believe it's Attachment C and it is
3 also number 233, Hesel Exhibit Number 233 on Tab 19.

4 JUDGE MORAN: 233?

5 MS. PELLEGRIN: Yes, Your Honor.

6 THE WITNESS: Okay, I am there.

7 BY MS. PELLEGRIN:

8 Q. Okay. And, Mr. Manoyan, looking through
9 this to the end of Tab 19 which is Document 393, just
10 flipping through that, is that the Respondents' data
11 that you were referring to?

12 A. Yes, this is it.

13 Q. And, Mr. Manoyan, my question earlier was
14 did you figure out what the frequency of this
15 particular intensity event occurring was, and I
16 believe you testified you did back to January 2002?

17 A. Yes.

18 Q. And what was the frequency of this kind
19 of .96 over 9.4 hours run at?

20 A. The intensity of similar or larger was
21 occurring, at least in my count, 52 times within that
22 five-year period.

23 MS. PELLEGRIN: Your Honor, if I could have a
24 few minutes, I believe I am done. I just want to

1 review my notes.

2 JUDGE MORAN: Sure, sure.

3 (Pause.)

4 MS. PELLEGRIN: I have no further questions
5 of this witness, Your Honor, at this time.

6 JUDGE MORAN: Would you like a few minutes
7 before we start cross or are you ready to go?

8 MR. NORTHRUP: I need a break.

9 JUDGE MORAN: Okay. We will take a
10 ten-minute break.

11 (Whereupon the hearing was in a
12 short recess.)

13 JUDGE MORAN: We are on the record now.

14 MS. PELLEGRIN: Your Honor, I apologize, I
15 forgot to move to admit Exhibits I and J for
16 Mr. Manoyan. If we could talk to you about it at
17 this time, I would like to take care of that.

18 MR. NORTH: No objection.

19 JUDGE MORAN: All right. EPA Demonstrative
20 Exhibits I and J are admitted.

21 (Whereupon EPA Demonstrative
22 Exhibits I and J were admitted
23 into evidence.)

24 JUDGE MORAN: That concludes EPA's direct

1 examination of Mr. Manoyan?

2 MS. PELLEGRIN: Yes, Your Honor.

3 JUDGE MORAN: All right. Cross examination?

4 MR. SMALL: Thank you, Your Honor.

5 CROSS EXAMINATION

6 BY MR. SMALL:

7 Q. Now, I want to make certain I pronounce
8 your name right. Is it Mr. Manoyan?

9 A. Manoyan.

10 Q. Mr. Manoyan, okay. If I mispronounce
11 your name, it is not intentional.

12 Now, Mr. Manoyan, I listened to your
13 testimony, and obviously you have us at a
14 disadvantage because we certainly are not experts in
15 flows of water. But, you know, listening to your
16 testimony, what I got out of it was that in order for
17 your models to be accurate, you had to have accurate
18 information that went into those models; is that
19 correct?

20 A. That's correct.

21 Q. And for them to be reliable; is that
22 correct?

23 A. Yes, representative.

24 Q. And in order to make some of these

1 calculations you had to, number one, make an
2 assumption that the portion of the Martin Branch
3 water shed acreage which you calculated to be 446
4 acres was accurate?

5 A. I did not calculate that number. It was
6 calculated by the GIS expert at EPA. I think you all
7 met her, Joan Rogers.

8 Q. Right. So you are making the assumption
9 that Ms. Roger's number of 446 acres is correct?

10 A. Yes.

11 Q. Now, I think you were here when
12 Ms. Rogers was on the stand, were you not?

13 A. I was here.

14 Q. And do you recall her saying that there
15 was about 30 percent of her calculations that, for
16 one reason or another, might not be correct?

17 A. She said something to that effect. I
18 don't remember whether it was exactly that number.

19 Q. So, when we are looking at that acreage
20 on the water shed, it could go either way. It could
21 be 30 percent less or 30 percent more. It is just an
22 assumed figure; correct?

23 MS. PELLEGRIN: Your Honor, I am going to
24 object to this, I believe, mischaracterization of

1 Ms. Joan Rogers' testimony. I am happy to have that
2 particular portion read into the transcript, but I
3 don't remember that Ms. Rogers said it could go 30
4 percent either way in terms of this acreage that she
5 calculated.

6 JUDGE MORAN: Well, but he is just asking
7 him -- see, the record will reflect what she said and
8 he is just asking this witness to assume that what
9 Ms. Rogers said was that there was a 30 percent
10 margin of error in her calculation. Is that your
11 question?

12 MR. SMALL: That's correct, Your Honor. She
13 said it could go wrong either way.

14 JUDGE MORAN: Yeah, so 30 percent, that
15 necessarily implies it could go either way. If she
16 says there is a 30 percent margin of error, then that
17 necessarily implies that it could be 30 percent more
18 or 30 percent less. My point is simply that we
19 need -- it is in Respondents' counsel's interest to
20 be accurate about the percent. But in fact if she
21 said 28 percent, then that's what will control. This
22 is a hypothetical.

23 MS. PELLEGRIN: Okay. I think the record
24 will reflect what Ms. Rogers said.

1 JUDGE MORAN: Fine, but that's not my point.

2 Go ahead.

3 BY MR. SMALL: Thank you, Your Honor.

4 Q. And likewise on the precipitation amount
5 which was for February 24, '07, you showed .96?

6 A. Correct.

7 Q. That was calculated in Salem, Illinois?

8 A. Uh-huh.

9 Q. And your assumption is correct that the
10 Respondents used that same figure, but that could be
11 off one way or the other because the precipitation
12 amount was actually taken in Salem, Illinois; is that
13 correct?

14 A. Yeah, that is correct.

15 Q. And so if there were other precipitation
16 on the site, that really would have thrown off that
17 figure .96?

18 A. The answer to that, prior to using that
19 value of .96 I consulted a meteorologist about the
20 storm events. It is again Ms. Joan Rogers. She has
21 a meteorology degree. She explained it this way.
22 There are two types of storm events. F.

23 One entails fall and winter. The other
24 one is summer and spring. Fall and winter storm

1 events does not have a lot of variation. It covers a
2 wide area, so that distribution of the rain event or
3 .96 is uniform and at least that is about ten miles
4 wide. So it will encompass Salem in that situation.

5 Q. And so it is less likely to be off widely
6 in winter?

7 A. It is less likely to be off by winter,
8 yes.

9 Q. It could be off some, but in winter it is
10 going to be closer to being accurate than in summer
11 where it might have heavy downpours?

12 A. In summer it could vary quite a lot, but
13 not in fall and winter storm events.

14 Q. Okay. If you know, how far is it from
15 the Hesper site, Hesper L, to the area where the
16 rainfall data is collected?

17 A. I believe it is somewhere around eight to
18 nine miles.

19 JUDGE MORAN: Eight to nine?

20 THE WITNESS: Eight to nine, so it is
21 somewhere within that realm of that ten mile spread.

22 BY MR. SMALL:

23 Q. So again back to the basic premise, you
24 get what you put into your formula?

1 A. Exactly.

2 Q. If it is inaccurate figures, you are
3 going to come out with a result that is not accurate
4 either?

5 A. If this .96 is going off, let's say it is
6 .1 instead of .9, then it would be a different value.
7 But I am assuming -- I made the assumption that this
8 .96 is accurate.

9 Q. I understand it. But also in the
10 acreage, if the acreage is off, that would also throw
11 that calculation off?

12 A. Well, I have a response to that
13 statement.

14 JUDGE MORAN: No, but his question is just
15 that, see.

16 Q. So is it correct that if the acreage was
17 wrong, inaccurate for any reason, that would throw
18 off the results?

19 A. If it was inaccurate, yes. Any of those
20 components would have affected it.

21 Q. Now, I think your testimony also was you
22 are making another assumption and that is that there
23 was a 40 percent -- well, first off we assume that we
24 had 12 million gallons. We kind of round it up. But

1 then I think you gave us a little advantage and you
2 rounded up your evaporation rate to 40 percent;
3 correct?

4 A. Yeah.

5 Q. And you mentioned that 40 percent would
6 evaporate and then you said something that I didn't
7 understand. And that was you said some goes to the
8 center of the water shed. What do you mean by that?

9 A. Well, it's within the area of that
10 delineated area. That's the amount of water that was
11 collected in that area. That's what I mean.

12 Q. So are you saying some has evaporated,
13 some goes in the soil, some goes to the center and
14 some goes into Martin's Branch, is that what you are
15 saying?

16 A. All of those areas received .96 inches of
17 rain. It is uniform.

18 Q. All right.

19 A. It's within that area that I was
20 calculating the volume.

21 Q. Now, let's just assume that that area
22 that you were looking at that was Martin's Branch,
23 the particular --

24 A. The water shed.

1 Q. The water shed area, if that was all
2 black topped over, let's say there was nothing but
3 black top in that whole area, that wouldn't throw off
4 the calculations as to the amount of rainfall coming
5 down on it; would it?

6 A. No, the volume would be the same.

7 Q. It has absolutely nothing to do with any
8 work or whatever is in that area?

9 A. Exactly. I said that.

10 Q. So now I would like to go into the
11 volumetric flow rate.

12 A. Okay.

13 Q. And again I think you have indicated that
14 was the rational method or what I call, I like your
15 term, ballpark method. That's just kind of a
16 ballpark of how it is flowing; correct?

17 A. And the rate it is flowing.

18 Q. And again that formula, that model that
19 you use there, contains the acreage of the particular
20 water shed that you are looking at; right?

21 A. Correct.

22 Q. And so again my question is, you know, if
23 that number is off, if that's inaccurate, then that
24 will affect the result of your volumetric flow rate;

1 correct?

2 A. That is correct.

3 Q. Now, you weren't on site, were you, on
4 the Hesper L on February 24, '07?

5 A. I was not.

6 Q. So you are just picking up this data
7 from, was it, wunder --

8 A. Wunderground.

9 Q. Wunderground.com?

10 A. Correct.

11 Q. And looking at that data for February 24,
12 '07, and again that is Exhibit 58 and I have to tell
13 you the page, page 1400.

14 A. I am there.

15 Q. That appears to be the biggest rainfall
16 event that month; correct?

17 A. Correct.

18 Q. Is there any particular reason why you
19 used the biggest rainfall event of the month for your
20 calculations?

21 A. Yes, there is. Do you want me to say
22 what it is?

23 Q. I'll -- and was the reason why you chose
24 that date because that was the date that you had

1 certain pictures from Danny Hesper?

2 A. Yes.

3 Q. Now, referring to that same sheet.

4 A. 1400?

5 Q. Yes, 1400. And this is the question,
6 because I don't know what it means; maybe you do.
7 February 20, if you will look at that?

8 A. 20, yes.

9 Q. And in that box on February 20 in the
10 upper right-hand corner it looks like kind of a dark
11 cloud with precipitation of some sort coming out of
12 it; is that right?

13 A. There is a symbol as you described it.

14 Q. Is that what you would interpret that to
15 be?

16 A. Interpret it as what?

17 Q. Would you interpret that to mean it looks
18 like a cloud with precipitation coming out of it?

19 A. Yes.

20 Q. And yet on that date it says
21 precipitation zero; is that correct?

22 A. That is correct.

23 Q. Do you know why this document has that
24 cloud with precipitation coming out of it on that

1 date if there is no precipitation?

2 A. It may have been a very minute amount,
3 less than, let's say, .001 inches. So it was not
4 recorded.

5 Q. And are you saying that as a matter of
6 speculation or are you saying that as a matter that
7 you know that to be a fact?

8 A. I don't know that as a fact, but that's
9 my professional opinion of it.

10 Q. Okay. Now, you indicated that 52 times
11 in approximately a five-year period there was
12 rainfall events of the same intensity?

13 A. Correct.

14 Q. That occurred?

15 A. Same or more intensity.

16 Q. Now, these would be at different times of
17 the year; is that correct? They weren't all in the
18 winter.

19 A. No.

20 Q. As a matter of fact, most of them would
21 be in the summer?

22 A. Could have been.

23 Q. Could have been or are?

24 A. Well, by summer, define the months for

1 me.

2 Q. Let's say spring and summer. Let's go
3 from March, April, May, June, July, August.

4 A. That is your spring?

5 Q. That's spring and summer.

6 A. Okay. Starting from June 31 to August,
7 September 1, is one or most of the driest months.

8 There wasn't much of any rain event occurring.

9 Q. Let's start with March then.

10 A. Okay.

11 Q. Would you typically see big rains in the
12 spring?

13 A. It varies from year to year.

14 Q. Can you have a generalization? You know,
15 if your rainfall events generally take place more
16 frequently in what we typically would call spring
17 months --

18 A. Than August?

19 Q. Yes, rather than August.

20 A. Yeah, that's true.

21 Q. And so would most of these 52 events that
22 you are talking about take place in months that would
23 be spring or early summer?

24 A. Except for excluding August, I would say

1 it is spread around the whole year.

2 Q. Okay.

3 A. I am excluding August from that
4 statement.

5 Q. You are saying that it is throughout the
6 whole year?

7 A. Throughout the whole year.

8 Q. Other than August?

9 A. Other than August generally.

10 Q. The evaporation rates would be higher in
11 the spring and summer?

12 A. Right.

13 Q. What would those evaporation rates be
14 approximately?

15 A. I really gave 40 percent as a
16 conservative value on the other site's benefit. I
17 would say if I were to use 40, then in summer I would
18 use 45 maybe.

19 MR. NORTHRUP: I have got a few questions in
20 follow up.

21 CROSS EXAMINATION

22 BY MR. NORTHRUP:

23 Q. You talked about as part of your
24 background you performed a water body budget for the

1 lower Fox River. Do you remember that?

2 A. Water budget for the lower Fox River,
3 yes.

4 Q. Water budget for the lower Fox River,
5 okay. What types of data did you collect for that
6 study?

7 A. Climate data which would include
8 temperature, precipitation; turbidity data, it is how
9 cloudy it is.

10 Q. How cloudy the water is?

11 A. Within the water, how cloudy it is. If
12 there is a lot of sediment, it is blurry, it is
13 murky. That's what turbidity defines, actually.
14 Temperature, pH, water levels, flow. It was
15 available to me from USGS, that data.

16 Q. So did you actually go out in the field
17 and have any of this data collected?

18 A. No, I did not.

19 Q. And where did you obtain it again?

20 A. I obtained it from USGS, another
21 governmental body.

22 Q. So this was all published data that they
23 had gone out and gotten?

24 A. Yes, they have collected this data. They

1 have quality insurance and quality controls on it,
2 and then it would be available for anyone's use.

3 Q. What was the period of time that you
4 looked at for this water budget study?

5 A. I said it was 20 years, but I can't
6 recall the exact dates of it. Anywhere from 1970 on
7 to 20 years, 1990.

8 Q. With respect to your calculation of
9 volume and volumetric flow rate, did you calculate
10 any of those for any of the other water sheds in the
11 Lake Centralia area?

12 A. I did not.

13 Q. You indicated you used either a 35 or 40
14 percent evaporation rate?

15 A. I was being generous, yes, for that
16 particular time of the year. But, yeah, 35 is what I
17 said or 40, I believe.

18 Q. And explain to me how evaporation works.

19 A. Well, it is directly related to
20 temperature. If you have a high enough temperature,
21 part of your volume will evaporate, goes into the
22 atmosphere.

23 Q. Once the rain hits the ground?

24 A. Once it hits the ground, yes.

1 Q. Would you --

2 A. It would start upon hitting the ground
3 and on. It wouldn't be just an instantaneous thing.
4 It would take some time to evaporate.

5 Q. Would you apply that evaporation rate if
6 you wanted to calculate how much rain fell actually
7 into the 413 acres of Lake Centralia?

8 A. Could you repeat that, please?

9 Q. Would you apply the evaporation rate to
10 the rain that fell directly into Lake Centralia?

11 A. Yes, there is an evaporation occurring at
12 Lake Centralia at the same time. I didn't calculate
13 anything for Lake Centralia. I was just calculating
14 for the sub-water shed that we mentioned before.

15 Q. And would that evaporation rate for Lake
16 Centralia be something less than 35?

17 A. No, it would be similar. It is the same
18 area. It would be the same central value, if not
19 exact.

20 Q. I think you had calculated that there
21 were 7.2 million gallons after you applied the
22 evaporation rate?

23 A. Yes.

24 Q. That fell in the Martin Branch, what I

1 call the sub-water shed area?

2 A. Okay.

3 Q. And you indicated some of that water is
4 infiltrated into the ground; correct?

5 A. Uh-huh.

6 Q. You also said that it would eventually
7 make its way to Lake Centralia; do you remember that?

8 A. Yes.

9 Q. Have you performed any calculations to
10 determine how long it would take?

11 A. I did not. I just calculated the volume
12 of water that came down to the sub-water shed in
13 question.

14 Q. Is that a calculation that you can
15 perform?

16 A. I can, yes.

17 Q. But that's probably a more complex
18 calculation?

19 A. You would need a little more information
20 about that.

21 Q. What types of information?

22 A. Anywhere from the soils within the soils,
23 geological information. You would need velocity,
24 volumes, sediments. You would need more information

1 to calculate that, but that's possible.

2 Q. Where would you get that information?

3 A. Various organizations. USGS might have
4 it. ISWS, Illinois State Water Survey. Local NRCS
5 offices would have that information also.

6 Q. Now, if they didn't have it, you would
7 have to go out to the field to collect that yourself?

8 A. You can do some field work and then make
9 estimates in regards to that.

10 Q. Is volumetric flow rate impacted at all
11 by, say, the types of vegetation that's on the
12 ground?

13 A. Yes. That's factored in with the runoff
14 coefficient. It addresses the land use, vegetation
15 on the land, impervious areas, pervious areas. All
16 of that is factored into the runoff coefficient that
17 I mentioned.

18 Q. How about issues of gradient or slope?
19 Are they factored into the runoff coefficient?

20 A. All of that is factored in, yes.

21 Q. And where do these runoff coefficients
22 come from again?

23 A. It is available in textbooks. People
24 prior to me for many years collected data and

1 information, and then they analyzed that data and
2 come up with ranges of values for runoff
3 coefficients.

4 Q. Do you have any idea whether the runoff
5 coefficients, the numbers that they used, were in any
6 way based on anything around our site, the Hesper
7 site?

8 A. Well, it would be related to the area in
9 the county, so in that sense, yes, it is.

10 Q. So the County calculates these runoff
11 coefficients?

12 A. Well, the County has this information for
13 various land use areas. Agricultural communities,
14 the coefficient would be anywhere from .1 to .05.
15 The selection of .3 in this case, I was simulating
16 the same value or using the same value that your
17 consultants used so that there won't be any
18 inconsistencies.

19 Q. My question, I guess, is how do we know
20 that .01 to .05 is accurate?

21 A. You don't, actually. You just have to
22 make assumptions. And I assumed, as your consultant
23 did, agricultural areas normally is around .3, and I
24 used the same value.

1 Q. With respect to the volumetric flow rate,
2 I am trying to envision this. And you said, I think
3 it was 102 gallons per second?

4 A. It's cubic feet per second.

5 Q. Cubic feet per second?

6 A. It that right? Okay, one of those
7 figures.

8 Q. So does that mean that any time during
9 this storm event, anywhere I stand within the Martin
10 Branch sub-water shed, 102 cubic feet of water is
11 going to be rushing past my feet?

12 A. Yes, at one point, yes.

13 Q. At any point at any time?

14 A. At any point. It is the rate of flow.

15 JUDGE MORAN: It's the what?

16 THE WITNESS: Rate of flow.

17 Q. So under your calculation it doesn't make
18 any difference whether I am standing at a higher
19 elevation or a lower elevation; it is going to be --

20 A. It is a matter of a finite volume of
21 water and that's the rate it is going to flow with.
22 That's your flow rate.

23 Q. It's a flow rate. So it doesn't mean
24 when I am standing at the top of the hill 102 gallons

1 is rushing past me at any given time?

2 A. It is 102 at any time.

3 Q. So if I understand correctly then, the
4 physical contours of the land make no difference
5 whatsoever to that calculation of the 102.1 cubic
6 feet?

7 A. It does not incorporate the slopes for
8 that particular method.

9 Q. Okay. There are other methods where that
10 is incorporated?

11 A. For different purposes you could use the
12 slope information.

13 Q. Would that make the calculation more
14 accurate?

15 A. No, that calculation is accurate for its
16 purposes.

17 Q. If you included that other information,
18 that would make it more precise to your specific
19 location?

20 A. Well, this figure is a ballpark figure.
21 It is not going to be multiples of that figure. It
22 is either going to be 103 or 105 at most if you
23 incorporate that amount for the slopes. But other
24 than that, it is not going to change all that much.

1 It is not factorial.

2 MR. NORTHRUP: Nothing further, Your Honor.

3 JUDGE MORAN: Okay. I am going to ask a few
4 questions before I allow EPA to have any redirect
5 that they may wish to have.

6 EXAMINATION

7 BY JUDGE MORAN:

8 Q. Mr. Manoyan, I take it that earlier when
9 you were talking about the accuracy of this rain data
10 at the Salem station, you said that, if I am correct,
11 you said there is less accuracy in the summer months
12 than in, say, the winter months; is that right?

13 A. Yes.

14 Q. And would that be due to what we refer to
15 in climates where the temperature gets really hot you
16 have something called pop up storms that are very
17 localized?

18 A. To my understanding it is based on the
19 cloud formation for fall and winter. It is Stratus
20 cloud formations that use that, and that kind of
21 cloud formation produces uniform distribution of
22 precipitation.

23 Q. So you are saying you have a different
24 cloud formation in the summer months?

1 A. I believe that it was cumulus cloud
2 formation, but I am not exactly sure.

3 Q. Now, this Salem station, did you say it
4 was eight to ten miles from the Martin Branch?

5 A. I said seven to eight possibly. I did
6 not measure it.

7 Q. But was it your testimony that, knowing
8 what rain was recorded at the Salem station, that one
9 could conclude that a location seven miles from
10 there, that that would be reflective of what occurred
11 at least in February of '07?

12 A. Yes, it did.

13 Q. And would that be true, sir, if you use
14 Salem as the center point, that in a radius of at
15 least seven miles, wherever you are within that seven
16 mile radius, that would be accurate to tell how much
17 rain fell within that circle that has a seven-mile
18 radius?

19 A. Well, that seven-mile radius has a
20 diameter of 14 miles. So within that span of 14
21 miles.

22 Q. But from the center of the station --

23 A. From the center, if you go out seven
24 miles, yes, it would be uniform.

1 Q. So my next question is, well, how far
2 out, if you know, from the Salem station can one
3 accurately predict that the information at Salem
4 would tell you, for instance -- let me give you a
5 hypothetical.

6 Let's say I am 15 miles away from the
7 Salem station by radius. Would you be able as an
8 expert to say that this would also be an indicator as
9 to the rain or was that too far away from the center
10 point?

11 A. I am not a meteorologist, so I am
12 assuming that it may be a little different in 15
13 miles than the ten miles range that I was told.

14 Q. So are you telling me that someone told
15 you that a ten-mile range is -- that that's a
16 predictor of a ten-mile range and you don't know that
17 of your own, that someone just said to you, oh, yeah,
18 ten miles out, that's a good indicator?

19 A. No, I was told by a meteorologist that
20 this is the accepted norm, and this is the
21 information that she gave me.

22 Q. And this was the person who was a witness
23 here earlier?

24 A. Earlier, yes. She has a meteorology

1 degree.

2 Q. So you took it on faith that this
3 ten-mile rule of thumb was a good measure based on
4 what she told you?

5 A. Yes.

6 Q. And do you happen to know, sir, was there
7 any or is there any nearer rain station other than
8 Salem closer to Martin Branch, to the area that's in
9 the subject of this -- I mean Martin Branch as it
10 relates to where the Hesper property is -- do you know
11 if there is a closer rain station than Salem?

12 A. I believe Salem is the closest one.

13 Q. Did you investigate that?

14 A. I have been told by the meteorologist
15 that it is the closest one.

16 Q. And when you talked about, I think you
17 said, that 7.2 million gallons of water would have
18 fallen during this period on this particular date
19 after evaporation?

20 A. After evaporation, yes.

21 Q. But did you acknowledge that a certain
22 portion of this would be runoff and a certain portion
23 of it would be absorbed by the soil?

24 A. I said it would be infiltrated into the

1 soil. But the volume that I was calculating was
2 still going to be 7.2 after evaporation.

3 Q. Right. But did you ever conduct a
4 calculation or do you know how much of the water that
5 fell on that date would have been absorbed by the
6 soil?

7 A. Not for that particular date, no.

8 Q. And so let me see if I have this
9 straight. You have a certain amount of the rain that
10 would fall that would be evaporated, a certain amount
11 that would be absorbed by the soil, but you don't
12 know what that would be?

13 A. No, I would need information about soil
14 temperatures, whether the ground was frozen, whether
15 it had any vegetation on the ground. All of that is
16 a factor.

17 Q. So would I be correct that if you know
18 how much -- if you had the figure of how much was
19 evaporated and you assumed a figure of 35 percent but
20 you don't know how much would be absorbed, then is it
21 logical that you could also, not knowing that, that
22 you could not state how much would have run off?

23 A. I did not say how much would have run
24 off. I just calculated the volume that came down on

1 that particular day.

2 Q. And to state the obvious, but tell me if
3 I am wrong, I assume that the volumetric flow rate
4 that you calculated would have been the same
5 regardless of whether Martin Branch had been altered
6 by the Hesers or not?

7 A. I said it did not matter at this point.

8 Q. Right. And that the 11 point -- I
9 rounded it off to 11.6 million.

10 A. That's fine.

11 Q. So the 11.6 million gallons itself, that
12 also would have been the same obviously whether the
13 Martin Branch had been disturbed or not; correct?

14 A. That's correct.

15 JUDGE MORAN: That's all I have to ask you.
16 Now redirect from EPA?

17 MS. PELLEGRIN: Yes, Your Honor.

18 REDIRECT EXAMINATION

19 BY MS. PELLEGRIN:

20 Q. Just a couple of clarification questions,
21 Mr. Manoyan. Regarding the runoff coefficients, I
22 believe Mr. Small asked you a question about would it
23 matter if this area was black topped. And I just
24 want to clarify, how, if at all, does the runoff

1 coefficient that you used factor in whether or not
2 this area was black topped?

3 A. I think, I believe he asked me whether we
4 would have this amount if it had been black topped.
5 I am not exactly sure whether he said runoff
6 coefficient. Runoff coefficient would be different
7 for impervious areas.

8 Q. And on that same point I would like for
9 you to turn, looking at Respondents' binder, Number
10 19 again?

11 A. Okay.

12 Q. And just to -- I am looking at actually
13 Document Number 212.

14 A. Okay, I am there.

15 Q. Okay. And just to be clear, we were
16 talking about where you would -- I asked you a
17 question about where you would get the runoff
18 coefficient. Does this page indicate to you anything
19 about a runoff coefficient?

20 A. Yes, it does.

21 Q. And this is -- let's see. Let's turn to
22 the first page of Exhibit 19. Just for the record I
23 would just like for you to read the heading of this
24 document or the letterhead of this document.

1 A. It says, "Rapps Engineering and Applied
2 Science."

3 Q. Okay. Now, just for the record can you
4 confirm that this is what appears to be an attachment
5 to the RAPPS letterhead document?

6 A. Page 212?

7 Q. Yes.

8 A. Yes, it is.

9 Q. And do you see on this page a reference
10 to the same or similar runoff coefficient that you
11 used in your calculation?

12 A. Yes, there is.

13 Q. Okay. And can you point out where that
14 is on this page?

15 A. It is in the middle of that table where
16 it says Cultivated Fields, under the general heading
17 of Bureau Areas?

18 Q. About the middle of that table,
19 Cultivated Fields?

20 A. Right. And it has a range from .2 to .4.

21 Q. I believe it was your testimony that you
22 used the midline of that range, .3; is that correct?

23 A. Yes.

24 MS. PELLEGRIN: Okay, Your Honor, I have no

1 further questions.

2 JUDGE MORAN: And just for the record, that
3 page on the Hesper exhibit has a number of 212 and is
4 that the page, sir, that says Appendix B as in "boy"
5 at the top?

6 THE WITNESS: Yes, it is.

7 MR. NORTHRUP: Just one question?

8 JUDGE MORAN: Sure.

9 RE-CROSS EXAMINATION

10 BY MR. NORTHRUP:

11 Q. Mr. Manoyan, when you were following up
12 to the judge's question where you were talking about
13 absorption or infiltration of the rain in the soil,
14 you talked about factors that might be important,
15 soil temperature, whether the ground was frozen or
16 vegetated; correct? You remember that?

17 A. Right.

18 Q. Does it make a difference of what the
19 level, I guess, pre-existing soil moisture is?

20 A. Yes, that's also a factor.

21 Q. If the soil is wet or saturated, you will
22 have less infiltration and more runoff; correct?

23 A. Correct.

24 MR. NORTHRUP: That's all.

1 MS. PELLEGRIN: Nothing further.

2 JUDGE MORAN: Mr. Manoyan, thank you for your
3 testimony.

4 (Witness excused.)

5 You want to take a five-minute
6 break or what?

7 MS. PELLEGRIN: Yes, please, Your Honor.

8 JUDGE MORAN: All right. We will go off the
9 record.

10 (Whereupon there was then had an
11 off-the-record discussion.)

12 JUDGE MORAN: We will go on the record.

13 All right. EPA's next witness now?

14 MS. PELLEGRIN: Yes, we would like to call
15 Wendy Melgin to the stand.

16 JUDGE MORAN: Wendy is it?

17 THE WITNESS: Yes.

18 JUDGE MORAN: Ms. Melgin, raise your right
19 hand.

20 (Whereupon the witness was duly
21 sworn by Administrative Law
22 Judge Moran.)

23 Have a seat. And just as I tell
24 the other witnesses, if you will state your name and

1 spell it for us.

2 THE WITNESS: My name is Wendy Melgin,
3 M-E-L-G-I-N.

4 WENDY MELGIN

5 called as a witness on behalf of Complainant, having
6 been first duly sworn, was examined and testified as
7 follows:

8 DIRECT EXAMINATION

9 BY MS. PELLEGRIN:

10 Q. Good morning, Ms. Melgin.

11 A. Good morning.

12 Q. And I have got, Ms. Melgin, some
13 questions about your educational background.

14 A. Okay.

15 Q. Ms. Melgin, do you have any educational
16 degrees?

17 A. I do.

18 Q. And what degrees do you hold?

19 A. I have a bachelor's in geology and a
20 master's in hydrology and hydrogeology.

21 Q. Ms. Melgin, can I ask you to either move
22 the mic a little closer to you or move a little
23 closer to the mic?

24 A. Okay.

1 JUDGE MORAN: So it is geology and
2 hydrogeology?

3 THE WITNESS: I have a bachelor's in geology
4 and a master's in hydrology and a master's in
5 hydrogeology.

6 Q. And let's take first of all your
7 bachelor's degree. Where did you earn your
8 bachelor's degree?

9 A. At the University of Montana.

10 Q. And what year was that?

11 A. 1979.

12 Q. And first of all explain what geology is?

13 A. Well, geology is basically the study of
14 rocks, their distribution and occurrence. That's
15 about it.

16 Q. And what courses -- well, when you were
17 studying for your bachelor's degree in geology what
18 generally, what kind of courses did you take?

19 A. Well, I started out at the university as
20 a wildlife biology major. So for two years I took
21 courses that were focused on biology, botany,
22 zoology, wet systems biology, microbiology, zoology,
23 all the types of courses that you would take for a
24 wildlife biology degree. And then I took a

1 paleontology course, and I switched my major to
2 geology and focused on vertebrate-based paleontology.

3 Q. And what is -- you said vertebrate
4 paleontology. What is that?

5 A. It is, you know, the fossils of mammals
6 and reptiles, dinosaurs. That's what usually people
7 think about when you talk about paleontology.

8 Q. And, let's see, you mentioned you had a
9 master's degree in hydrogeology and hydrology; is
10 that correct?

11 A. That's correct.

12 Q. And what university was that?

13 A. That was at the University of Nevada in
14 Reno.

15 Q. And what year was that?

16 A. It was 1985.

17 Q. Now, Ms. Melgin, can you tell us, I
18 guess, the difference between hydrogeology and
19 hydrology?

20 A. Well, hydrology sort of encompasses
21 hydrogeology into the study. Hydrology is the
22 science of water in all its forms and distributions
23 in and around the earth, underground and above
24 ground. Hydrogeology focuses on the occurrence and

1 transport of sub-surface water, ground water.

2 Q. And what kind of courses did you take
3 when you were studying for your master's in hydrology
4 and hydrogeology?

5 A. Again, I did two different things like I
6 did before. I started where I was going to get a
7 master's in forest hydrology. So I focused on
8 forestry classes. I took all the water shed
9 management, floriculture, forest ecology, all the
10 soil classes. I took a lot of soils. So physics,
11 taxonomy, morphology classification.

12 And then I took a hydrogeology course and
13 I decided to focus on hydrogeology. That program
14 was -- it was an interdisciplinary program from the
15 engineering, geology and School of Mines and School
16 of Agriculture, so you had to take courses from all
17 three schools to fulfill your requirements for the
18 master's degree.

19 Q. And I believe did you say School of
20 Mines?

21 A. School of Mines.

22 Q. And what is the School of Mines?

23 A. Well, that's the college at the
24 University of Nevada-Reno that had all of the geology

1 and petroleum engineering and anything to do with
2 mining engineering and geology, geophysics,
3 everything.

4 Q. So it is not the School of Minds?

5 A. No, mines. That would have been a whole
6 another part of school.

7 Q. Okay. Ms. Melgin, what, if any, research
8 did you conduct while you were earning a master's
9 degree in hydrology and hydrogeology?

10 A. I did a master's thesis.

11 Q. And what did that master's thesis entail?

12 A. I researched the hydrological and
13 chemical pathway of a 200-acre water shed that
14 basically contained a first order stream in the Lake
15 Tahoe Basin where I -- the reason for my research was
16 I was following the pathways and transport of
17 nitrogen through the atmosphere, through the ground,
18 into the water and out into Lake Tahoe. We were
19 trying to determine nutrient transport through all
20 the different hydrologic pathways.

21 Q. And a couple of follow-up questions.

22 What is a, I think you mentioned, a first order
23 stream. What do you mean by a first order stream
24 just generally?

1 A. A first order stream is just the smallest
2 of the headwater streams. It has no tributary
3 system.

4 JUDGE MORAN: You went so quick; first order?

5 MS. PELLEGRIN: First order.

6 THE WITNESS: I will slow down. I am fast.

7 JUDGE MORAN: No, actually she was going too
8 fast, too. I am trying to understand those words,
9 first order.

10 BY MS. PELLEGRIN:

11 Q. First order stream. And then that
12 question raises another question, Ms. Melgin. I
13 believe you mentioned headwater streams. What do the
14 headwater streams involve?

15 A. Headwater streams are those streams at
16 the very top of a water shed that contributes down to
17 the main stem, but they are at the very top.

18 Q. Okay. I think you also said nitrogen or
19 nitrate transport. What do you mean by that?

20 A. Well, nitrogen is an element and it is
21 also a plant nutrient. It can cause nutrient pollens
22 in water bodies like lakes, producing excessive algae
23 growth and things like that, in Tahoe or what else
24 there is a problem with, the decreasing clarity of

1 the lake. So a lot of the research that we were
2 doing around the Tahoe Basin was to determine the
3 water shed inputs that were contributing to the
4 decreased clarity of the lake.

5 Q. And if you know, what are the results of
6 that research that you had done?

7 A. We -- the agency that I ended up working
8 for, we developed land use ordinances to protect
9 certain types of land that would contribute more
10 water nutrients to a tributary system to the lake.

11 Q. And just generally what type of land are
12 you referring to?

13 A. Riparian corridors and wetlands.

14 Q. And can you, please, explain how the land
15 ordinances would help affect the land uses you were
16 discussing?

17 A. Right. We had special designation areas.
18 They were called stream environment zones. And
19 basically that's what they were, wetlands in riparian
20 areas. We had land ordinances to protect those
21 areas. People could not build on those areas,
22 because those were the areas that generated the
23 water, the storm water, from these headwater streams
24 and the wetlands. And the riparian corridors were

1 shown, through my research and other research in the
2 basin, to absorb nitrogen and nutrients before the
3 water made it to the tributary system and then
4 eventually into Lake Tahoe.

5 Q. Okay. Let's see, Ms. Melgin, have you
6 taken any courses since earning your master's degree?

7 A. Yes, I have.

8 Q. In general what types of courses?

9 A. Well, I was in a PhD program, two PhD
10 programs. I always do things in twos.

11 Q. Let's start with the first PhD program.
12 Well, first of all, did you end up earning your PhD?

13 A. No, I did not.

14 Q. Let's talk about your first PhD program.
15 What, if any, course -- what kind of courses did you
16 take in that program? I am sorry, let me back up. I
17 am getting ahead of myself here.

18 Where did you take courses in the first
19 PhD program?

20 A. At George Mason University in Fairfax,
21 Virginia.

22 Q. And when was that?

23 A. That was 1988 through 1990.

24 Q. And what types of courses did you take at

1 George Mason University in Fairfax, Virginia?

2 A. I was in the Environmental Biology and
3 Policy PhD Program, and my whole course work was
4 focused on wetland ecology.

5 Q. And by wetland ecology what do you mean
6 by that?

7 A. I mean all the ecological aspects of
8 wetlands. When we talk about ecology, it includes
9 everything, the hydrology, the physical, the
10 chemical, the biological, all aspects of a wetland.

11 Q. And, let's see, you were there for two
12 years, and then where did you go next?

13 A. I transferred to the University of
14 California-Davis.

15 Q. What program did you enter into at the
16 University of California-Davis?

17 A. It was a PhD program in hydrological
18 science.

19 Q. And generally what kinds of courses did
20 you take in the hydrological science program at the
21 University of California-Davis?

22 A. Well, basically at Davis I again focused
23 on ecology, upper level graduate ecology courses, and
24 some hydrologic seminars. I already had all the

1 hydrology courses from my master's program.

2 Q. You said hydrologic seminars?

3 A. Right.

4 Q. That's just --

5 A. Seminars on special topics for doctoral
6 students.

7 Q. And generally what kind of topics would
8 that encompass?

9 A. We had different topics that would range
10 from hydrobiology. We were looking at how hydrology
11 and biology interact, how you could have stream
12 classification systems and interaction with those.
13 So it just depended on the topic, hydrochemistry.

14 Q. And what, if any, research did you
15 conduct as a PhD student of hydrology.

16 A. I only conducted research at George Mason
17 University where I was comparing a created wetlands
18 that the Maryland Department of Transportation
19 created as part of a road project. Their created
20 wetland was a mitigation project, and I was
21 comparing, looking at the soils and the hydrology, to
22 the natural wetlands that I was comparing it to.

23 Q. Why were you comparing those?

24 A. We were trying to get the success of

1 mitigation and trying to compare how long it would
2 take this mitigated wetland, this created wetland,
3 out of uplands, to function as a natural wetland.

4 Q. And first of all let me get you to define
5 mitigation?

6 A. Mitigation is your compensatory
7 mitigation. If, for example, you apply for a 404,
8 Section 404, permit to fill in a wetland, you are
9 required to provide mitigation to replace the
10 function of that wetland that was lost.

11 Q. Okay. And by Section 404 do you mean
12 Section 404 of the Clean Water Act?

13 A. I do.

14 Q. And, Ms. Melgin, what was the result of
15 that research into the natural versus created
16 wetlands?

17 A. Well, I didn't conclude anything. I
18 actually helped a woman that was doing the botanical
19 part and then I transferred to the University of
20 California. So I gave her the data that we collected
21 for her dissertation.

22 Q. Ms. Melgin, do you hold any professional
23 certifications?

24 A. I do.

1 Q. And what is that or what are those?

2 A. I am a certified professional soil
3 erosion control specialist.

4 Q. And what is a certified professional
5 erosion control specialist?

6 A. You pass a series of tests and you
7 basically are certified to provide input on erosion
8 control plans or develop erosion control plans for
9 various projects.

10 Q. And you said you take a series of tests.
11 Do you have to have any kind of background before you
12 take those tests?

13 A. Yes.

14 Q. And what is the background that is
15 required before you can take those tests?

16 A. There are different backgrounds you could
17 have, engineering, soils, hydrology, plants, as long
18 as you had -- you had to have a combination of
19 educational background and experience.

20 Q. Ms. Melgin, does that conclude your
21 professional certifications?

22 A. I think so, yes. Well, other than health
23 and safety hazardous waste training.

24 Q. And is that part of your -- one of your

1 job descriptions that you are talking about?

2 A. It was.

3 Q. It was. Okay. Ms. Melgin, let's see,
4 have you ever published any materials?

5 A. Yes, I have.

6 Q. And generally what kinds of materials
7 have you published?

8 A. Well, I would say there is three
9 different types, scientific journals, articles that I
10 wrote for the general public, and then -- I had three
11 different types. But I guess the first ones would be
12 the scientific papers that were related to my thesis
13 work. We had quite a few papers that were published
14 with me and other authors on nitrate transport in the
15 Tahoe Basin area. So I had a series of papers
16 dealing with that.

17 The most recent paper I had was a
18 research paper with the U.S. Forest Service. I was
19 on a national team for the U.S. Forest Service, and
20 we published a two-volume set of best management
21 practices basically for road crossings and wetland
22 and riparian areas. That came out from the Rocky
23 Mountain Research Lab.

24 I published a lot of articles for the

1 Lake Tahoe Basin on fertilizer use, appropriate
2 fertilizer use for homeowners. I published -- I was
3 the author of Best Management Practice Handbook,
4 again for homeowners in the Tahoe Basin so they would
5 know what to do with their property so it wouldn't
6 degrade water quality. I wrote a couple of articles
7 about wetlands for the Northern Virginia homeowners,
8 their home builders association, informing them of
9 the different wetland regulations that home builders
10 would have to be aware of, things like that.

11 Q. I am going to ask you to define some
12 terms here. BMP is best management practice. What
13 is that generally?

14 A. That is how you generally would control a
15 non-point source of pollution. It is the
16 implementation of best management practices. It can
17 go from temporary construction practices like a straw
18 bale to stop sediment. That would be a BMP. To
19 something very complex like a retaining wall. There
20 is different levels of BMPs depending on what you are
21 trying to do with it.

22 Q. And you said it is to control non-point
23 sources. What is a non-point source of pollution?

24 A. A non-point source of pollution is a

1 diffuse source of pollution. It would be like runoff
2 coming from a parking lot, like we talked about, or
3 from an ag field. You can't go up and identify the
4 exact spot where that is coming from. It may be
5 different than pollution coming from a pipe and you
6 can tell it is discharging right here. That's a
7 point source. A non-point source is what you would
8 try to control with best management practices.

9 Q. And, let's see, you said you would try to
10 control it with best management practices. Ms.
11 Melgin, if you know, is non-point source pollution
12 controlled or regulated by law?

13 A. No, it is not. Not -- well, I need to --
14 there are some under the Storm Water Program that are
15 now regulated by law. There are Phase II permits or
16 end of score permits like the National Pollution
17 Discharge Elimination System Program. So storm water
18 BMPs would be required. The non-point source that we
19 are talking about for agriculture or for urban lands
20 or forestry are not. Those are usually voluntary
21 measures.

22 Q. Let's see. Are any of -- your
23 publications that you referred to, were any of those
24 peer reviewed?

1 A. Yes.

2 Q. And which ones?

3 A. Oh, well, I think most of them. All the
4 ones for my thesis that were presented or published
5 and presented at conferences. Those you have to
6 submit and then go through a peer review committee
7 and then they decide if your paper is going to be
8 published. Some of the other ones were just for
9 public information or they were the ones that I
10 developed for an agency.

11 Q. Ms. Melgin, have you earned any academic
12 or professional awards?

13 A. Yes, I have.

14 Q. And what are those?

15 A. It is hard to remember them. Well, I
16 have three bronze medals from EPA. One was from the
17 Office of Research and Development, ORD, for helping
18 to form regional science councils in all the regions
19 that EPA had regional science councils, where we
20 talked about different scientific research. One was
21 when I was in EPA Region 9 in San Francisco, I was a
22 co-chair of the regional science, engineering and
23 steering committee where we developed a whole paper
24 on science in the region and how we were going to

1 deal with it.

2 And then most recently, as Mr. Manoyan
3 pointed out, we -- our TMDL received a bronze medal
4 for excellence in our program. And then there was a
5 series of science awards and regional administrative
6 excellence awards and all that kind of thing.

7 Q. It sounds like they are too numerous to
8 detail?

9 A. I just -- it's been 15 years.

10 Q. Okay. Well, let's go through your
11 employment history, Ms. Melgin. First of all, and I
12 am going to go back through your employment history,
13 and I am going to limit it in this case to
14 environmentally related fields. Is that -- do you
15 have an understanding of that term?

16 A. Oh, sure.

17 Q. So did you work in environmentally
18 related fields while you were in school in the
19 University of Reno earning your bachelor's degree?

20 A. In Reno I did, yes.

21 Q. Where did you work?

22 A. Well, I worked at the university as one
23 of the research fellows. That's how I conducted my
24 research. I was an employee of the University of

1 Nevada-Reno, and they paid me to do my research. I
2 also had a position in the summer of -- I was
3 drilling large capacity water wells for a gold mining
4 company in the middle of Nevada where I was the
5 supervising hydrologist, hydrogeologist on the side.
6 I will well logging, drilling cuttings.

7 Q. Well, what do you mean by well logging,
8 drilling cuttings?

9 A. Well, when you are drilling through
10 formations, and these were large wells, this was
11 going to be a large gold mine, and we were testing,
12 doing testing of where their best water supply would
13 come from. They would drill a well and I would
14 record the geologic material that was coming out of
15 the well, what would be the best act aquifer for
16 their production.

17 JUDGE MORAN: Which state was this?

18 THE WITNESS: Nevada, Levancamp (sp), Nevada.
19 Not a lot out there.

20 Q. All right. And after that did you work
21 in an environmentally related job?

22 A. After I graduated from my master's or
23 actually even a couple months before that I was hired
24 by the Tahoe Regional Planning Agency as a

1 hydrologist.

2 Q. What did you do for the Tahoe Regional
3 Planning Agency?

4 A. Well, like I talked about, we had the
5 ordinances that we came up with to protect wetland
6 and riparian areas. We had a program called the
7 Stream Zone Restoration Program which I identified
8 all those areas and then we tried to restore areas
9 that we could. I was in charge of the Interagency
10 Monitoring Program. I ran the Land Capability
11 Program, which basically told people if they could
12 build or expand on their property based on their
13 slope and soil.

14 Tahoe has very strict environmental
15 regulations, and this agency was a regulatory agency.
16 It was a bi-state agency created by the states of
17 Nevada and California. And we had regulatory control
18 over the Tahoe Basin for the most part.

19 Q. And I have a few follow-up questions.
20 The Stream Zone Restoration Program, what did that
21 entail?

22 A. It entailed us going out and identifying
23 areas that could be, that were stream zones, or
24 that's a very specific term to Tahoe, basically

1 wetland and riparian areas. I would identify those
2 areas. And if they were impaired or degraded, I
3 would note that and we would put that into our
4 restoration plan that these would be great areas to
5 restore for the improvement of water quality.

6 Q. And let me ask you, you said identify the
7 areas including wetlands, I believe. Are you
8 familiar with the term wetland delineation?

9 A. Yes.

10 Q. And is that -- have you performed wetland
11 delineations in that context?

12 A. Not in that context. We had our own
13 method in the Tahoe Basin.

14 Q. Have you performed wetland delineations
15 prior or after?

16 A. Afterwards.

17 Q. And what do you mean by wetland
18 formation?

19 A. Well, wetland delineation using the 1987
20 Army Corps of Engineers Manual.

21 Q. Similar to what Mr. Carlson and Mr. Lenz
22 testified about?

23 A. Exactly.

24 Q. Moving on, after your work with the Tahoe

1 Regional Planning Agency, where did you work?

2 A. I went to the National Academy of
3 Sciences in Washington, D.C.

4 Q. And what did you do for the National
5 Academy of Sciences in Washington, D.C.?

6 A. I was a staff officer with the Water
7 Science and Technology Ward of the National Research
8 Council.

9 Q. What were your primary responsibilities
10 there?

11 A. I ran committees of scientists that were
12 creating, developing National Academy of Sciences
13 publications. So all those NAS, National Academy of
14 Science, publications on any topics. They are the
15 result of a committee's work. I ran those
16 committees.

17 Q. And just generally what kind of
18 publications were those?

19 A. We had -- I ran a committee on ground
20 water models and their use in the regulatory arena.
21 And there was a publication and I contributed also to
22 that. I was able to contribute to publications,
23 opportunities in the hydrological sciences committee,
24 and we prepared a publication on the opportunities in

1 the hydrological sciences.

2 Ground water recharge in coal mined
3 areas, we did a whole study on both the western and
4 the eastern coal mining field, and how that impacted
5 ground water recharge, and we had a publication on
6 that. So those type of publications.

7 Q. And again defining the term ground water
8 recharge, what does that mean?

9 A. Just the amount of water seeping into the
10 ground that was recharging underground aquifers. So
11 what is running off is what is contributing to the
12 ground water.

13 Q. And after you worked for the National
14 Academy of Sciences, where did you work?

15 A. Well, I wanted to get back out in the
16 field so I took a job with a consulting field as
17 their primary wetland delineator.

18 Q. And where was that?

19 A. It was in western Virginia. It was a
20 small land development company that was primarily a
21 surveying and engineering company for land
22 development, and they were starting an environmental
23 division they hired me as the senior wetland
24 scientist.

1 Q. And what did your work for that
2 consulting firm entail?

3 A. Basically, a lot of wetland delineation,
4 preparing permits and submitting those to the Army
5 Corps of Engineers for various applicants.

6 Q. And is that the time that you used the
7 1987 Corps manual or whichever manual it was at that
8 time?

9 A. Yes.

10 JUDGE MORAN: What was that? You sort of
11 mumbled there. Is that the time of what?

12 Q. Is that -- at that time were you using
13 the Corps manual to form your wetland delineation?

14 A. Yes.

15 Q. And how long did you work in the field
16 for the consulting firm?

17 A. I worked for them about a year while I
18 was going to George Mason University.

19 Q. And where did you work after that?

20 A. After that I transferred to the
21 University of California-Davis. So I went to a
22 consulting firm in Sacramento, California.

23 Q. And what did you did for the consulting
24 firm in Sacramento, California?

1 A. Kind of the same thing on a little
2 different scale. Because this was a large, worldwide
3 environmental engineering firm and I was in the
4 office in Sacramento. I was hired again as the
5 senior wetland scientist and I ran a group of
6 wildlife biologists, fishery scientists, botanists,
7 and we performed wetland delineations all throughout
8 California and southern Nevada.

9 Q. And how long did you work for that
10 consulting firm?

11 A. About three years.

12 Q. About three years. And where did you
13 work after that?

14 A. After that I went to EPA in San
15 Francisco.

16 Q. In San Francisco. What region is that?

17 A. EPA Region 9.

18 Q. And how long were you at Region 9?

19 A. For seven years.

20 Q. And what were your -- you had the same
21 total those whole seven years?

22 A. No.

23 Q. What were your different titles
24 throughout those seven years?

1 A. Well, I was hired to the wetland
2 enforcement programs, so I was, like Mr. Carlson, I
3 was a wetland enforcement officer. And I did that
4 for probably a little over two years. And then I
5 transferred to the Ground Water Program and -- well,
6 in the Wetland Enforcement Program -- let me go back
7 to that for a second -- I did all the same type of
8 work that Mr. Carlson described, you know,
9 investigations. I did a lot of wetland delineations.
10 And the Army Corps of Engineers actually had me doing
11 delineations for them. For probably the first six
12 months of the time that I was with EPA, I was
13 basically working for the Army Corps just out in the
14 field conducting delineations. And then just did
15 enforcement and permit reviews and things like that.
16 But then I went to the ground water
17 section.

18 Q. And what did you do for the ground water
19 section?

20 A. I ran a couple of their programs, one
21 called the Sole Source Aquifer Program, just
22 different ground water -- ground water is another
23 sort of non-regulatory program. And we had different
24 programs to promote ground water and the use of

1 ground water and trying to protect ground water.
2 Like Mr. Manoyan talked about the Well-head
3 Protection Program, that was in the section that I
4 was in.

5 Q. And, let's see, you are not talking about
6 Mr. Manoyan was in the section you were in?

7 A. No, no, no. That program, the Well-head
8 Protection Program, was kind of the same work that I
9 did for awhile.

10 Q. And we are still in Region 9?

11 A. Right.

12 Q. And any other titles or positions in
13 Region 9?

14 A. Yes, one more.

15 Q. And what was that?

16 A. I became a regional hydrologist.

17 Q. And what did your work -- what were your
18 primary responsibilities as a regional hydrologist at
19 Region 9?

20 A. I was basically providing technical
21 assistance to all the regional programs, for the
22 wetlands program again which I always, even when I
23 moved to a different section, was still providing
24 technical assistance for hydrology soils for them,

1 through the Drinking Water and Underground Injection
2 Control Program. I spent a lot of time on the Yucca
3 Mountain Nuclear Waste Repository where I assisted
4 with the development of the ground water standard for
5 that.

6 So it is just a wide variety of anywhere
7 they needed a hydrological person, I would try to
8 provide that.

9 Q. And after your work at EPA Region 9 where
10 did you work?

11 A. I moved to EPA Region 5 in Chicago.

12 Q. And how long were you or have you been at
13 EPA Region 5 in Chicago?

14 A. Seven years.

15 Q. And is that continuing to the present?

16 A. Yes.

17 JUDGE MORAN: You are about due for another
18 change.

19 THE WITNESS: Yeah, I know. It used to be
20 three years and now it is --

21 JUDGE MORAN: Montana, Nevada, California,
22 Virginia. You have got to head down south next.

23 THE WITNESS: I don't think I could get my
24 husband to move any more.

1 BY MS. PELLEGRIN:

2 Q. On that note, where are you from?

3 A. I am from Michigan originally.

4 Q. How far away from Chicago are you?

5 A. Probably an hour, right on the end of
6 Lake Michigan.

7 Q. How many titles or positions have you had
8 at EPA Region 5 in Chicago?

9 A. Two.

10 Q. Two, okay, that's a little simpler this
11 time. Let's talk about the first one. What was
12 that?

13 A. Hydrologist.

14 Q. And how long were you a hydrologist for
15 Region 5?

16 A. Probably a little over two years. I was
17 in the Total Maximum Daily Load Program.

18 Q. And as a hydrologist in the Total Maximum
19 Daily Load Program -- well, first of all, Mr. Manoyan
20 talked a little bit about that, but I would like you
21 to tell us what the Total Maximum Daily Load Program
22 is.

23 A. The program is required under Section
24 303(d) of the Clean Water Act. It requires the State

1 to develop, not U.S. EPA but the State, to develop
2 TMDL based on a list that they have developed of
3 waters in the state that are considered to be
4 impaired, meaning they are not meeting water quality
5 standards for that state.

6 When a water has been decided as being
7 impaired, they develop the TMDL report, and a TMDL is
8 basically a calculation of the maximum allowable load
9 that a water body can receive and still meet water
10 quality standards.

11 Q. Okay. Generally, first of all, what is a
12 water quality standard?

13 A. A water quality standard is something a
14 state sets. It is a criteria that would protect
15 their designated uses, and I always think of the
16 designated uses as swimmable, fishable, drinkable.
17 So then they set water quality standards to protect
18 those designated uses. And water quality standards
19 can be numerical, like one milligram per liter of
20 something, you can't exceed that. Or it can be
21 narrative; no objectionable algae blooms will occur.
22 That's an example of a narrative standard.

23 Q. And an impaired water, what is an
24 impaired water?

1 A. An impaired water would be that it wasn't
2 meeting those standards. It is above one milligram
3 per liter. It has got excessive algae blooms.

4 Q. And I believe you said the State
5 determines whether a water is impaired?

6 A. That's correct.

7 Q. And then what, if anything, does the
8 State do after it determines whether or not a water
9 was impaired?

10 A. They prepare a list. It is called
11 several different things. It has evolved over the
12 years. But it can be called the TMDL list, it can be
13 called the 303(d) list or it can be called the
14 Integrated Report. So it just depends on the state
15 and how they are preparing that. But basically it is
16 a list that the State submits to EPA every two years
17 that lists the impaired waters in the state that they
18 know of using all readily available data that is
19 monitored.

20 Q. And I believe you said the State
21 submitted to U.S. EPA. How is the U.S. EPA and the
22 State involved in this program?

23 A. Well, they submit; we review and approve
24 it.

1 Q. And I believe you used the term "maximum
2 allowable load"?

3 A. Uh-huh.

4 Q. Could you, please, define that generally?

5 A. Right. The TMDL is not saying that you
6 can't discharge any pollutant load into the stream.
7 It is saying that if you are going to discharge, this
8 is the allowable load that you can discharge and
9 still meet water quality standards. So they are
10 trying to set for the water body how much pollutant
11 it can handle and calculate that as the total maximum
12 daily load.

13 JUDGE MORAN: Well, since you asked that, I
14 am just curious. That total maximum daily load, does
15 that apply looking at the whole water body or each
16 individual who wants to contribute to the pollution,
17 so to speak?

18 THE WITNESS: Well, if you are talking about
19 an individual waste water treatment plant --

20 JUDGE MORAN: Or just what if I am a
21 developer, does that get involved, too?

22 THE WITNESS: It would as far as the Storm
23 Water Program would be. If you have a construction
24 site, you have to have -- there is storm water

1 requirements now for that. That would be considered
2 in the point source part of the TMDL calculation.

3 JUDGE MORAN: So primarily it deals with
4 waste water treatment plants?

5 THE WITNESS: Right.

6 JUDGE MORAN: And what they are putting into
7 the water system?

8 THE WITNESS: Right. Because if you as a
9 landowner would be washing your car or whatever, that
10 would be considered a non-point source of pollution.
11 That's also considered but in a different part than
12 the point source.

13 BY MS. PELLEGRIN:

14 Q. And on that note, Ms. Melgin, I believe
15 you talked earlier about point source pollution and
16 non-point source pollution. How does the TMDL
17 Program relate to, let's say first, point source
18 pollution?

19 A. The point source part of the TMDL -- it
20 is a calculation. That would be the point sources
21 plus the non-point sources plus this margin of safety
22 for uncertainty of data and things like that. So
23 there is always a margin of safety that is attached
24 onto it. So basically it is a combination of the

1 point and non-point sources.

2 Q. Okay. Let's see.

3 JUDGE MORAN: Just so you can plan this, we
4 are coming up on 12:30 in about five minutes. So I
5 assume you are close to asking her to be qualified as
6 an expert for some purposes; right?

7 MS. PELLEGRIN: Yes, I am not far way from
8 that.

9 JUDGE MORAN: So when you get to that point,
10 before you begin the substantive testimony, that's
11 when we will take a lunch break.

12 BY MS. PELLEGRIN:

13 Q. Okay. Ms. Melgin, I forgot where we are.
14 We are on your first title at Region 5.

15 A. Correct.

16 Q. All right. Let's move onto your second
17 title at U.S. EPA Region 5. And that continues to
18 the present time; is that correct?

19 A. That's correct.

20 Q. What is that title?

21 A. I am the deputy branch chief of the Water
22 Sheds and Wetlands Branch.

23 Q. What does the Water Sheds and Wetlands
24 Branch entail?

1 A. The Water Sheds and Wetlands Branch is
2 part of the Water Division at EPA Region 5. The
3 other divisions are like Super Pond and Air. The
4 Water Division, we are separated into two branches.
5 Our branch has three programs in it and those
6 programs are the Non-point Source Program, the TMDL
7 Program and the Wetlands Program.

8 JUDGE MORAN: And what's your title again?
9 You are deputy branch chief of what?

10 THE WITNESS: Of the Water Sheds and Wetlands
11 Branch.

12 BY MS. PELLEGRIN:

13 Q. I am sorry, can you please repeat the
14 three programs? You have Non-point Source, you have
15 TMDL, and what's the third?

16 A. Wetlands.

17 Q. And what are your primary
18 responsibilities as the deputy branch chief of the
19 Water Sheds and Wetlands Branch?

20 A. I separate it into two sort of categories
21 for me. I have the management supervisory duties and
22 then I have technical responsibilities.

23 Q. Let's take the first one, your management
24 supervisory duties. What do those entail?

1 A. I manage about 17 people, I think it is,
2 mostly in the TMDL and Non-point Source Programs. I
3 have a couple of the Wetlands people, but not the
4 Wetland Enforcement Group that Mr. Carlson is in. He
5 is supervised directly by the branch chief.

6 As a manager I deal with all sorts of
7 administrative duties that fall under basic
8 management, but I think another thing that we do is
9 we set the goals and objectives for our branch and
10 the strategy, the branch strategy, and how we are
11 going to conduct our work.

12 Q. What are the current goals and strategies
13 for this branch?

14 A. Well, our main goal is to restore
15 impaired water sheds through water quality
16 improvement, and protection and restoration of
17 wetlands.

18 Q. And how does, going back to the goal
19 which is to restore impaired water sheds through
20 water quality improvement, how does water quality
21 improvement help in terms of your goals of restoring
22 water sheds?

23 A. How does -- I didn't hear you, Chris.

24 Q. How does the -- under the goal of

1 restoring impaired water sheds, how does water
2 quality fit into that?

3 A. Well, you know, water shed is this all
4 encompassing term that we are seeing depending on the
5 scale. We try to integrate all of our programs and
6 the tools of those programs into a water shed
7 context. So we are looking at using the TMDL Program
8 and all of its implementation that comes after a TMDL
9 report is submitted. Our Section 319 money, which is
10 our non-point source money, and \$43 million comes to
11 us and is doled out to the states for non-point
12 source control programs which are basically BMPs.
13 That's a lot of money in our region. It's 243
14 million nationally.

15 And the other is the TMDL Program. When
16 I said that, the Wetlands Program, where we are
17 looking at restoration, we are looking at mitigation,
18 we are looking at commenting on different permit
19 applications to get more mitigation or to get better
20 projects with less impact.

21 Q. Okay. And I believe you mentioned 319,
22 \$43 million for non-point source. What does that
23 involve?

24 A. Well, that's a grant program. And like I

1 said, we get that money and all the EPA regions get
2 it and that goes to the states. And the states have
3 a non-point source work plan that comes through the
4 region and we approve it, and then entities like
5 water shed groups and other types of organizations
6 will apply to the states for that money if they have
7 a water shed project that they want to stabilize the
8 banks, all toward the improvement of water quality.

9 Q. And I think you mentioned earlier
10 restoring wetlands. How is restoring wetlands as one
11 of your goals for restoring and improving water
12 sheds, how does that relate?

13 A. Well, we have -- in a couple of ways. I
14 mean, wetlands improve water quality. Mr. Carlson
15 talked about it. There is a function there that
16 absorbs water, you know, it transforms nutrients.
17 It's the big three that he talked about. So because
18 of those functions, a lot of the TMDL limitation
19 reports that the states prepare have wetland
20 restoration as a way to reach their pollutant
21 reduction strategies.

22 And a lot of times they are using 319
23 money to create those, to restore those wetlands. So
24 all our programs are kind of integrated in various

1 fashions.

2 Q. And 319 money, 319 you mean a section of
3 the Clean Water Act?

4 A. Right. I consider that the non-point
5 source money. That's the 319 of the Clean Water Act.

6 Q. And you mentioned the term "TMDL
7 implementation report"?

8 A. Right.

9 Q. What is that and how does that fit in
10 with what we talked about earlier and the state TMDL?

11 A. Well, the important part of the TMDL is
12 the part that is submitted to the EPA for approval.
13 Although that is important because it sets their goal
14 out and their target, but the State has to implement
15 that report on the ground for it to have any water
16 quality benefits. So our states have been very good
17 at submitting implementation reports, even though
18 they are not required to EPA, and then implementing
19 those. So they identified a problem through the
20 TMDL, and the limitation plan is how they are going
21 to fix that problem.

22 Q. Okay. And implementation, the
23 implementation on the ground as you said, does that
24 apply to both non-point and point source pollution?

1 A. Yeah, I mean, most of the time the point
2 source pollution, if there is a problem, it will be
3 taken care of in the permit, being the national
4 pollutant, you know, the NPDS permit. That's a
5 different program from ours, but they have to reflect
6 what was calculated in the TMDL. So that will be
7 taken care of. That is a regulatory aspect.

8 If there is a point source discharge like
9 a water treatment plant, they will have to have the
10 TMDL reflected in their new permit when their permits
11 are up again, because they expire and then they renew
12 their permits. But the non-point source definitely.

13 Q. Okay. And how does the TMDL
14 implementation report relate to a non-point source
15 pollution generally?

16 A. The State will come up with a series of
17 best management practices or different strategies to
18 reduce the non-point source pollution. And
19 oftentimes when this really works well is when they
20 have water shed groups and other stakeholders really
21 committed to restoring the water shed or the water
22 bodies that the TMDL is for.

23 Q. And I believe you earlier testified that,
24 except in certain circumstances, non-point source

1 pollution isn't regulated. There is no law you can't
2 wash your car, etcetera. How do those implementation
3 strategies then work?

4 A. Well, that's why you have to have the
5 stakeholders involved. If they see a real benefit in
6 having their part of the stream or river or whatever
7 of the TMDL, the lake, restored, so they want to have
8 these, you know, measures in place to do that.

9 We have had a couple like on the Cuyahoga
10 River where the Cuyahoga River is famous because that
11 was the one that caught on fire in the '60s. Well,
12 we have had three TMDL reports and implementation by
13 the state of Ohio, and they are finding fish and they
14 have taken down parts of dams and they have basically
15 restored part of that river. And the TMDL was the
16 catalyst for that.

17 Q. Let's see. I believe now we are on, you
18 mentioned you had management roles and that you had
19 technical roles at Region 5 as deputy branch manager?

20 A. Right.

21 Q. What does your technical role entail?

22 A. It would be like I would provide
23 hydrologic technical assistance. I am the criminal
24 contact for wetlands criminal cases. I still perform

1 wetland delineations. I am assisting -- I have
2 assisted on a couple of criminal 402 cases,
3 hydrologic technical assistance. So some NEPA
4 projects, some environmental impact statements that
5 have come in, I will provide technical assistance to
6 our group, our NEPA group, to that.

7 Q. And just to have the record clear, what
8 does NEPA mean?

9 A. National Environmental Protection Act, is
10 what it is, I think. I am not sure.

11 Q. And let's see, 402 I think you mentioned.
12 What is 402?

13 A. 402 is a permit program. The MPP, yes.

14 Q. And what is your role -- you mentioned
15 criminal contact. What is your role as a criminal
16 contact entail?

17 A. Well, if there was a case, a wetlands
18 case, that goes criminal, meaning that there was a
19 knowing and willing violation of the Clean Water Act
20 and they determine that it has the level to go
21 criminal, I will provide assistance to our criminal
22 RCID, criminal investigation division, or the
23 attorneys that work with them.

24 Q. Ms. Melgin, have you ever been asked to

1 give an expert opinion, besides in this case, in any
2 enforcement case?

3 A. Yes, I have.

4 Q. And have you provided an expert opinion
5 in other enforcement cases?

6 A. Yes, I have.

7 Q. And were you added to the list of --
8 sorry. Were you added to the list as an expert
9 witness in a case that was proceeding to trial and
10 hearing in any cases?

11 A. Yes.

12 Q. And have you ever testified as an expert?

13 A. No, I never made it. It was settled.

14 Q. The case or cases were settled?

15 A. Uh-huh.

16 Q. Okay. At this time --

17 JUDGE MORAN: Aren't you going to ask her,
18 you said was she qualified as an expert witness for
19 what purpose. Ask her as a witness as what?

20 MS. PELLEGRIN: I am sorry. I am not sure if
21 she can answer that, but if you can answer that --

22 JUDGE MORAN: She would have been listed as
23 an expert witness and then would have said for what
24 purposes.

1 BY MS. PELLEGRIN:

2 Q. For what purposes were you listed as an
3 expert witness?

4 A. For hydrology or jurisdictional
5 determination for the case.

6 Q. And by jurisdictional determination, what
7 do you mean?

8 A. That hydrologic connection.

9 Q. Would that have been a wetlands case?

10 A. Well, no, this was a 402 case and it was
11 jurisdiction is termination of a water in the U.S.

12 Q. And 402 cases is what?

13 A. The permit program, the Point Source
14 Discharge Program.

15 JUDGE MORAN: So do I understand your
16 testimony there was just one occasion when you were
17 listed as an expert witness for trial?

18 THE WITNESS: Yeah. No, I have two more
19 coming up.

20 JUDGE MORAN: But as of now one?

21 THE WITNESS: Yes.

22 MS. PELLEGRIN: Besides this case.

23 THE WITNESS: Right.

24 BY MS. PELLEGRIN:

1 Q. Let me ask you to turn your attention to
2 Complainant's Exhibit 11, Bates number 176 through
3 179.

4 (Whereupon Complainant's Exhibit
5 11, pages 176 to 179, was
6 presented for purposes of
7 identification as of this date.)

8 Ms. Melgin, 11?

9 A. Oh, I am there.

10 Q. And looking at Complainant's Exhibit 11,
11 176 through 179, do you recognize this document?

12 A. I do.

13 Q. And what is this document?

14 A. It is my resume'.

15 Q. And is this an original or a copy of your
16 resume', Ms. Melgin?

17 A. It is a copy.

18 Q. And does this copy truly, accurately and
19 completely represent your resume'?

20 A. Yeah, I think it is 22 years of
21 experience now, but you can leave that off.

22 Q. Okay. Where are you referring to?

23 A. At the very top.

24 Q. So the 20 years, so you would update that

1 to reflect 22 years. Okay.

2 And besides that does it truly,
3 accurately and completely represent your educational
4 and work experience?

5 A. Yes, it does.

6 MS. PELLEGRIN: Your Honor, I don't believe
7 this has been admitted, so I would like to move to
8 admit Complainant's Exhibit 11, Bates stamp 176 to
9 179.

10 MR. NORTHRUP: No objection.

11 JUDGE MORAN: Complainant's Exhibit 11, pages
12 CX 176 through 179, is admitted.

13 (Whereupon Complainant's Exhibit
14 11, pages CX 176-179, was
15 admitted into evidence.)

16 MS. PELLEGRIN: And, Your Honor, at this time
17 I would like to move to qualify Ms. Melgin as an
18 expert in hydrology, hydrogeology and wetlands
19 ecology.

20 MR. NORTHRUP: No objection.

21 JUDGE MORAN: Okay. There being no objection
22 but apart from that, I so designate Ms. Melgin as an
23 expert for the purpose identified by counsel for EPA.

24 So now you are ready to -- you will now

1 resume with the substantive testimony?

2 MS. PELLEGRIN: Correct, Your Honor.

3 JUDGE MORAN: Let me ask two questions
4 quickly just before we break.

5 EXAMINATION

6 BY JUDGE MORAN:

7 Q. Define "riparian" for me. I know we had
8 it defined in the first week. What is your
9 definition of riparian?

10 A. It would be a wooded corridor along
11 streams.

12 Q. That's it? Okay.

13 A. It is a vegetative corridor.

14 Q. Riparian rights from law school seemed
15 broader than that.

16 A. Stream side vegetation generally is
17 the --

18 Q. And then I am just curious since you
19 mentioned it, do you have a follow-up about Lake
20 Tahoe? Has it continued to decline or is it getting
21 better; do you know?

22 A. Well, yeah, I do follow up. I have some
23 friends that work there. And I think the Clinton
24 administration designated like \$200 million for Lake

1 Tahoe, so I think it is stable. There is still a lot
2 of research, and there is a lot of development.

3 Q. So the water quality has not declined; it
4 has either stabilized or gotten better?

5 A. I don't think it has gotten better. I
6 think it has stayed pretty much the same.

7 JUDGE MORAN: Okay. It is 12:38 so we will
8 resume at 1:40.

9 (Whereupon the hearing was in a
10 recess until 1:40 p.m.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1 Q. And, Ms. Melgin, are you familiar if I
2 use the term "Rapanos case," "Rapanos decision"? Are
3 you familiar with that term generally?

4 A. Yes.

5 Q. And are you familiar with the concept of
6 significant nexus generally?

7 A. Yes.

8 Q. And I am not going to ask you for any
9 legal opinion, but is it your understanding of your
10 expert testimony here today to help us come to some
11 understanding of whether there is a significant nexus
12 in this case?

13 A. Yes.

14 Q. Now, Ms. Melgin, generally what types of
15 information did you use to formulate your opinion in
16 this case?

17 A. I used quite a bit of different types of
18 information. I mean, the first would be information
19 that I received from Brad Carlson which would be his
20 inspection report, maps and air photos. I read
21 scientific articles and journals and did some
22 research on my own just to look some things up. So
23 books, textbooks and scientific articles. I had
24 consulted with a few people. But going back to the

1 documents, I forgot, the TMDL and the integrated list
2 and the implementation plan and associated documents
3 concerning impaired waters, and the TMDL, and then I
4 consulted with several people.

5 Q. And, Ms. Melgin, in formulating your
6 opinion you are going to give in your testimony at
7 this hearing did you also rely on prior testimony of
8 other people that have testified throughout this
9 proceeding?

10 A. Yes, I did that and I also personally
11 observed the area from -- I wasn't ever on the exact
12 area because we weren't allowed access. But I was on
13 the adjacent property three times.

14 Q. Three. Okay, let me go through some of
15 the documents you mentioned. Let's see. Why did you
16 -- you mentioned the TMDL reports and the Integrated
17 Report. Why did you review those documents in
18 preparation for your testimony here today?

19 A. Well, there is a TMDL report. It is
20 called a Stage I or a Phase I TMDL report developed
21 by the Illinois Environmental Protection Agency
22 called the Crooked Creek Water Shed TMDL. That
23 includes Lake Centralia and its water shed.

24 Q. And you mentioned you consulted with

1 other people. Who did you consult with?

2 A. I basically talked to the two Hesers,
3 William and Daniel. I talked with -- I called the
4 woman at the city clerk's office in Centralia to find
5 out about boat licenses for Lake Centralia. I was
6 interested to see who was using the lake since I saw
7 in a mobile guide that Lake Centralia was designated
8 as a destination for boating and fishing. It also
9 was a tertiary drinking water supply source, but it
10 was being advertised as a swimming and boating and
11 fishing sort of destination.

12 I called Linda, her name is Linda, she is
13 at the city clerk's office in Centralia and she said
14 that --

15 MR. SMALL: Objection to what she said.
16 That's hearsay.

17 MS. PELLEGRIN: It isn't, Your Honor.

18 JUDGE MORAN: This is background information.
19 Hearsay is admissible in these proceedings. And I
20 often note that even if this were a federal district
21 court, which it is not, you know, there are some 22
22 exceptions to the hearsay rule. So the exception in
23 some respects are all overruled.

24 So I am going to -- I have been listening

1 closely to what she has to say, but she can relate
2 what this person, the conversation -- this is a
3 person she called?

4 MS. PELLEGRIN: Yes.

5 JUDGE MORAN: If there are other objections,
6 I will listen to them. So proceed. Wait a minute.
7 Before you -- TMDL stands for what?

8 THE WITNESS: Total maximum daily load.

9 A. I simply called her to find out if people
10 from other states used Lake Centralia, and she said,
11 yes, they do, especially from Missouri. Many people
12 from Missouri have applied for boat licenses to put
13 their boats on Lake Centralia, and Kentucky.

14 BY MS. PELLEGRIN:

15 Q. And you mentioned a mobile guide. What
16 is a mobile guide?

17 JUDGE MORAN: It is like an Exxon guide.
18 It's just a guide.

19 THE WITNESS: Yes, it's a guide.

20 JUDGE MORAN: You are thinking of like you
21 were earlier, when you were thinking about mines.
22 But go ahead, I am sorry.

23 A. It is like it lists destinations, like
24 tourist attractions, sites of interest, historical

1 sites, hotels, it will rate them. So in this area
2 Lake Centralia was listed, and the interesting part
3 of that was that you could boat or fish or swim in
4 Lake Centralia.

5 Q. You mentioned you conducted some site
6 visits. You mentioned you visited the area adjacent
7 to the site on a couple of occasions. Was that three
8 occasions, you said?

9 A. Yes.

10 Q. And when was that?

11 A. Well, the first time was March 8 and 9.
12 I was on the site both those days.

13 JUDGE MORAN: What year?

14 A. Of this year, 2007. Then I was at the
15 site right before the previous hearing times. That
16 was March 25, 2007. And then the time before this
17 hearing which was March 29, 2007.

18 Q. And turning to your first time that you
19 visited the areas adjacent to the site, March 8 and
20 9, where did you go, just generally speaking?

21 A. We went upstream of the site. We were
22 adjacent to the site on the Bill Hesser property and
23 we were downstream of the site.

24 Q. And by we who do you mean?

1 A. Greg Carlson, Simon Manoyan -- I am even
2 pronouncing his name wrong -- yourself, Tom Martin,
3 Ward Lenz was out there the second day, Burke Davies
4 was out there the second day. I think that's it.

5 Q. And were you present during the testimony
6 of Greg Carlson when he described and denoted on
7 Exhibit A where he went and put his initials next to
8 different points of interest on Exhibit A?

9 A. Yes, I was.

10 Q. And were you present with Mr. Carlson the
11 whole time that he walked that area?

12 A. I was.

13 Q. Let me ask you, where did you go
14 generally during your second time, March 25, 2007?

15 A. We went to some of the same spots that we
16 went on the first time, but we didn't walk sections
17 of Martin Branch this time. We went to the Old Salem
18 Road crossing to observe flow there. We went to the
19 crossing at Mt. Moriah to see if there was flow
20 there. We went upstream to Highway 37 and observed
21 flow there. And then we drove down and around Lake
22 Centralia.

23 Q. And when you say "we," who was present
24 with you during that second visit?

1 those are areas that you were with Mr. Carlson on
2 your first visit, March 8 and 9, 2007?

3 A. I do agree with that.

4 Q. And, Ms. Melgin, what I would like for
5 you to do is tell me where specifically, looking at
6 this exhibit, you went on March 25, 2007. And let's
7 designate those areas with a W1 through whatever it
8 turns out to be.

9 A. Maybe in purple.

10 Q. Okay.

11 A. I will use a purple pen to designate
12 where I visited on March 25, 2007.

13 JUDGE MORAN: Which was your second visit?

14 THE WITNESS: Which was my second site visit.

15 A. This is the Salem Road crossing. So WM1
16 I am marking with an arrow pointed to the Salem Road
17 crossing. I am marking with the purple pen with an
18 arrow and a line, marking the Mt. Moriah crossing
19 with Martin Branch as WM2. I am marking with the
20 purple pen and an arrow toward the crossing of
21 Highway 37 with the upper reach of Martin Branch is
22 WM3. And then on Lake Centralia we drove pretty much
23 all around it, but I think we stopped about in here.
24 I will mark this as WM4. It is on the western part

1 of Lake Centralia, right under the Section 5 marking
2 on the topo map, and I marked that WM4. But we
3 pretty much covered this entire -- just drove around
4 so it is hard to locate an exact spot.

5 Q. And, Ms. Melgin, I don't know if you will
6 have any new markings to place on this map, but now I
7 would like for you to talk about where you went
8 during your third visit which was March 29, 2007.

9 JUDGE MORAN: April.

10 THE WITNESS: April.

11 JUDGE MORAN: I think that's what she said.

12 MS. PELLEGRIN: Yes, thank you, Your Honor.

13 A. Which was just Sunday. We again stopped
14 right here at Old Salem Road.

15 Q. If it is the same place, Ms. Melgin --

16 A. You don't want me to mark it?

17 Q. Just refer to -- yeah.

18 A. Okay. So we started here and we walked
19 up this parallel to the stream on Bill Hesper's
20 property, probably about up to here. We observed
21 flow in the channel and what we could see of the
22 L-shaped channel and then walked back down.

23 Q. Now, Ms. Melgin, what I am going to ask
24 you to do is, using the GC designations and/or using

1 your own designations, GC1 or WM 1 through 5, I would
2 like for you to describe what you observed on your
3 visits. And I think we can go ahead and start with
4 GC1.

5 A. Okay. This was from the first site
6 visit, Bill Hesel's CPP project, conservation
7 preservation project in the area. I observed one of
8 your typical agricultural conservation practices that
9 I have seen a lot across the country. My
10 understanding from Burke Davies is that this project
11 and the whole purpose of the Conservation 2000
12 project was to eliminate gullying and rill erosion.
13 That was the problem at this area, and it looks like
14 they laid back slopes and planted a fairly heavy
15 cover of grass in the channel.

16 There was water in the channel. It was
17 very heavily vegetated. It was difficult to tell if
18 it was flowing, but it was flowing above the channel
19 and below the channel. I assume the water was moving
20 its way through the heavy vegetation in the channel.

21 Q. And is the next designation GC2?

22 A. GC2 would be this stretch of the stream
23 that Mr. Carlson referred to as being previously
24 channelized. And from my observation and from his

1 observation, the age of the trees and the condition
2 of the channel, it probably was channelized decades
3 ago. There is mature vegetation on it.

4 And what happens in these types of areas
5 when you channelize and you leave it alone after that
6 pretty much, it starts to reestablish its meander
7 pattern which is the natural meandering pattern of
8 the stream pathway, and it is starting to do that
9 here.

10 I observed, you know, typical areas of
11 deposition and erosion. So there was definitely
12 erosion in the channel up here, and there was some
13 tree roots and there was some sediment in the
14 channel, but it is trying to -- the stream is trying
15 to establish an equilibrium and trying to come
16 back from past degradation.

17 Q. And, Ms. Melgin, at this hearing I
18 believe Mr. Carlson referred to it as not a pristine
19 stream. First of all, let me ask you if you have an
20 understanding of the definition of a pristine stream.

21 A. Well, to me that's a stream that's been
22 pretty much untouched by man, which is very difficult
23 to find any more, certainly in Illinois. Most of
24 these streams have been impacted by agriculture in

1 some way. Some are hanging on with different, you
2 know, riparian corridors that are too steep to farm.
3 But it is difficult to find a pristine stream that
4 hasn't been impacted in some way.

5 Q. And would you agree with Mr. Carlson's
6 description of this area as not a pristine stream?

7 A. Well, it is a typical stream in an
8 agricultural area.

9 Q. And you refer to it as channelized some
10 decades ago. If you know, how common was
11 channelizing agricultural area streams, if you know?

12 A. It was the normal practice. The
13 government paid for that type of work to be done. It
14 was a way to channelize streams because they wanted
15 to get the water off the ag fields as quickly as
16 possible. So basically they created a drain.

17 Q. And in this area can you describe -- you
18 mentioned a riparian corridor. Can you describe what
19 riparian corridor was present in this area?

20 A. Yes, that's a good point that I forgot to
21 mention. In the Bill Hesel part up here in the
22 Conservation 2000, there were no trees. That was
23 open field. That was the whole reason for the gully
24 erosion; open fields, no shading on the channel. As

1 you walk down, you pop into this wooded area and all
2 of a sudden you are in a fairly good, thick riparian
3 canopy through the length of that channel. It is a
4 nice shaded channel, a lot of trees.

5 Q. And making your way down to GC4 now?

6 A. GD3 is -- yes, GC3 is the site, the
7 alleged violation site.

8 Q. And what did you observe at that
9 location?

10 A. Well, I observed a constructed channel
11 with no trees, but other types of vegetation. There
12 was scrap and maybe some -- I am not a botanist but I
13 think Mr. Carlson said they might be Russian Olives
14 or something like that, some woody vegetation but not
15 quite trees. So it was definitely an open field,
16 constructed channel, very L-shaped, linear straight
17 channel through the one side and concrete riprap at
18 the scour marks on the corner.

19 Q. What is concrete riprap?

20 A. Well, where the -- the way they
21 constructed the channel -- show it on a different
22 exhibit. But they are funneling water straight in
23 toward their field. And if they wouldn't have put
24 riprap right there, which is just chunks of rock --

1 it could be any, I have seen car bodies used as
2 riprap, but something to break up the velocity -- it
3 would have continued to eat up their field since it
4 was running directly in the field. So then it took a
5 right angle turn.

6 Q. And you are describing the riprap
7 location, is it correct, that that would be -- we
8 would be talking about it as the top of the
9 north-south leg of the L?

10 A. Right.

11 Q. Is that the location you are talking
12 about?

13 A. Right.

14 Q. And let me ask you about your
15 observations coming down the south leg of the L, and
16 let me ask you about your observations along the
17 east-west leg of the L. What did you observe there?

18 A. Again it was, you know, a constructed
19 channel with some vegetation, grass, and some small
20 shrubs, maybe like the Russian Olives, open field,
21 very linear, no meanders.

22 Also at this time it looks like -- I
23 mean, this part was very flat. And the stream is
24 trying to re-grade itself. They lowered the gradient

1 to make it flat, so the channel is down cutting into
2 itself. So we have a wider bottom, but within that
3 bottom, as Mr. Carlson testified, is a smaller
4 subchannel. So the stream is -- it is trying to
5 establish a natural slope. So it is eating away at
6 the bottom, eating away at the bottom, eating away at
7 the bottom. And that's so you have a larger channel
8 with a smaller channel at the bottom.

9 Q. And did you observe the flow in the
10 subject?

11 A. Yes.

12 Q. And I don't know if you mentioned this,
13 but you mentioned flow earlier?

14 A. Right.

15 Q. Throughout the GC1 through 3 you observed
16 flow?

17 A. Right, yes. There was flow through here
18 and we saw, as Mr. Carlson testified to, permanent
19 pools with a series where pools were outletting and
20 you would have a little ripple series and then it
21 would go to the next pool, and that's where we
22 observed the fish that Mr. Carlson talked about in
23 those larger pools.

24 And flow through the channel -- now, are

1 we just talking about the first site visit or do you
2 want me to talk about the other site visits also?

3 Q. Yes, just generally I want you to
4 describe your observations inclusive of your site
5 visits.

6 A. Well, what I observed here this time,
7 from seeing it from Bill Hesper's property, is cattail
8 establishment in the channel. And you normally don't
9 have cattails in stream channel bottoms. That really
10 denotes a very slow moving system at low flow. That
11 doesn't mean at high flow they won't be scoured out
12 of there. But right now it looks more like an
13 emergent wetland than an actual stream channel.

14 Q. Let me ask you, what do you mean by -- is
15 there a distinction between low flow and how this
16 channel functions with low flow versus how this
17 channel functions at high flow?

18 A. Yes, there would be.

19 Q. And what is that distinction?

20 A. Well, in low flow, we have photos of
21 these two things, that, you know, the water is moving
22 very slowly, maybe not moving, maybe it is sitting
23 there, the gradient is so flat, allowing cattails to
24 establish. So at low flow the water might even be

1 backing the stream up north of there because the
2 stream is coming out and it kind of hits a very low
3 gradient. So it has a higher, not that much of a
4 higher grade, this is pretty flat land, but at low
5 flow there is not a lot of water moving through.

6 However, at high flow, because it is
7 straight and it is a uniform channel, it will have
8 the capacity to carry a lot more flow faster than the
9 actual stream channel.

10 Q. And I am going to ask you some more
11 questions about that a little later and we will look
12 at the photos, but let's stick to Exhibit A and
13 continue on your observations.

14 At the east-west leg of the L were you
15 able to observe any features of the site of the
16 alleged violations?

17 A. Yes, pretty much the same things that I
18 just described.

19 Q. What is the next designation or do you
20 have GC4?

21 A. Right.

22 Q. What were you able to observe on GC4?

23 A. On GC4 we are back into the natural
24 stream channel so again we are back into more of a

1 meandering pattern of scouring out the sides and
2 deposition. So the stream channel is looking -- it
3 is a normal pattern that streams flow. Riparian
4 corridor, trees overhanging.

5 What we didn't see here are -- and we
6 might have seen it when we were near the site of the
7 alleged violation -- we saw drainage features in the
8 field across from where we were standing.

9 Q. And can you describe what you mean by
10 drainage features?

11 A. Well, drainage features going out into
12 the field and draining water off the field.

13 Q. And by the field you mean the site of the
14 alleged violations?

15 A. Yes.

16 Q. And if you remember, would those drainage
17 features, the ones that Mr. Carlson denoted on a
18 separate exhibit -- we will get to that -- but just
19 right now, is that the same drainage features
20 Mr. Carlson referred to?

21 A. Yes, yes.

22 Q. What were your observations then
23 continuing downstream at GC5?

24 A. Before I get to GC5, I want to go back

1 and just touch on Greg Carlson covered --

2 MR. SMALL: I am going to object.

3 JUDGE MORAN: Absolutely. You can't do that.
4 You were doing so well. I thought you were Mr.
5 Carlson there for a minute. You have to go by
6 questions.

7 THE WITNESS: Okay, that's no problem. I
8 will try not to be my own lawyer. Okay, GC5.

9 BY MS. PELLEGRIN:

10 Q. GC5.

11 A. GC5 is the Old Salem Road down to this
12 section. But like Greg said, we didn't walk this
13 section because we didn't have access. But we did
14 observe flow at Old Salem Road. Again it looked --
15 we had the debris racks and evidence of high flow
16 throughout, you know, like Mr. Carlson is testifying,
17 is that the debris racks in the trees and above the
18 channel buffer head, so we know that flow was fairly
19 high. I observed fish in the channel at two
20 different times right below Old Salem Road in a
21 permanent pool.

22 Q. By fish do you mean -- generally what
23 size fish?

24 A. They were from minnows to four to

1 five-inch fish. Especially there seemed to be a lot
2 more of them in our second site visit on March 25
3 where I observed most of the fish, the most numerous
4 fish.

5 I also talked with the property owner
6 here who owns this property adjacent to the
7 downstream part after Old Salem Road.

8 Q. What did you discuss with the property
9 owner?

10 A. Well, she was talking about flooding on
11 her property and what she has done to her property to
12 improve its quality. And Mr. Carlson had testified
13 as to the road, the culvert replacement and the road
14 improvement that was done at that site. And her name
15 was Jane Palissa (sp) and she said it was due to her
16 badgering of the road commissioner that that road
17 crossing was fixed, because for two days the road
18 wasn't passable due to high water. She has worked
19 with Tony Antonacci on her property to, she called
20 it, a Force Management Program. I guess they did
21 some selective cuttings to try to increase or improve
22 the habitat for turkeys. So she has worked with the
23 NRCS also on her property.

24 She said that water flows in the channel

1 most of the year except in extreme drought periods.
2 She said there is always usually pools on her
3 property.

4 Q. And continuing further downstream to GC6
5 we are on now?

6 A. GC7 -- or GC5, sorry. That's GC5. GC4
7 was right here and GC5 is -- unless I have messed
8 that up, but it is from Mt. Moriah to the interstate.

9 Q. What did you observe during that stretch?

10 A. We walked the entire stretch and it was a
11 wider channel, what you would expect as you move
12 downstream. A lot of sediment in the channel. A lot
13 of evidence of bank erosion. Trees, a lot of woody
14 debris in the channel, and a lot of organic debris
15 that Mr. Carlson was talking about, wood, leaves. We
16 saw some agricultural material like it could be straw
17 or maybe that was used for erosion control somewhere.
18 But we saw a lot of debris in the channel that had
19 moved its way down. High banks, fairly steep. We
20 had to walk up. We were talking in the channel and
21 there was times we couldn't get over the material so
22 we had to walk up to the bank and back down. It was
23 very, very meandering. It took us a long time. It
24 was very sinuous around there. We made it to the

1 highway culvert. That's where we saw the mink; it
2 was right there. And two 7 by 7 foot box concrete
3 culverts, water flowing through. So we had seen
4 water as we moved our way down in every part of the
5 channel.

6 Q. Could you describe the riparian cover in
7 that particular area?

8 A. Very wide riparian corridor. It is
9 getting steeper so you can't farm right up to it. It
10 starts steeping up.

11 Q. And continuing downstream can you
12 describe what you found at the next observation
13 point?

14 A. Well, from Mt. Moriah we tried to make
15 our way through different parts to Martin Branch, but
16 some of these roads aren't there. So we ran into a
17 property owner up here and he provided us access. We
18 drove up basically to the end of this field and he
19 allowed us access to walk down to the flood plain
20 area of where Martin Branch enters Lake Centralia.

21 Q. And can you describe what you observed at
22 that location?

23 A. Graded channel, more than one channel.
24 You had a main channel and then you had overflow

1 channels, probably during flood events. Very flat,
2 your typical wooded flood plains area, very deep
3 sediment. Mr. Carlson stuck his arm all the way down
4 in there and it was very mucky, which you would
5 expect from all the sediment coming out of Martin
6 Branch and depositing before it goes into Lake
7 Centralia. It is slowing down and it is a lot
8 flatter down there.

9 We observed, he said, the Phragmites
10 area, just a very nice area in there.

11 Q. And can you describe the riparian cover
12 in that area?

13 A. It is totally forested. You can see just
14 by looking at this map, the gradients -- or estimate
15 the amount of forest. It is very steep in there. We
16 walked, I would say, a 25 percent slope down into the
17 area. So very steep. I walked down at the bottom
18 where it is very flat. So a very nice area, very
19 wooded, very shady.

20 Q. And what is the next observation point?

21 A. We drove back down these roads and there
22 is a gap, an oil well right here. And we walked
23 through the fields to the top of the slope and
24 observed Martin Branch there. And we could see it

1 was flowing so we noted it flowed all the way down
2 into Lake Centralia. There was water in the channel
3 all the way.

4 So from what we could see, we didn't walk
5 down into this. Again, we didn't have access to the
6 property. We didn't know who owned the property. So
7 from what we could see, the channel there was again
8 wider, had erosion, trees. Pretty nice channel for
9 this type of system, but definitely impacted.

10 Q. And what was your next observation point?

11 A. We drove up to the intersection up here
12 to Highway 37 at the very top of the property, and I
13 observed flow. We observed flow coming down the --
14 from both ways, down the road in ditches, entering
15 the property here. Water was flowing from this side
16 of 37 through a culvert down at the sidewalk. We
17 also saw a crawfish, I think on the second one,
18 swimming in the channel. He was in there; I don't
19 know if they swim. And flowing, this one has a tree
20 limb here now, I think, and then dropping down.

21 Q. And does that conclude that first -- the
22 observations of the first visit?

23 A. Yeah, kind of all of them, I guess. I
24 guess I didn't talk about the second ones very much.

1 But the second one just very quickly and we went to
2 observe to see if there was flow in all those areas
3 that I marked as WM1, 2 and 3, and there was flow
4 there.

5 Q. So there was flow at all three times in
6 all the locations that you just described so far?

7 A. That's correct.

8 Q. And now I think you marked some WM areas
9 that were not -- that did not coincide with the GC,
10 Greg Carlson, areas. Where does that start, the WM?

11 A. I think there is just one, isn't there,
12 and that's up here by Lake Centralia.

13 Q. Okay. And then what did you observe --
14 is that WM4?

15 A. Yes.

16 Q. What did you observe at WM4?

17 A. At this time the purpose of this area
18 visit was just to see the use of the lake, see if
19 there were people fishing, see if there were boats on
20 the lake, see how close we get to the condition of
21 the lake.

22 And we saw boats. We saw people fishing
23 from their boats. We saw people fishing from this
24 road here that goes across. So it looked like people

1 were using it. There is quite a few houses. That
2 was about the extent of that site visit.

3 Q. Ms. Melgin, you can have a seat.

4 Looking at -- and you can see from where
5 you are sitting, I hope?

6 A. Uh-huh.

7 Q. The water shed, Exhibit A. First of all,
8 as a hydrologist have you had occasion to use a water
9 shed map such as this one?

10 A. Yes, I have.

11 Q. Now, what is your definition of a water
12 shed?

13 A. A definition is simply an area that
14 collects and conveys water to a single discharge
15 point.

16 Q. And let me follow up on a single
17 discharge point. Looking at the Martin Branch water
18 shed, where is the single discharge point?

19 A. It's that little area on the right where
20 it enters Lake Centralia.

21 Q. And we have been defining it as the
22 sub-water shed of the Martin Branch the area that
23 Joan Rogers delineated. Is there a single collection
24 point, I think is the term, in that particular area

1 that you pointed to?

2 A. Right. They just picked a point above
3 the violation site and denoted that as the point
4 where all the water above that point would discharge
5 to.

6 Q. And by above the -- I think you said
7 above the violation site. What part of the L -- and
8 if you want to get up and look at the map, Your
9 Honor, can I have permission for Ms. Melgin to get up
10 and approach?

11 JUDGE MORAN: Yes.

12 Q. You are referring to the L, the L
13 channel?

14 A. Well, I think they considered it just
15 right here below, the sub-water shed boundary. So
16 everything would be -- wherever they picked the
17 point, it is just that that, all this area, would
18 drain to one point, whether it be that point, that
19 point or that point.

20 Q. So what is the -- can you tell by looking
21 at this delineation what the collection point would
22 be on this?

23 A. I think it is right there.

24 Q. And where are you pointing on the map?

1 A. I am pointing right at the downward part
2 of the L.

3 Q. You can have a seat. Looking at the
4 water shed map as a whole, how many -- let's see,
5 what are the components of this water shed just
6 generally?

7 A. Well, the main part of the water shed is
8 Lake Centralia. That's the water shed that we are
9 concerned about here. The components are the five or
10 six water sheds, I think six water sheds, that convey
11 flow to Lake Centralia.

12 Q. And if I asked you what is the prominent
13 feature of this water shed, what would you say?

14 A. It would be Lake Centralia.

15 Q. And what, if anything, do you know about
16 Lake Centralia, besides what we talked about before,
17 just looking at this water shed map? What does this
18 tell you?

19 A. That it is an impoundment of Martin
20 Branch.

21 Q. And do you know that from reviewing other
22 documents as well, that it is an impoundment of
23 Martin Branch?

24 A. That's correct.

1 Q. And how does the Martin Branch water shed
2 fit within the larger Lake Centralia water shed?

3 A. Well, Martin Branch is the largest of the
4 water sheds that contribute flow to Lake Centralia.

5 Q. And by largest water shed could you
6 please explain what you mean by largest water shed?

7 A. In acres. In acres it is the largest
8 land -- has the largest land mass of any of the other
9 water sheds.

10 Q. And referring to this water shed map and
11 also generally to your own knowledge of Martin
12 Branch, how would you characterize Martin Branch
13 within the Lake Centralia water shed or branch
14 itself?

15 A. It is a tributary to Lake Centralia.

16 Q. And I believe you -- you have used a
17 couple of terms earlier in your testimony, in your
18 background. You mentioned headwater stream?

19 A. Right.

20 Q. And how, if at all, does the term
21 headwater stream apply in this case?

22 A. Well, Martin Branch could be considered a
23 headwater stream.

24 Q. And I believe that you also mentioned the

1 term "1st order stream"?

2 A. Right.

3 Q. And how does that term, if at all, fit
4 within the -- how does that apply to this water shed?

5 A. Well, stream order is just a convenient
6 way to classify and rank the size of the streams and
7 rivers. A 1st order stream means that there are not
8 tributaries to it -- no, you are very dependent on
9 the scale that you use because some of the smaller
10 tributaries or swells or farm drainages aren't
11 considered when you do a stream order. What you
12 would do is use the tributary systems or tributaries
13 that are marked on a topo map like that.

14 Q. And, Ms. Melgin, at this time I think it
15 would be useful for me to ask you if you could define
16 tributaries and how your meaning of the word
17 tributaries relate to -- I believe Mr. Carlson was
18 testifying about using the term tributary as applied
19 to the site of the alleged violations earlier. So if
20 you could define what you mean by tributary in
21 relation to that?

22 A. Tributary, by that I mean a mapped stream
23 would be a tributary to a mapped drainage. You can
24 see on the topo maps like Martin Branch is a mapped

1 drainage system. It is a mapped stream. The ones
2 Mr. Carlson were talking about were field level
3 features.

4 Q. So you are using the terminology as
5 applied -- you are applying the terminology tributary
6 as applied to this map?

7 A. Right.

8 Q. Using the scale of the map you are
9 looking at?

10 A. Right. But tributary to is what he was
11 trying to say. It is a tributary to. Water flows
12 to. That's what tributary means. Water is provided
13 by that water body. It is a tributary to another
14 water body. So you can have drainage ditches that
15 are tributary to another system. They might not be
16 mapped on this map. They couldn't provide
17 significant flow now.

18 Some of the ones he talked about are
19 channel scars which are old meanders. Their streams
20 flow back and forth and their meanders get cut off or
21 they are impacted in some way, but the land form is
22 left on the land.

23 But in stream ordering we are just
24 talking about mapped streams.

1 Q. You talked about the flow of the Martin
2 Branch. What, if anything, do you know about the
3 source of that flow, that water flow?

4 A. Well, there has been a lot of talk, you
5 know, testimony about this being an intermittent map,
6 an intermittent stream. The difference between
7 perennial, intermittent and ephemeral is basically
8 based on the contribution of surface runoff and
9 ground water. So those are the two components of
10 stream flow.

11 So, and starting at the driest side, the
12 driest type of drainages being ephemeral, the
13 definition is there is no ground water contribution
14 to sustain base load. There may be some input from
15 ground water, but it is not enough to sustain any
16 type of base load. So those drains only run as a
17 result of storms. You know rains, get snow melt,
18 those drainages will run. That's the source of their
19 water.

20 An intermittent stream would be you have
21 most of the water in the stream is from storm
22 generation or something else, in this case storm
23 generation. But you do have a component of ground
24 water that may sustain the stream for a certain

1 amount of time. But the contribution of surface
2 water is greater than ground water because the stream
3 may not flow year around. It may sustain some
4 permanent pools, like we have talked about.

5 And a perennial stream is when you don't
6 see -- when it is not raining and there is water in
7 the channel, then you are seeing ground water.
8 That's ground water. This is no other way for that
9 water to get in unless there is an artificial source.

10 Q. And how, if at all, is the water table
11 impacted from the flow in any of those, either
12 ephemeral and perennial streams?

13 A. Well, like I said, in ephemeral, the
14 ephemeral channels would be above the water table so
15 you wouldn't get much contribution of ground water.
16 But where your stream channel intersects the water
17 table, you would. In these soils that have high
18 water tables, you would expect to have ground water
19 inputs to the stream.

20 Q. And how, if at all, does that apply to
21 Martin Branch in this case?

22 A. Well, we have seen flow every time we
23 have gone out there and it hadn't rained before then.

24 Q. And by every time you have gone out

1 JUDGE MORAN: Yes.

2 BY MS. PELLEGRIN:

3 Q. Ms. Melgin, you testified about 1st order
4 streams, 2nd order streams. I would like for you to,
5 using the easel, depict what you mean by 1st and 2nd
6 order streams and however they are ordered.

7 A. Okay. Just a basic order system, okay.
8 Well, I will just draw a --

9 Q. And, I'm sorry, let's go ahead and put a
10 K, Exhibit K on it.

11 (Whereupon Complainant's Exhibit
12 K was marked for purposes of
13 identification as of this date.)

14 A. Okay. So I am just going to draw a
15 little water shed here, also the outlet point. Here
16 is the main stream. And then what you do is you
17 order from the top. So you have a tributary coming
18 in here. There are no tributaries to this. This
19 would be a 1st order stream. This would be a 1st
20 order stream; there is no tributaries coming into
21 that. Where they make a confluence, this becomes a
22 2nd order stream.

23 JUDGE MORAN: A 2nd what?

24 THE WITNESS: A 2nd order stream.

1 A. So there is the 1st order stream and 2nd
2 order stream, and then this might flow into a
3 different stream system and this would be a 3rd order
4 stream.

5 Just for context, the Amazon River is a
6 12th order stream as orders go. The Mississippi is a
7 10th order stream. Crooked Creek, where Martin
8 Branch, Lake Centralia, with Crooked Creek, that is a
9 4th order stream. Where it enters the Kaskaskia it
10 is a 5th order stream. So another 4th order stream
11 has confluence with Crooked Creek at that point. The
12 Kaskaskia River is probably a seven. It is higher
13 than a six.

14 So that's just a convenient way of
15 ordering streams relative to size, and with the
16 assumption that, you know, as you get higher in
17 order, the size of the water body increases, the flow
18 increases, and all of that.

19 Q. And, Ms. Melgin, am I correct that the
20 1st order stream would feed into the 2nd order stream
21 and the 2nd order stream would feed into the 3rd
22 order stream?

23 A. That's right.

24 Q. And looking at -- you used the earlier

1 term "headwater stream"?

2 A. Right.

3 Q. How does that apply to Exhibit K?

4 A. Well, you see that these streams here,
5 and I can put a couple here, they are at the top of
6 the water shed. So they are in very intimate contact
7 with the uplands around them. They are getting all
8 this flow from up above and they are funneling it
9 downstream. So those are -- the headwater streams
10 are the farthest from the main stem, in this case it
11 is the stream. They are just at the top of the water
12 shed, the smallest orders.

13 Q. And using this Exhibit K can you explain
14 just generally what the functions of the headwater
15 streams are?

16 A. Well, like I said, they are at the very
17 top and they are in intimate contact with the
18 uplands. So anything that's -- the water coming from
19 the uplands, that's what happens at headwater
20 streams. That's where flow originates. That's where
21 it starts. Water falls on the water shed, it starts
22 concentrating in channels, and it starts forming a
23 drainage system. Or there could be a spring or seep
24 at the top that provides water. But regardless this

1 is where it all stops, at the very top. That's why
2 these streams are so important.

3 Also what starts here is the contribution
4 of organic material that feeds downstream systems.
5 So all the organic materials, all the nutrients that
6 are essential, also start here and start creating the
7 food chain for all the organisms down below, all the
8 material that falls in. These channels are narrow.
9 The vegetation is very closely associated with the
10 channels. There are overhanging. There is stuff
11 from the trees, there is insects from the trees
12 falling into the water and going downhill. You know,
13 as you go down, the channel gets larger. And as you
14 go down to the larger rivers like the Kaskaskia, the
15 vegetation isn't as important to the channel function
16 as they are in the headwater streams.

17 On the other hand, they also can carry
18 pollutants. It carries nutrients that are essential
19 to life downstream. But because it is in such
20 intimate contact with the uplands, it also can be a
21 source of pollutants, what's carried in the water,
22 what's picked up and transported to the water
23 downstream.

24 Q. And I like analogies. Using a lay

1 person's analogy, the headwater streams that feed
2 into one another, that feed into a larger water body,
3 can you give me sort of an analogy of how that works?

4 A. Well, I did a very poor job of drawing a
5 water shed. But usually when you look at these stems
6 for any type of water shed, people will say it looks
7 like the veins of a leaf or it looks like a hand or,
8 you know. The other analogy that's used is because
9 it does transport the essential nutrients and organic
10 materials, is that headwaters are sometimes referred
11 to as the capillaries of the system. And it delivers
12 all -- it is a delivery system just like the body,
13 just like parts of the body and the blood. So it is
14 delivering all those nutrients and whatever is in the
15 water downstream like it would in a body.

16 Q. And if I can ask you to sort of flip them
17 back, look back at Exhibit A, maybe I will help you
18 with that?

19 A. I have got it.

20 Q. And I would like for you to -- you have
21 just drawn the headwater streams and 1st and 2nd
22 order streams on Exhibit K. And you analogized that
23 to capillaries and veins. Apply that analogy to the
24 Martin Branch water shed in this case.

1 A. You mean for ordering?

2 Q. I mean the analogy of the conveyance of
3 the flow.

4 A. Well, it would be the same assumption.
5 It was that these headwater areas, this is the very
6 top. You are seeing these very small, little pieces
7 of where drainage has started, water hits the ground,
8 it starts flowing, it starts concentrating. It
9 starts forming a channel, a channel is formed. And
10 whatever is carried in that water -- that's what is
11 meant by hydrologic conductivity -- is that water is
12 the medium to transport energy, for mass, for
13 nutrients. And that conductivity extends from the
14 headwaters all the way downstream to the body.
15 That's the delivery system of a water shed.

16 Q. So with this analogy we can say Lake
17 Centralia is the heart?

18 A. You could. It is where everything is
19 going.

20 Q. And it is the Lake Centralia water shed
21 at least?

22 A. Right, right.

23 MS. PELLEGRIN: Your Honor, can I have five
24 minutes?

1 JUDGE MORAN: Sure. You want to take a
2 five-minute break?

3 MS. PELLEGRIN: Yeah, a five-minute break.

4 JUDGE MORAN: We will take that break. Five
5 minutes.

6 (Whereupon the hearing was in a
7 short recess.)

8 JUDGE MORAN: Go on the record.

9 BY MS. PELLEGRIN:

10 Q. Okay, Ms. Melgin. You were talking about
11 the headwater stream a moment ago. I believe before
12 lunch you talked about your expert opinion. I know
13 we haven't gone into any depth on that; we will get
14 to that. But I believe you mentioned that you based
15 your expert opinion on the intent of the Clean Water
16 Act, the goals of the Clean Water Act, which included
17 restoring biological, chemical and physical integrity
18 of downstream waters; is that correct? Am I
19 remembering that correctly?

20 A. Yes.

21 Q. So first let me ask you, what do you mean
22 by biological, physical and chemical integrity of
23 downstream waters?

24 A. Well, integrity basically means the

1 condition or usually the unimpacted condition of the
2 water. Integrity means you have full conditions. So
3 the physical is the components of the physical earth,
4 the stream flow, the channel, the structure. You
5 know, basically it is the shape and morphology of the
6 water body, whatever that would be. The biological
7 is just the organisms and plants that inhabit those
8 waters. And the chemical would be the nutrient or
9 chemical component of the water.

10 So those are some. There are probably
11 other lists. But those are simply what we mean by
12 chemical, physical and biological. And physical,
13 too, incorporates the structure of the habitat of the
14 riparian corridor, that type of thing.

15 Q. So I am going to take these one at a
16 time, and you mentioned -- since you just recently
17 talked about headwater streams, I would just like to
18 ask generally what effects, if any, do headwater
19 streams generally have on the physical integrity of
20 the downstream waters.

21 A. Well, there is positive and negative
22 effects. But like I said, that's where -- I mean,
23 simply the easiest way to put it is the best physical
24 component is the path the water takes, which is the

1 channel. Those starts, the headwater streams,
2 provide first initiation of a channel to transport
3 water and anything in that water to downstream
4 systems.

5 So the shape of the channel, the channel
6 itself, the flood plain of that channel, the
7 vegetation, the habitat or the substrate that allows
8 that vegetation to grow, are the conditions as part
9 of the physical component of headwater streams. So
10 it is the quantity of the water and also to some
11 extent the quality it provides, the basis for the
12 quality of the water. And also for the biologics,
13 the physical kind of incorporates or is the
14 foundation for the biological and chemical because it
15 is the media that's transporting and providing
16 nutrients and things for downstream. So the physical
17 kind of sets the stage. It is the transport
18 mechanism and media to allow that.

19 Then the chemical would be --

20 Q. Ms. Melgin, one second. I want to follow
21 up. You mentioned the term "habitat substrate."
22 What do you mean by habitat substrate?

23 A. Well, it would be the soil that, you
24 know, the flood plain inundates. And the soil that's

1 created there is impacted by the water that overflows
2 there, and that creates an environment for the plants
3 that live there. So it is the structure of the
4 habitat.

5 Q. Okay. And continuing on, what effects do
6 headwater streams have on the chemical integrity of
7 downstream waters generally?

8 A. Like I said before, they are in very
9 intimate contact with the uplands and that's where
10 they are getting erosion from uplands and even
11 natural erosion and you are getting material into the
12 water, and chemicals and nutrients that are within
13 that water are transferred downstream, providing
14 those nutrients and organic materials to downstream
15 waters. So, like I said, they are kind of the
16 delivery system for those constituents to move
17 downstream.

18 Q. And continuing on, what effects do
19 headwater streams have on the biological integrity of
20 downstream waters?

21 A. Well, biological is, like I said, the
22 organisms and the plants that live there, and there
23 is a big diversity in headwater streams because they
24 sometimes dry up. So you have a large diversity of,

1 like Mr. Northrup was talking about,
2 macroinvertebrates and the insects and other
3 organisms, other aquatic and terrestrial organisms.
4 Because you have a system that is wet part of the
5 time, most of the time, to dry some of the time.

6 Uh-oh.

7 So you have a lot more biological
8 diversity in those areas than you would in some other
9 areas downstream that are more uniform.

10 JUDGE MORAN: And by the way, "uh-oh" on the
11 record was just referring to the fact that an easel
12 fell over. I don't want someone reading this and
13 wondering what happened. "Uh-oh," what does that
14 mean.

15 Q. Ms. Melgin, I believe you testified you
16 relied on some journal articles...

17 A. Yes.

18 Q. ..to provide testimony here today. And I
19 would like you to turn your attention to
20 Complainant's Exhibit 30, Complainant's Exhibit 30.

21 A. Yes, I am there.

22 Q. And, Ms. Melgin, if you could flip
23 through Bates number 667 through the end of Exhibit
24 30, I know it is a lot of pages, but it ends at Bates

1 number 74, if you could just generally flip through
2 there.

3 A. Yes.

4 Q. Ms. Melgin, do you recognize this
5 document?

6 A. Yes.

7 MS. PELLEGRIN: And I believe this document,
8 Your Honor, has already been admitted to the record.

9 JUDGE MORAN: Complainant's Exhibit 30 has
10 already been admitted. Is that right, counsel for
11 the Respondents? It looks like it is. It is on my
12 list. It may have been moved for admission.

13 MR. NORTHRUP: Yep, that's fine.

14 JUDGE MORAN: Stipulated for admission, okay.

15 BY MS. PELLEGRIN:

16 Q. Can I ask do you recognize this document?

17 A. Yes.

18 Q. And what is this document?

19 A. Well, this is a special edition, I think,
20 of the Journal of Water of the American Water
21 Resources Association talking about headwater
22 streams.

23 Q. And is this one of the journals that you
24 reviewed to add to your testimony here today?

1 A. Yes, one of them.

2 Q. And turning your attention to document
3 Bates number 737.

4 A. Okay.

5 Q. And, Ms. Melgin, if you can just read the
6 title of this, the title of 737, into the record?

7 A. Okay. The title is "The Contribution of
8 Headwater Streams to Biodiversity in River Networks."

9 Q. And I am looking at what's under the
10 Abstract portion of this document. Do you see where
11 I am reading, that first paragraph?

12 A. Yes.

13 Q. And I believe -- I am asking you to turn
14 here now because I believe this fits well with what
15 you were just talking about. So I would like for you
16 to, referring you to this paragraph here, and I would
17 like for you to read into the record the first half
18 of the paragraph and stop before we review.

19 A. Oh, okay, the first part of the Abstract.
20 It says, "The diversity of life in headwater streams
21 (intermittent, 1st and 2nd order) contributes to the
22 biodiversity of a river system and its riparian
23 network. Small streams differ widely in physical,
24 chemical, and biotic attributes, thus providing

1 habitat for a range of unique species. Headwater
2 species includes permanent residents as well as
3 migrants that travel to headwaters at particular
4 seasons or life stages. Movement by migrants link
5 headwaters with downstream and surrounding
6 ecosystems, as do exports such as emerging, drifting
7 insects."

8 Q. And thank you for reading the
9 punctuation. I don't think you have to do that.

10 A. I thought it would help her.

11 Q. I realize you were probably doing that to
12 benefit the court reporter.

13 Ms. Melgin, looking at this section that
14 you just read into the record, how, if at all, does
15 that fit with what you have been talking about, in
16 particular the Martin Branch headwater stream you
17 discussed earlier?

18 A. Well, I mean, that's exactly what I was
19 saying, is that these smaller streams are really
20 important to, not only the biodiversity within
21 themselves, but downstream, providing nutrients and
22 food for downstream, and you know that they do
23 differ.

24 And it is not just -- when we are talking

1 about species migration, and I think we touched on it
2 a little bit in testimony yesterday, about did we see
3 animals moving up and down or migration and
4 everything. But, I mean, it is a pretty well-known
5 fact, in my opinion, that what happens when streams
6 with riparian corridors empty in lakes, not only do
7 organisms move downstream, from the upper parts of
8 the water shed down to a water body, they will move
9 up, and even in larger rivers. Because there may be
10 temperature differences or something in the lake, and
11 they seek refuge in cooler stream waters, if
12 possible, if they need to.

13 So species move down, they move up, they
14 move laterally from the sides. So it is a very fluid
15 corridor that these headwater streams provide, not
16 just for the species that live in them, but for
17 species that live around them and downstream of them.

18 Q. And continuing on past the "We reviewed"
19 sentence, beginning at the "Even intermittent
20 streams" sentence, can you read that into the record
21 to the end of the paragraph? And you don't have to
22 read the punctuation. If you could read that portion
23 into the record, please.

24 A. "Even intermittent streams may support

1 rich and distinctive biological communities, in part
2 because of the predictability of dry periods. The
3 influence of headwaters in downstream systems emerges
4 from their attributes that meet unique habitat
5 requirements of residents and migrants by offering a
6 refuge from temperature and float streams,
7 competitors, predators and introduce species serving
8 as a source of colonists, providing spawning sites in
9 rearing areas, being a rich source of food, and
10 creating migration corridors throughout the
11 landscape. Degradation and loss of headwaters and
12 their connectivity to ecosystems downstream threaten
13 the biological integrity of entire river networks."

14 Q. And referring to the portion that you
15 just read into the record, how, if at all, does that
16 relate to this particular Martin Branch area?

17 A. Well, it was kind of what Mr. Carlson was
18 talking about yesterday where riparian cover provided
19 protection from predators in some cases, even for
20 those type of animals, because it is cover. And it
21 is basically what we have been talking about, that it
22 serves the temperature and it could be either
23 colonists or species from parts of upstream, maybe
24 even downstream.

1 So it is trying to say that this is a
2 dynamic system. It is not just a -- it just doesn't
3 stay in one place. It is very dynamic and things
4 moving back and forth. So organisms and nutrients
5 and that type of thing, that's what a living
6 landscape is.

7 Q. And referring to this whole document,
8 Exhibit 30, it would be the Journal of the American
9 Water Resources Association, do you know if this
10 document contained -- or any articles contained
11 herein are peer reviewed?

12 A. Oh, yes.

13 Q. Are they?

14 A. They are.

15 Q. Putting that aside now. Now, earlier,
16 Ms. Melgin, I think we talked a little bit about
17 wetlands and the functions of wetland. Let me ask
18 you in terms of again physical, chemical and
19 biological, what effect do wetlands have on the
20 physical integrity of downstream waters generally
21 speaking?

22 A. Okay. Well, Mr. Carlson talked about the
23 big three that we always talk about, the nutrient
24 absorption, the flood retention and the habitat. But

1 I would kind of like to break that down a little bit.
2 And I look at it from a quantity and quality
3 perspective again. So from a physical standpoint the
4 wetlands help to abate flow or help to provide flow,
5 depending on the circumstance.

6 So if you have a flood -- and today on
7 the weather channel they were talking about all these
8 small stream flood warnings for areas that had these
9 large storms and a lot of that is because the
10 wetlands have been destroyed or the streams have gone
11 through some sort of hydrologic modification so they
12 don't have any flood retention capabilities any
13 longer. That's what wetlands do. You can say they
14 act like a sponge, they soak up, that's what flood
15 plains do. The water comes down, the water is able
16 to spread out over the flood plain and it stays there
17 for a certain period of time.

18 So then what happens to it, then it is
19 released back into the channel at a slower rate. So
20 you don't get high peak flows and these small flood
21 stream warnings. You get this slower release of the
22 water from the wetlands into the channel.

23 At the same time, you are getting that
24 effect on flow which is the physical aspect of it.

1 That water that's in the soil is being able to be
2 transformed. The nutrients that are in the water are
3 able to be taken up by plants, if it is riparian
4 vegetation or wetlands vegetation. The sediment can
5 drop out into the wetlands. So the water that is
6 being released back into the stream channel is
7 cleaner. It is not carrying the nutrient and
8 sediment load. So there is a reduction in sediment
9 and nutrient load after the water has gone through a
10 wetlands. It acts like a sponge; it acts like a
11 filter. So that's kind of the chemical composition.
12 Some of your downstream waters are receiving better
13 quality water.

14 That's why I was talking about the
15 non-point source project restoring wetlands to
16 provide that function to reduce nutrient and sediment
17 load. That's why a lot of these water organizations
18 in the state are spending a lot of money and the
19 federal government is spending a lot of money to
20 restore wetlands on these smaller streams.

21 JUDGE MORAN: I just want to interject, try
22 not to when you are doing your testimony -- you are
23 doing a fine job and you know a lot -- but don't
24 piggyback onto what Mr. Carlson's testimony was

1 unless it is integral to your being able to express
2 your own opinion. If you can't express an opinion
3 apart from what Mr. Carlson testified to, then you
4 will have to include that. But other than that, I
5 will make the connections if there is consistency.
6 Just I would like to hear what you know.

7 THE WITNESS: Those are just the normal big
8 three and I wanted to expand on them.

9 Q. I am sorry, have you covered all three of
10 the big three, Ms. Melgin?

11 A. Well, the flood retention and the
12 nutrient reduction but I didn't cover the habitat.
13 That's an obvious feature. Again, the wetlands are a
14 transitional area between open land and open water.
15 That's why they are so important for habitat.
16 Because, again, you get some aquatic species, some
17 terrestrial species, and you get a higher diversity
18 of species. Because you get species using both of
19 those environments in wetlands. That's why they are
20 big. You see birds there. There is a lot of
21 different organisms because of the ecotone, the
22 transition area, between upland and open water.

23 Q. And what do you mean by ecotone?

24 A. Ecotone is a transition area from one

1 eco-system like terrestrial, uplands, to open water,
2 flowing water. So that part, you know, it is part
3 terrestrial, it is part aquatic.

4 JUDGE MORAN: Do you want to spell that word,
5 ecotone?

6 THE WITNESS: Ecotone, E-C-O-T-O-N-E.

7 Q. And, Ms. Melgin, let me ask you, you just
8 covered the big three of wetland functions. Does
9 that encompass the physical, chemical and biological?
10 Is that what you just described, encompassing all
11 those three?

12 A. Yes, uh-huh.

13 MS. PELLEGRIN: Your Honor, at this time --
14 first of all, let me ask.

15 Q. Ms. Melgin, you were at the site, you
16 were adjacent to the site of the alleged violation a
17 couple of times; is that correct?

18 A. Correct.

19 Q. And, Ms. Melgin, were you present in the
20 courtroom when we played the video that Mr. Daniel
21 Heser's brother had taken of the site of the alleged
22 violations close in time to the occurrence of the
23 alleged violation?

24 A. I was.

1 MS. PELLEGRIN: And, Your Honor, I would like
2 to play the video for Ms. Melgin without the stops
3 and starts that we had with Mr. Daniel Hesper. I
4 would just like to sort of get a bigger picture. I
5 am saying that to show that it is not going to take
6 45 minutes like it did last time.

7 JUDGE MORAN: Well, that's fine. But, of
8 course, with no counter, there will be -- no pun
9 intended -- no frame of reference. It should just be
10 speaking generally about watching the video as
11 opposed to before when you were stopping and the
12 witness would identify the counter number.

13 MS. PELLEGRIN: Right. I thought about that.
14 I think we can probably speak generally about it, but
15 I will reserve my right, I guess, to stop and start
16 but with longer durations. I don't have any --

17 JUDGE MORAN: Okay. That's fine. So we are
18 ready to do business?

19 MS. PELLEGRIN: Yes, if we can go off the
20 record.

21 JUDGE MORAN: Okay. Go off the record for a
22 moment.

23 (Whereupon there was then had an
24 off-the-record discussion.)

1 JUDGE MORAN: Yes, we are on the record
2 again.

3 BY MS. PELLEGRIN:

4 Q. Okay. Ms. Melgin, I am playing for you
5 what I believe has been marked and admitted as
6 Complainant's Exhibit 8C which is a videotape. I am
7 going to begin that now.

8 (Video playing.)

9 Okay. Ms. Melgin, you just watched the
10 video of the site of the alleged violation. I
11 believe there was testimony that it was in September
12 of 1999; is that your recollection? Sometime around
13 September of 1999?

14 A. That's what I understand.

15 Q. And, Ms. Melgin, there were -- first of
16 all, let me just ask you generally to describe what
17 you saw in the video.

18 A. Well, I saw construction of a new
19 channel, an artificial channel.

20 Q. Could you speak up or put the mic a
21 little closer?

22 A. I saw the construction, basically the
23 result of the construction, there was some heavy
24 equipment out there, of a new channel, a lot of bare

1 ground. It looked like cleared vegetation, burning
2 of woody debris, a berm created, and some riprap
3 placed in the corners of the constructed channel, and
4 the unstable slopes of adjoining property. Trees are
5 hanging on there.

6 Q. Ms. Melgin, what, if any, water did you
7 see depicted in any part of that video?

8 A. Just in the pool of the first area with
9 the riprap. It looks like it is pooled there in the
10 scoured area.

11 Q. And you testified earlier about pools in
12 the Martin Branch. How would you describe in
13 particular the pool that you saw in this video in
14 September of 1999?

15 A. Well, there is definitely water there.
16 What I would -- my opinion is, because I wasn't there
17 in '99, would be that is probably ground water.

18 Q. And what, if anything, do you know about
19 the time of year, September, in terms of seasonal
20 rainfall?

21 A. Yeah, it is usually low.

22 Q. In September. I mean, August and
23 September are usually the months that have the lowest
24 amounts of precipitation.

1 JUDGE MORAN: In this area.

2 THE WITNESS: In this area and a lot of
3 areas.

4 Q. Okay. Ms. Melgin, you described the
5 channel in the video. Is that the L-shaped channel
6 we have all been talking about, the L-shaped channel?

7 A. Yes.

8 Q. Ms. Melgin, referring to the video that
9 we just looked at and also to your visit at the site,
10 what is your opinion about the -- first of all, do
11 you have an opinion about the function, how that
12 L-shaped channel functions, as a water conveyance?

13 A. Yes.

14 JUDGE MORAN: Presently functions as a water
15 conveyance?

16 Q. Yes, just -- yes. And can you tell me
17 what the function of the L-shaped channel at the site
18 of the violation is as a hydrologist?

19 A. Well, the purpose of an artificial
20 channel like that is to move water from point A to
21 point B as quickly as possible and to, depending on
22 the depth, to drain adjacent -- it can act as a drain
23 to drain adjacent soils.

24 Q. And I believe earlier you talked about

1 the function of the L-shaped channel differently in
2 terms of low flow times and high flow times?

3 A. That's right.

4 Q. I would like for you to look at
5 Complainant's Exhibit 27, a document Bates number
6 459.

7 A. I am there.

8 JUDGE MORAN: Give me a second. 27, right?

9 MS. PELLEGRIN: Yes, Your Honor.

10 Q. Ms. Melgin, in terms of low flow versus
11 high flow, what does this photo depict to you?

12 A. You didn't send me to a picture.

13 Q. Oh, I am sorry, are you on 27?

14 A. Right.

15 Q. Bates number 459.

16 A. This would be at relatively low flow.

17 Q. And in terms of this picture, could you
18 describe -- first of all, the caption of this photo,
19 can you read the caption of this photo into the
20 record? Just the -- let's see, up until the end of
21 the second semicolon.

22 A. The end of the second, okay. "East or
23 upstream on west to east lay of reconstructed Martin
24 Branch, near the southeast corner of the Hesper

1 brothers' property, water sits in an embedded trench
2 beneath the original floor of the reconstructed
3 Martin Branch channel bottom.

4 Q. Ms. Melgin, I believe you talked earlier
5 about -- I can't remember. You termed it a
6 subchannel, I believe.

7 A. Uh-huh.

8 Q. And does this depict the subchannel you
9 were talking about?

10 A. Yes.

11 Q. And how is this -- from a hydrological
12 standpoint how is a subchannel formed?

13 A. Well, the gradient of this artificial
14 channel is fairly flat. Like I said, if the purpose
15 is to convey water as quickly as possible from point
16 A to point B, well, during high flow that would be
17 the case. During low flow the water is kind of
18 sitting there unless there is some water from gravity
19 purposes from upstream, sort of pushing it through
20 the gradient. It is pretty flat. Like I said,
21 cattails are starting to establish in the channel.

22 So when water does flow, it is trying to
23 establish a gradient. That's what streams do, is try
24 to establish an equilibrium between the amount of

1 flow and the amount of sediment that they are
2 carrying. So it is down cutting into this subchannel
3 because the gradient is flat.

4 Q. And what do you mean by a little bit?
5 Can you tell me a little bit more about what you mean
6 by down cutting?

7 A. Down cutting is just the channel sizing
8 itself. The water is sizing the channel. Any time
9 you have an adjustment in flow, the stream tries to
10 make some sort of its own adjustment, like I said,
11 depending on the flow and the sediment it is
12 carrying. So you are getting a sized, down cut
13 channel in here.

14 Q. And when you get, I am looking at this,
15 looking at this photo, to the right of the photo, I
16 see vegetation; is that right?

17 A. Right.

18 Q. Vegetation. And when you get down
19 cutting of a channel, a subchannel, generally would
20 you expect there to be vegetation at the bottom of
21 that down cut or down cut channel?

22 A. Well, it is going to cut through the
23 vegetation and start forming a bottom of sediment
24 that it is carrying. You saw cattails were

1 establishing in -- there was sediment in the bottom
2 of the channel. So it was a vegetated channel, but
3 now the water is cutting through that vegetation,
4 that grass bottom.

5 Q. And so would I be accurate in saying that
6 when this happens that you are having more like a
7 bare bottom underneath the subchannel? Is that
8 accurate?

9 A. Yeah, I would think so. I haven't seen
10 the bottom of the channel except for what we -- I
11 have never been on the actual site. From what I have
12 seen from the adjacent site, that would be true.

13 Q. Okay. Let me turn your attention to
14 Complainant's Exhibit Number 47.

15 JUDGE MORAN: That's in the brown volume.

16 THE WITNESS: Oh, Volume 3.

17 JUDGE MORAN: Yours is different than mine.
18 What was that? 47?

19 MS. PELLEGRIN: Yes, 47.

20 JUDGE MORAN: Now, hold on. Okay. I have
21 it. One second. Okay, thank you.

22 MR. SMALL: Would you, please, state that
23 exhibit again?

24 MS. PELLEGRIN: Exhibit Number 47.

1 Q. Are you there, Ms. Melgin?

2 A. Yes.

3 Q. Ms. Melgin, were you present during the
4 testimony of Mr. Daniel Hesel when he described the
5 photographs depicted in Exhibit Number 47?

6 A. Yes, I was.

7 Q. And looking at Exhibit 47, specifically
8 number 7361, what is your understanding of what this
9 depicts?

10 A. That depicts high flow in that artificial
11 channel.

12 Q. And do you know if we are looking at the
13 west lag or the north-south lag of this corridor?

14 A. I am not sure. To me it doesn't really
15 matter.

16 Q. To you it doesn't matter. And why
17 doesn't it matter?

18 A. Because you can see that it is a long
19 length of stream. It is straight. There is a lot of
20 volume in there. And that's what I was saying.
21 During high flow you are going to get a lot more flow
22 at a higher volume through this because it is
23 straight. It has got the berm on one side or the up
24 part, and it is going to flow quite a bit of water

1 downstream. There are no meanders to slow it down,
2 which is what meanders in streams do. There is no
3 flood plains, so it is trying to come out of its
4 banks, and it did come out over into the field.

5 But this is what I mean by conveying
6 water as quickly as possible from point A to point B.
7 It doesn't do it during low flow because the gradient
8 is not -- there is not enough water to move that
9 flow. But when there is high flow, it really moves.
10 Like we saw downstream and upstream, for that fact,
11 there is a lot of water because of the debris racks
12 that we saw over our head. The downstream appeared
13 in a funnel because this is a straight shot channel.
14 It is not bending and twisting like the rest of the
15 natural stream channel.

16 Q. So, Ms. Melgin, comparing the function of
17 the L-shaped channel in low flow which we saw in
18 Exhibit 27, document number 459, and these photos
19 depicted here, can you tell me about how the -- look
20 at Exhibit 27, number 459. We saw grass, saw the
21 down cutting of grass; is that correct?

22 A. Right.

23 Q. And looking at these photos in
24 Complainant's Exhibit Number 47, how, if at all,

1 would you in your experience as a hydrologist, how,
2 if at all, would you expect the grasses in the bottom
3 of this channel to affect the flow in high flow of
4 this channel?

5 A. It is not going to affect the flow very
6 much in high flow, the grassy bottom.

7 Q. And in terms of how a meandering stream
8 affects flow in high flow versus how this L-shaped
9 channel affects high versus low flow, can you compare
10 that?

11 A. Like I said, a meandering stream will
12 slow the velocity down just because it has to turn
13 around a corner. This is coming down a straight shot
14 on the L, turning 90 degrees and shooting down a
15 straight channel. So your velocity is going to be
16 higher through that point at high flow.

17 You can have meandering streams and ag
18 fields that aren't stable because the vegetation is
19 gone. It might slow down a little bit. But in a
20 riparian corridor, riparian wetlands, forested
21 wetlands, that is taking some of that flow and
22 retaining it, like I said, it will slow that flow
23 down.

24 Q. And, Ms. Melgin, when you were adjacent

1 to the site of the alleged violations were you able
2 to view the downstream portion of the L-shaped
3 channel as it entered the natural part of the Martin
4 Ranch?

5 A. Yes, I was.

6 Q. And can you tell me your observation of
7 downstream, the bottom of the L as it entered the
8 natural portion of Martin Branch, and how that would
9 relate, how that would affect the water at a time of
10 higher flow?

11 A. Well, you would have like almost a kind
12 of a nozzle effect or a tunnel effect. You would
13 increase the potential for flooding downstream
14 because you are putting a large volume of flow
15 through this straight, narrow channel. And then you
16 are making it turn into a natural channel and it
17 would start to spread out because it wouldn't be able
18 to -- the natural channel doesn't have the capacity
19 to handle the velocity of something that is coming at
20 a straight shot.

21 Q. And can you compare the width of the L to
22 the width at the mouth of the natural channel at the
23 bottom of the L?

24 A. If I remember, I think the width of this

1 channel is 15 feet and I think the width of the
2 bottom of the channel that Ward Lenz took is like
3 three to four feet. I could be wrong. I am not
4 recollecting that, but I would have to refresh my
5 memory on that.

6 Q. Let's just talk in general terms. Was
7 the width of the L larger or smaller than the width
8 of the outlet of the L to the natural Martin Branch?

9 A. Right. You could see that from the
10 video. You had a long, sort of like a trapezoidal
11 channel that was fairly wide, and the construction on
12 that video, and then there was some shots of the
13 natural channel that were narrower.

14 Q. So in general terms the L would have been
15 or is wider than the entrance, the beginning, of the
16 natural channel, bottom of the L.

17 A. Yes, the way I understand it.

18 Q. Okay. Talking about the area of the
19 grass area in the video and specifically the grass
20 area along the bank in the video and also if you can
21 refer to your observations of the grass area at the
22 site, and I am talking about the -- if you are
23 looking at the north-south leg of the L, I am talking
24 about the site of the alleged violation, west of the

1 north-south leg which is north of the east-west leg,
2 to include the site of the alleged violation. Is
3 that accurate?

4 A. I think so.

5 Q. Now, can you tell me about your
6 observations of that portion of the L, that bank
7 portion specifically of the L?

8 A. Yeah, there looked to be -- based on
9 topography it looked higher. Well, it got higher.
10 So the berm became lower as you went south because
11 the slope went up with the bank. So there was a
12 fairly high bank and they vegetated it with grasses.
13 And there looked to be from the video some scrub leaf
14 down on top of that.

15 Q. And in terms of -- first of all, in your
16 experience as a hydrologist and all the other things
17 that you have done, have you had any experience in
18 dealing with or viewing filter strips?

19 A. Yes.

20 Q. And can you tell me, based on your
21 observations of this area of the Hesper brothers' bank
22 of the L-shaped channel, that side, how well does
23 that compare to a filter strip?

24 A. Well, filter strips are usually, again,

1 are flat. You know, they are not on berms. Because
2 water has to run into the filter strips. So they are
3 usually parallel to the water body and so lateral
4 runoff from fields can go into the filter strips and
5 the filter strips can do its thing of nutrient and
6 sediment retention, and then you have better water
7 quality than you had before.

8 So they are not -- filter strips are not
9 a berm and it is not a couple feet wide. If I
10 remember correctly, Burke Davies said at least
11 66-feet wide is a filter strip that the soil and
12 water conservation district would want to see.

13 Q. And, Ms. Melgin, when did you speak with
14 Burke Davies?

15 A. On March 8, 2007.

16 Q. And where were you when you spoke to
17 Mr. Davies?

18 A. We were on Bill Heser's property, up near
19 the CPP project, the Conservation 2000 project, up at
20 the top of the water shed.

21 Q. And if you can, can you compare that area
22 that we talked about, Mr. Bill Heser's filter strip
23 area that you were with Mr. Davies on, can you
24 compare that to the banks, the Heser brothers' banks,

1 on the site?

2 A. Well, the comparison would be that the
3 Bill Hesper project was done under the supervision of
4 a government agency. So as there are specific things
5 that were required for him to fulfill the initiative
6 of the program, which was to stop rill and gully
7 erosions, he received technical assistance to
8 construct that project. So that to me says a lot.
9 The project was constructed under the U.S. EPA for
10 the appropriate reasons and it was constructed to
11 stop that erosion. That project is performing
12 functions of nutrient and sediment reduction based on
13 the grass strip.

14 Now, you could go downstream and you
15 could see that there is a grassy strip also. But
16 their property was performing those functions and
17 more before this L-shaped channel was put in. They
18 had a riparian corridor and forested wetland that was
19 providing all of the water quality functions, plus
20 habitat, plus more. They didn't need a water quality
21 improvement project on the property. They had a much
22 better system in place already.

23 They replaced it with an artificial
24 channel that may provide some function during low

1 flow but not much during high flow.

2 Q. And actually that's a good segway into my
3 next question which is do you have an understanding
4 of what the -- we just looked at a video and that was
5 post alleged violation. Do you have an understanding
6 of what this site was like before the alleged
7 violation?

8 A. From aerial photography I do.

9 Q. And do you have an understanding of what
10 the site was like prior to the alleged violation from
11 the testimony that you heard during this proceeding?

12 A. Yes, I have, from the wetlands
13 delineation, from other testimony of Bill Hesel or
14 Daniel Hesel. Yes, I have.

15 Q. And, Ms. Melgin, can you describe the
16 function of the site of the alleged violation before
17 the alleged violation took place?

18 A. Well --

19 MR. SMALL: I am going to object, Your Honor.
20 You know, it seems like that's exactly where we are
21 coming from; we are doing a bunch of piggybacking on
22 somebody else's testimony. Unless she has personal
23 knowledge of this --

24 JUDGE MORAN: She is just repeating what she

1 heard in the hearing. I agree. I sustain the
2 objection.

3 MS. PELLEGRIN: Okay. I am going to rephrase
4 my question. If we have the same objection, we will
5 re-do it. What I am trying to get at -- it is late
6 in the day, Your Honor, so I am inarticulate. I am
7 sorry.

8 Q. Ms. Melgin, you talked about the
9 functions of wetlands generally?

10 A. Yes.

11 Q. In this case there was a wetland
12 delineation performed showing that there were
13 wetlands at this specific location. Can you talk
14 about the functions of the wetlands that were -- can
15 you describe the functions of the wetlands at this
16 site prior to the alleged violation?

17 MR. SMALL: I am going to object again. Same
18 thing.

19 JUDGE MORAN: I agree. Sustained.

20 Q. Ms. Melgin, would you -- can you describe
21 the functions -- okay, Ms. Melgin, let me ask you
22 this. You were on Mr. Bill Hesser's site, correct?

23 A. Correct.

24 Q. Which was -- can you describe Mr. Bill

1 Heser's site at the top of the L-shaped channel, you
2 were present on that site; correct?

3 A. Correct.

4 Q. Can you describe the functions of that
5 area?

6 A. Okay. The stream channel area?

7 Q. And the areas in and around the stream
8 channel.

9 MR. SMALL: Your Honor, I would like -- I am
10 not trying to slow things down, but I would like them
11 to do one thing at a time, not -- what are we talking
12 about.

13 JUDGE MORAN: I agree. I have the same
14 question if my mind. So I will sustain the
15 objection.

16 What we need to do is remember -- your
17 question was fairly general. And it is late, I
18 understand. You know, despite the wish to stay
19 later, I think some of us are getting a little
20 groggy. But I think that your question could have
21 encompassed the area where -- what's the name of the
22 Heser that did the approved? What's his first name?

23 MR. SMALL: Bill.

24 JUDGE MORAN: Bill. That area was

1 reconstructed. If you are asking her if she looked
2 at -- if Mr. Hesel had at this area just north of the
3 alleged violation, if she used that area, and then
4 you lay a foundation asking her if that was in a
5 pristine state, unaltered, albeit with approval,
6 that's fine. You can ask her if she saw that.

7 I don't know whether the area that was
8 reconstructed under approval abuts -- I don't
9 remember whether it abuts to the L or not. So if it
10 abuts to the L, then you have a problem, unless you
11 can have her walk further upstream where the work was
12 not done. I forget, frankly, and I will know when I
13 study the record how this all lays out. I think
14 there was an intermission point where it was natural
15 or whether it was reconstructed and then you hit the
16 L. I forget.

17 THE WITNESS: I can go on.

18 JUDGE MORAN: Please don't volunteer.

19 MS. PELLEGRIN: Actually, I don't need her to
20 volunteer. I was going to put up a map so we can be
21 specific about where we are talking.

22 JUDGE MORAN: Sure. At 3:49 you have five
23 minutes to do it because we are going to be out of
24 here at four o'clock.

1 MS. PELLEGRIN: You know what, I am fine with
2 either stopping now or --

3 JUDGE MORAN: No, you can use up to 4:00.
4 But I want to be out of here so that I don't have the
5 chief judge telling me that he is unhappy about
6 having to pay overtime to the guards.

7 MS. PELLEGRIN: We can go off the record?

8 JUDGE MORAN: Sure. We can go off the
9 record.

10 (Whereupon there was then had an
11 off-the-record discussion.)

12 JUDGE MORAN: We will go back on the record.

13 BY MS. PELLEGRIN: Your Honor, permission for
14 Ms. Melgin to approach Exhibit D?

15 JUDGE MORAN: Yes.

16 MR. SMALL: Your Honor, may I approach, too?

17 JUDGE MORAN: Absolutely, Mr. Small. Please
18 come on up.

19 BY MS. PELLEGRIN:

20 Q. Now, Ms. Melgin, I would like for you to
21 locate the site of the L-shaped channel on Exhibit D
22 just for the record.

23 A. It is right here, this L-shape.

24 Q. And you are pointing to -- there is so

1 many markings on this map.

2 A. Yeah, it's hard. Well, this is circled.
3 So whatever --

4 Q. DJH1. Now, what I would like for you to
5 do is move to the right of the top of the
6 northwest -- north-south leg of the L-shaped channel.

7 A. The top of it.

8 Q. Yeah, move to the right. And there is
9 a -- can you describe the area as depicted on this
10 map, just the coloration of the area on this map?

11 A. The green strip here?

12 Q. Correct?

13 JUDGE MORAN: Before she does, is she just
14 describing this exhibit or has she been to this
15 location?

16 THE WITNESS: Oh, I have been.

17 MS. PELLEGRIN: I am getting there, Your
18 Honor. Yes, the answer is yes, and I am going to ask
19 her that as well.

20 JUDGE MORAN: So she knows the answer. You
21 have already told her the answer is yes.

22 MS. PELLEGRIN: She said yes.

23 Q. Ms. Melgin, the area that I am looking at
24 is a silver line going through the green area and

1 there is an arrow GC Photo 8 relating to that area?

2 A. Right.

3 Q. Ms. Melgin, have you personally been to
4 this area on this map?

5 A. Yes.

6 Q. And what is this area generally?

7 A. This is a natural stream area with the
8 forested riparian corridor, just upstream of the
9 site.

10 Q. And now I would like for you to describe
11 the -- you have been to that area. I would like you
12 to describe the functions of that area.

13 A. This is the area that we talked about it
14 being channelized decades go. So it looks pretty
15 straight. It looks straight on the map. But the
16 channel within this is starting to establish its
17 meandering path, the S-shaped curves. So it is
18 starting to -- there is enough forest there. So it
19 does that by its pattern of deposition and erosion.

20 So it is starting to establish its
21 natural meanders. That's where we saw some permanent
22 pools and the fish in there and Greg caught a frog.

23 Q. Okay, Ms. Melgin, you may be seated.

24 Ms. Melgin, is there something you wanted

1 to add to your description?

2 MR. SMALL: I am going to object. There is
3 no question. I mean, she can't just say is there
4 anything you want to add.

5 JUDGE MORAN: She said to add to her
6 description.

7 A. I wanted to point out where the CPP
8 project was in relation to the L.

9 MR. SMALL: I am going to object then because
10 that's a whole different project.

11 JUDGE MORAN: That's right. But now counsel
12 can play the game and say I would like you to
13 identify the area where the project was completed,
14 and I would have to allow her to do that. I am not
15 sure why we need to do it, but that's the way it
16 would play out, Mr. Small.

17 MS. PELLEGRIN: I am actually going to
18 suggest that at five minutes til we leave. I think
19 this is a natural breaking point in her testimony, if
20 we would like to adjourn for today.

21 JUDGE MORAN: Yes, it is 3:55. So we will
22 call the proceeding to a close today as of now. We
23 will go off the record.

24 (Whereupon the hearing in this

1 matter was continued until May
2 3, 2007 at 9:00 a.m. in Carlyle,
3 Illinois.)
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24