

RECEIVED  
U.S. E.P.A.

2006 JUL 11 AM 8:51

ENVIR. APPEALS BOARD

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

BEFORE THE ENVIRONMENTAL APPEALS BOARD  
UNITED STATES ENVIRONMENTAL PROTECTION AGENCY  
WASHINGTON, DC

ORIGINAL

-----x

IN THE MATTER OF: :  
HECLA MINING COMPANY, : NPDES Appeal Nos.  
LUCKY FRIDAY MINE : 03-10 and 06-05  
NPDES Permit No. Id-000017-5 :

-----x

EPA East Building  
1201 Constitution Ave., NW  
Room 1152  
Washington, DC  
Thursday, July 13, 2006  
10:00 a.m.

Meeting of the Environmental Appeals Board,  
was held on Thursday, July 13, 2006, at 1201  
Constitution Ave., NW, Rm. 1152, commencing at 10:00  
a.m.

JUDGES: SCOTT C. FULTON  
EDWARD E. REICH  
KATHIE A. STEIN

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

P R O C E E D I N G S

JUDGE FULTON: Good morning.

The argument this morning will proceed in accordance with the Board's order dated May 25th, 2006. As specified in that order, each side will have 30 minutes for argument. Hecla Mining Company is the appellant here and may reserve five minutes for rebuttal.

We look forward very much to hearing the parties' perspectives on the issues presented in the case. And while we will no doubt benefit from your prepared remarks, you understand the primary value of oral argument is to help us understand the issues that are presented. We will likely have questions and very much appreciate your responsiveness to the questions that we have.

Please assume that we have read the briefs and the various papers that have been submitted to the Board. In keeping with that we'll make the best use of our time. And if you could focus your energies on those points that you think are particularly important to take away from this

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 morning's oral argument.

2 Let's begin by asking counsel to identify  
3 themselves for the record, starting with counsel for  
4 Hecla Mining Company.

5 MR. BEATON: Your Honor, my name is Kevin  
6 Beaton, here on behalf of Hecla Mining Company.

7 JUDGE FULTON: Mr. Beaton, will anyone  
8 else be joining you in presenting the argument?

9 MR. BEATON: No, your Honor.

10 JUDGE FULTON: Thank you very much.

11 And for EPA Region 10.

12 MR. ALLNUTT: Your Honor, my name is David  
13 Allnutt, Assistant Regional Counsel in EPA Region 10  
14 in Seattle.

15 With me at the counsel's table is Steve  
16 Sweeney from the Office of General Counsel.

17 JUDGE FULTON: Will Mr. Sweeney  
18 participate in the argument?

19 MR. ALLNUTT: I don't anticipate that he  
20 will.

21 JUDGE FULTON: Thank you very much.

22 Mr. Beaton, you may proceed.

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1                   If you could start by letting us know  
2 whether you intend to reserve time for rebuttal.

3                   MR. BEATON: Thank you.

4                   May it please the Board, my name is Kevin  
5 Beaton, here on behalf of Hecla Mining Company.

6                   For the record, I do intend to reserve  
7 five minutes for rebuttal.

8                   If I may just give a little background, I  
9 think it's important to some of the issues. I  
10 understand the Board has read the briefs and has  
11 thoroughly reviewed all the material. But the Lucky  
12 Friday Mine is an underground lead, silver and zinc  
13 mine up in north Idaho. It's one of the last  
14 remaining underground mines, such a mine in the  
15 United States. It's kind of a lengthy unique history  
16 as to the mine itself and to the environment that it  
17 discharges into.

18                   The Lucky Friday Mine has been subject to  
19 NPDES permits since the 1970s and has been  
20 discharging pollutants into the South Fork of the  
21 Coeur d'Alene River for some 30 years. In that  
22 stretch of the river from all accounts it's Hecla's

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 position that the aquatic environment is fully  
2 protected. Downriver, about eight miles downriver  
3 from the Lucky Friday discharge begins the Superfund  
4 site, and about eight miles down, as I indicated, the  
5 water quality of the river changes dramatically and  
6 is significantly above aquatic goals.

7 From all accounts it appears like it may  
8 be decades, if not hundreds of years, before that  
9 portion of the river will ever achieve the right  
10 quality criteria.

11 The EPA has been involved in the Superfund  
12 aspect of the lower portion of the river for some 25  
13 years. There's been hundreds of studies, hundreds of  
14 remediation plans put in place. So it is one of the  
15 more studied rivers in the United States, I would  
16 submit.

17 During the course of the Hecla permit  
18 process from the 1970s up until now a variety of  
19 things happened, one of which was the Superfund. The  
20 second initiative was when EPA came out with the  
21 national toxics rule in the mid-'90s, Hecla became  
22 concerned with the Lucky Friday Mine that the

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 criteria that were going to be established for it  
2 were going to immediately cause the river in the area  
3 that the mine discharges to be out of compliance. So  
4 they entered into an agreement with the EPA and the  
5 State of Idaho to establish some specific criteria in  
6 recognition that the aquatic community was fully  
7 protected, and at levels of management of the whole  
8 river. That went on for some ten or twelve years.

9           During the process also the EPA came in  
10 and redesignated the other portion of the river for  
11 aquatic life use, and that had previously not been  
12 so. In that process EPA recognized that there would  
13 be substantial -- potentially substantial costs  
14 associated with that designation because now point  
15 sources would be required to comply with more  
16 stringent metals limits even though the river wasn't  
17 close to being in compliance with those limits.

18           During this whole process there was a  
19 recognition from the agencies that this river system  
20 was not going to be in compliance for a long time,  
21 point sources were a very minimal component of the  
22 problem, and that some economic consideration should

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 be given to the point sources when EPA takes permit  
2 action.

3 I would submit to this Board that the EPA,  
4 the Region did not take those issues into  
5 consideration on the three remaining issues that are  
6 before the Board. On the first issue, Hecla  
7 requested an adjustment to the pH ceiling in the  
8 permit of 9.0. The reason for that was that Hecla is  
9 now required to comply with water quality criteria,  
10 the site specific criteria that the EPA ended up  
11 approving in 2003. And the most economically  
12 feasible and achievable type treatment to meet those  
13 dissolved metal limits is through some sort of  
14 sedimentation and neutralization process.

15 JUDGE FULTON: May I ask you this  
16 question: This issue, the pH issue, I gather, and  
17 this question of whether the metals limit should be a  
18 dissolved metals limit or a total recoverable metals  
19 limit I gather are interconnected issues. Is that  
20 correct?

21 If you weren't required to control  
22 according to a total recoverable metals limit you

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 might not be under such pressures on the pH front.  
2 Is it appropriate to look at these things as  
3 connected in that way?

4 MR. BEATON: Your Honor, I think there is  
5 probably some connection with respect to that. But I  
6 think from all accounts, since it is clear no matter  
7 how you measure it that for lead, zinc and cadmium  
8 that the facility is going to need to comply with  
9 basically in-stream criteria. Whether that's  
10 measured as dissolved or whether it's measured as  
11 total recoverable metals, there is going to be some  
12 treatment required. The most feasible treatment is  
13 neutralization and sedimentation.

14 So I think they are related in some  
15 fashion. But I think at the end of the day no matter  
16 how the limits are set treatment will be required,  
17 and it will be the type of treatment that Hecla  
18 maintains a variance from the technology-based  
19 limits, specifically in Part 440 of the Federal  
20 Regulations.

21 JUDGE REICH: If I remember, I think the  
22 Region's response to your brief in the most current

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550



1 appeal indicated as to the pH limit it really becomes  
2 an issue I think as of September 2008 because you  
3 would not have a problem with the interim limits; you  
4 would only have a problem with the final limits.

5 Is that the right time frame in which this  
6 issue presents a real role problem?

7 MR. BEATON: Your Honor, yes, I believe --  
8 not to be argumentative about it -- but I think the  
9 real role problem is now. That is simply because,  
10 one, the Region claimed -- although Hecla maintains  
11 it's not a standard under Part 440 -- that Hecla  
12 needs to make some sort of commitment that it was  
13 going to implement that type of treatment. There is  
14 no -- not only are the regulations silent about that  
15 issue, there is no process by which Hecla is supposed  
16 to make such a commitment.

17 What we might be facing is that Hecla  
18 implements this treatment regime in 2008. It works,  
19 but then it's too late to modify the permit. This is  
20 not just a theoretical issue. This permit has been  
21 on administrative extension for 30 years. If we  
22 don't get this fixed now I would submit that Hecla

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 will be faced with the technology based effluent  
2 limitation well beyond 2008.

3 JUDGE REICH: It seems to me that when I  
4 read your briefs, on the one hand you keep coming  
5 back to statements that approaching the problem with  
6 neutralization and sedimentation is the most  
7 economically viable treatment. You try to suggest  
8 that that's a likely scenario. And yet you  
9 deliberately don't want to make a commitment to say  
10 yes, in fact that's what we're going to do.

11 So to the extent that the regulatory  
12 provision we're talking about is based on a premise  
13 of using neutralization and sedimentation technology,  
14 what you're really asking the Region to do is you are  
15 asking a hypothetical that may or may not ever come  
16 to pass.

17 Why isn't it reasonable for the Region to  
18 say, 'We don't want to deal with all these  
19 hypothetical contingencies if we know in fact that  
20 that situation is going to present itself, and we'll  
21 use the data and work it through the requirements of  
22 the 440.131 and we'll see where that takes us.

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 MR. BEATON: Thank you, your Honor.

2 I do believe it's unreasonable simply  
3 because the Region is on record, not only when they  
4 denied Hecla's variance request but in the response  
5 to the comments themselves, one, treatment is  
6 required, is going to be required, and, two, that  
7 neutralization and sedimentation appears to be the  
8 only viable treatment. There's others that are more  
9 expensive options.

10 JUDGE REICH: Yet you're not willing to  
11 say you're going to do it. It seems like the only  
12 viable treatment, yet you seem -- every time the  
13 Region says, 'If they only said this we could move  
14 this thing forward,' you come back to language that  
15 suggests it's maybe the most economically viable but  
16 short of saying, 'and in fact that's what we intend  
17 to do.' And I don't understand the resistance.

18 MR. BEATON: Your Honor, I believe that  
19 Hecla is on record in the comment period saying that  
20 that is the treatment that will be employed. Yet  
21 there needs to be more work done on the water  
22 recycling component of it before that is employed.

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 I do understand the issue, your Honor.  
2 Hecla's rather modest request here is that it has to  
3 happen, but just simply a qualified condition in the  
4 permit that if Hecla chose to implement sedimentation  
5 and neutralization that an adjustment of pH, which is  
6 appropriate -- the State has already determined that  
7 a pH above 9.0 will be protective of water quality in  
8 the area.

9 JUDGE REICH: Let me ask one last question  
10 on that point.

11 In your brief supporting your petition you  
12 deal with the fact that the Region could have  
13 addressed the conditional permit. And you suggested  
14 sample language. Part of it says an upper pH limit  
15 of 10.0 if you allow the neutralization and  
16 sedimentation technology is applied to the effluent.

17 If I look back under 440.131(b), what it  
18 says to me is not only is the a requirement to use  
19 that, but there is in fact a requirement that the  
20 agency conclude that it's an inability to comply with  
21 the pH range of 6 to 9 using that technology.

22 I assume you're not suggesting that the

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 agency has to determine not only that you're going to  
2 use that technology but that that would in fact  
3 preclude meeting a limit of 9?

4 MR. BEATON: I hope I restate it  
5 correctly, your Honor.

6 I think Hecla's position is that if  
7 sedimentation and neutralization is utilized that the  
8 pH of the wastewater treated has got to be higher  
9 than 9.

10 JUDGE REICH: And you've already submitted  
11 enough site-specific data that there's reason to draw  
12 that conclusion?

13 MR. BEATON: Yes, that is our position.

14 There's obvious ways to readjust the pH  
15 after the treatment, which doesn't make any sense to  
16 Hecla Mining. Basically we could have drums of acid  
17 in the south fork in the Coeur d'Alene River and  
18 treat the higher pH wastewater with acid before it's  
19 discharged. That's not impossible to do. It just  
20 doesn't seem to make any sense. And I've submitted  
21 that the regulation never attempted to address the  
22 issue of compliance with dissolved water quality

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 criteria with the Part 440.131 issue.

2 JUDGE FULTON: Mr. Beaton, your position  
3 then is that Hecla is committed to a neutralization  
4 regime?

5 MR. BEATON: That's correct.

6 JUDGE FULTON: And that's reflected in the  
7 record to the point where it could eventually be  
8 represented in the permit?

9 MR. BEATON: I believe so. I think  
10 typically the Region does not dictate specific types  
11 of treatment in the permit.

12 But it is clear, from not only EPA's  
13 studies but Hecla's as well, that is really the only  
14 feasible treatment option there is. So I think -- I  
15 believe that the commitment has been made, with the  
16 qualifier that things might change. And because of  
17 this total recoverable metal issue we might have to  
18 treat even more than neutralization and  
19 sedimentation.

20 What I would suggest is that there's  
21 nothing in the record to suggest that if we didn't  
22 implement neutralization and sedimentation that the

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 discharge would ever be above 9.0. There's no  
2 suggestion that there's some kind of ulterior  
3 treatment thing going on here where Hecla wouldn't  
4 really neutralize where the pH would be above 9.  
5 That's why Hecla takes issue with this process.

6 The only reason why the pH would be above  
7 9 is if it committed neutralization and  
8 sedimentation. There's no other reason why it would  
9 be above 9.

10 JUDGE FULTON: I was trying to figure out  
11 whether you felt as though you needed to keep your  
12 options open on the neutralization and sedimentation  
13 front until the issue of the dissolved versus total  
14 recoverable metals was resolved.

15 MR. BEATON: That may be a fair  
16 characterization, your Honor.

17 There's a two-step treatment process  
18 envisioned in the program. The Region takes the  
19 position they're not sure if the treatment is even  
20 required, which we take exception to. We can't  
21 believe they have taken that position since there is  
22 interim limits set in the permits. The data we

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 submitted to them indicates over the last five years,  
2 we would have had 200-some violations with what the  
3 final permit is going to be.

4 So I think it's clear that it's a two-step  
5 process. There's the water recycling and then  
6 there's an evaluation of sedimentation and  
7 neutralization against the permit models. We believe  
8 that there may be some additional step required that  
9 would be a combination of sedimentation and  
10 neutralization, and perhaps something else. And I  
11 don't believe that would preclude the Region from  
12 including the kind of condition that I would suggest  
13 in the permit.

14 If I might move on to the next issue, and  
15 that is whether the Region erred in requiring full  
16 effluent toxicity monitoring, it's a relatively  
17 straightforward issue.

18 Hecla recognizes the Region and the EPA's  
19 broad information-gathering authority under the Clean  
20 Water Act. Nevertheless the Idaho Water Quality  
21 Standards from which the Region proposed full  
22 effluent toxicity is basically used to determine

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550



1 whether the effluent is affecting water quality. The  
2 standards upon which the permits are set and the  
3 conditions are established, and which the Region  
4 approved, sets up an alternative approach. You can  
5 assess narrow compliance with narrow toxic standards  
6 or synergistic effects of toxics by either doing in-  
7 stream biomonitoring or undertaking long-term  
8 toxicity data.

9           The State of Idaho required in-stream  
10 biomonitoring. We believe that is all that is  
11 required under state law and under the EPA  
12 regulations. Certainly, again, we believe this is  
13 just piling on additional requirements.

14           We question the value of undertaking the  
15 whole effluent toxicity data, one, because the  
16 quality of the effluent is going to obviously change;  
17 there's going to be less metal discharged over the  
18 course of the permit. Two, we've already done it.  
19 There's been low effluent toxicity tests taken over  
20 the course of the permit over the last 25-30 years.  
21 The Region concluded those were inconclusive. That's  
22 not surprising. Then we'll get to the end of the

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 permit and they'll say that monitoring is  
2 inconclusive.

3 We believe that the best way to determine  
4 whether we're complying with the toxicity  
5 prohibitions and combinations in the Clean Water Act  
6 is actually the in-stream measuring what the effect  
7 is on the aquatic environment.

8 JUDGE FULTON: What's your understanding  
9 of the principal differences between whole effluent  
10 toxicity testing and bioassessment monitoring? What  
11 are the primary differences in the data that these  
12 approaches generate?

13 MR. BEATON: I think from a very  
14 superficial standpoint, obviously people have greater  
15 technical expertise than I on this particular issue.  
16 But I think that what the Act is intended to  
17 accomplish is to protect the critters in the creek.  
18 The best way to determine that is to go out and test  
19 what's happening in the creek upstream of the  
20 discharge and downstream of the discharge, and within  
21 the mixed zone.

22 The whole effluent toxicity test is more

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 of a laboratory theoretical test. If you have an  
2 effect on these two particular species -- again, my  
3 Latin is not very good; I don't recall the two  
4 species that are required to be tested. It used to  
5 be algae too, but that was taken out by the  
6 Department in the permit -- that there is some impact  
7 to those species and you've got to go study some more  
8 and figure out what's going on.

9 JUDGE FULTON: These are certain indicator  
10 species?

11 MR. BEATON: That would be the EPA  
12 standpoint.

13 Hecla believes that the best indicator of  
14 the impact on the environment is actually measuring  
15 the species in the environment we're trying to  
16 protect.

17 JUDGE FULTON: Which is what bioassessment  
18 monitoring is?

19 MR. BEATON: That's correct. Some 10 or  
20 12 years of the development of site-specific studies  
21 and site-specific criteria would affirm that  
22 principle that the national levels that are

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 established in some part through laboratory tests  
2 simply don't apply to the South Fork of the Coeur  
3 d'Alene River.

4 JUDGE STEIN: Why did the EPA prefer the  
5 wet testing to fishing in the creek? I understand  
6 EPA had questions about that.

7 MR. BEATON: I think I might just say we  
8 have another idea of what they believe is the wisdom  
9 of doing so. I would imagine they would  
10 say something like that it gives a more statistically  
11 verifiable indicator for them, for their program to  
12 say 'we've got 20 discharges and this is the trend we  
13 see in these kinds of bugs and these' -- and  
14 whatever the fish that's involved, I suppose. I've  
15 never seen that, but I suppose that would be a  
16 benefit to the Region.

17 JUDGE STEIN: Is it a conundrum for there  
18 to be both bioassay testing and wet testing at the  
19 same time?

20 MR. BEATON: I've seen such conditions in  
21 some permits. Others, for example, you know, in the  
22 City of Mullin, which is about six miles down the

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 river, doesn't have wet testing or biomonitoring and  
2 testing. It has a variance from the water quality  
3 criteria.

4 But I think it, stated just very crassly,  
5 is that the Region imposes these requirements on  
6 larger facilities that can afford them.

7 JUDGE FULTON: Do you agree that the  
8 regulatory framework that EPA operates under requires  
9 something to be permanent with respect to level of  
10 toxicity? There needs to be a determination made  
11 whether it's necessary or not, right?

12 MR. BEATON: I would submit the rules say  
13 -- they've got to say -- they've got to set whole  
14 effluent toxicity limits unless they make a finding  
15 that permit conditions are protective of water  
16 quality, which they did.

17 I think the whole effluent toxicity  
18 information gathering process is just that. It's for  
19 them to confirm their original findings and that  
20 water quality standards will be protected. That's  
21 the methodology they employed. And I understand that  
22 it's in a lot of permits. But there's an alternative

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 method, and it was employed here.

2 JUDGE FULTON: So your view is that the  
3 necessary determination has effectively already been  
4 made via the Region's conclusion that the permit will  
5 be protective of water quality standards. It's not a  
6 separate determination associated with the level of  
7 toxicity.

8 MR. BEATON: I'm not aware of a separate  
9 qualifier condition in which the Region has to say  
10 whether the whole effluent toxicity monitoring is  
11 required or not. I don't think the regulatory  
12 framework speaks to that issue or speaks to the  
13 limits. It doesn't speak to a finding as to whether  
14 wet testing is necessary or not.

15 JUDGE FULTON: But there needs to be a  
16 finding that low-level toxicity limits have been  
17 implicit in the issuance of the final permit and the  
18 conclusion that that permit does have final water  
19 quality standards is this decision as well. You  
20 don't need something extra.

21 MR. BEATON: That would be my contention,  
22 your Honor, in addition to the State suggesting

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 biomonitoring.

2 I only have a minute or so left on the  
3 whole recoverable metals issue, but I think this is a  
4 relatively technical issue. There's a legal argument  
5 to suggest that since the criteria for site specific  
6 and water quality standards can be resolved, EPA went  
7 through litigation on that on national toxics at  
8 great length. The initiative recognizes that  
9 dissolved is really what you're trying to get at.

10 I would submit under 125, Part 125 --  
11 sorry, Part 122.45 -- that the condition under which  
12 those recoverable metals should not be sent isn't  
13 plain. The Region disagrees with us there.

14 JUDGE REICH: That was part of the  
15 argument, right?

16 MR. BEATON: No, it's not.

17 JUDGE REICH: I mean in the sense that if  
18 we wind up agreeing with the Region, contrary to your  
19 position on 122.45(c)(1), it is not applicable here,  
20 there is no other basis on which the Region would  
21 have discretion to grant relief in your case?

22 MR. BEATON: No, your Honor. I believe

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 just the contrary. I believe the Region does have  
2 discretion to grant it here.

3 JUDGE REICH: Even if 122.45(c)(1) were  
4 not satisfied?

5 MR. BEATON: That is correct.

6 JUDGE REICH: You think it has a basis.

7 MR. BEATON: Yes, your Honor.

8 JUDGE REICH: And the basis is what?

9 MR. BEATON: The basis factually is that  
10 Hecla has been discharging at dissolved levels for 30  
11 years, and there's still no demonstrable impact to  
12 the receiving water. What they're trying  
13 to get at is a resolubilization of total metals. And  
14 you don't pick up when you're measuring dissolved.  
15 There is nothing in the record to suggest that that  
16 could possibly even happen, particularly when we're  
17 talking about a situation in which the discharge is  
18 actually happening. In any stream on the quality  
19 criteria at the end of the pipe, there's nothing in  
20 the record to suggest that you're going to get some  
21 sort of resolubilization.

22 We believe there's enough information.

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550



1 Hecla submitted chemical data indicating that the ore  
2 bodies that are associated with this mining and  
3 building operation are very insoluble, particularly  
4 lead and zinc.

5 JUDGE REICH: Let me make sure I  
6 understand. This is something that I picked up from  
7 the briefs. And excuse me for reducing it to kind of  
8 a level of simplicity I can deal with.

9 But in terms of the legal framework,  
10 basically we have 122.45(c) that says it should be a  
11 total recoverable metal unless you meet one of the  
12 exceptions. Are you saying that not only do you meet  
13 one of the exceptions but that even if you didn't  
14 that 122.45(c) wouldn't be a prohibition in this  
15 case?

16 MR. BEATON: Yes.

17 JUDGE REICH: And you stated that in the  
18 briefs?

19 MR. BEATON: Yes.

20 JUDGE REICH: Okay.

21 MR. BEATON: If I may, I'd like to reserve  
22 whatever time I have left.

1 JUDGE REICH: One further clarifying  
2 question on a different issue.

3 In the pH discussion you talk about, as  
4 one of the factors on which you think the Region has  
5 at least a discretion by not going above 9.0, the  
6 fact that in what we call the revised certification -  
7 - I recognize you take some exception to  
8 characterizing it that way -- there is now a missing  
9 element of 25 percent above 9.0.

10 You are not suggesting, are you, though,  
11 that the Region has the ability to go above 9.0 if  
12 440.131 and (d) (1) is not satisfied? I mean you'd  
13 still have to go back to the regulatory standard and  
14 meet that regulatory standard irrespective of what  
15 the State did with that certification?

16 MR. BEATON: Hecla does not take that  
17 position.

18 The certification would rule on the issue  
19 absent a variance under the variance process under  
20 Part 440.

21 JUDGE REICH: Thank you.

22 JUDGE FULTON: Thank you.

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1                   Because of our questions we went over your  
2 five minutes for rebuttal.

3                   Mr. Allnutt.

4                   MR. ALLNUTT: Good morning.

5                   May it please the Board, my name is David  
6 Allnutt, Assistant Regional Counsel for EPA Region 10  
7 in Seattle.

8                   Your Honor, since 1973 Hecla has operated  
9 the Lucky Friday Mine subject to the NPDES permit  
10 limits for metals that predate the national effluent  
11 limitations guidelines for ore mining, and that  
12 predate state water quality standards that protected  
13 aquatic life. The permits on appeal today represent  
14 the first complete update to Hecla's permits in more  
15 than 30 years.

16                   In August 2003, after years of public  
17 review and comment, including the publication of two  
18 draft permits, accompanying fact sheets, public  
19 hearings, and extensive consultation with the State,  
20 the Region issued an NPDES permit that was the  
21 subject of the first technical appeal under  
22 consideration today.

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1                   When portions of this permit were remanded  
2                   in 2004, the Region engaged in another process of  
3                   public review and State consultation which culminated  
4                   in the issuance of a modified Lucky Friday permit in  
5                   December of last year. This second 2005 modified  
6                   permit is the subject of our second appeal for  
7                   consideration.

8                   Throughout this process the Region's goals  
9                   have been straightforward: To place the Lucky Friday  
10                  mine under a permit that is consistent with  
11                  technology-based effluent guidelines effective  
12                  nationally, and that is protective of Idaho's water  
13                  quality standards. Today only three issues stand  
14                  between this goal and reality.

15                  The first question is how the limits  
16                  should be expressed in the final permit, that is the  
17                  limits for metals. Hecla claims they should be  
18                  expressed as dissolved metals, and the Region claims  
19                  that the NPDES regulations and EPA guidance  
20                  interpreting those regulations compels it to express  
21                  the metals limitations in total recoverable terms.

22                  The second question is whether Hecla has

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 submitted sufficient information to the Region to  
2 entitle it to an exception to the rule that NPDES  
3 permits for mines must impose an upper pH limit of 9.  
4 The Region has stated repeatedly that Hecla must  
5 submit site-specific information about the treatment  
6 technology it intends to employ before it can take  
7 advantage of this exception. Hecla has failed to do  
8 so.

9 Finally, the third question is whether the  
10 Region can require Hecla to conduct full effluent  
11 toxicity or wet mining without first proving that the  
12 Lucky Friday mine is discharging effluent in toxic  
13 amounts. The Region contends that such monitoring is  
14 a reasonable and appropriate exercise of its broad  
15 information-gathering authority under the Clean Water  
16 Act.

17 I would like now to discuss each of these  
18 three issues in turn, starting with the total  
19 recoverable metals limit.

20 JUDGE FULTON: Maybe we can find our way  
21 through a couple of things that concern us about this  
22 issue.

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1                   Hearing the argument that Mr. Beaton just  
2 offered, it sounds as though there are basically two  
3 arguments being made. One is that this exception is  
4 applicable because of the water quality criteria  
5 issue and the use of effluent limitations. Somehow  
6 there's a way to end that exception on behalf of the  
7 dissolved metals standards and total recoverable  
8 metals.

9                   But the other argument appears to be sort  
10 of in a way an absurd results argument: that given  
11 the site specific characteristics at play here, and  
12 setting aside for the moment whether we would rather  
13 define a hook for such an exception under the legal  
14 framework. But the proposition is that if you look  
15 at site specific considerations it makes no sense to  
16 frame a limitation around total recoverable metals as  
17 opposed to dissolved metals.

18                   My question for you is on the second  
19 point. First of all, do you agree with the  
20 characterization regarding the site specific  
21 characteristics at work here? Secondly, if you did  
22 agree -- or whether or not you agree, doesn't the

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 Agency have any latitude under the regulatory  
2 framework to take that into account in settling for  
3 something other than total recoverable metal limits?

4 JUDGE REICH: And a third question to ask  
5 is: Do you in fact think that is an argument has  
6 been made in the briefs that have been filed on  
7 appeal?

8 MR. ALLNUTT: The third one first. The  
9 answer to that is no.

10 The first one was whether the Region  
11 agrees that there's something unique about Hecla's  
12 situation, and it's the site specific nature of the  
13 limits that would lend itself to excepting from the  
14 general rule. I would answer that question no. I  
15 think the limits in the permit are very similar to  
16 water quality based effluent limits in any mining  
17 permit or other permit for that matter. And under  
18 the general rule expressed in 122.45(c), that  
19 requires all permit conditions, all permit effluent  
20 basis standards or prohibitions for metals to be  
21 expressed in terms of total recoverable metals, that  
22 applies to Hecla just as it applies to anyone else.

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 I think that Hecla's challenge to that  
2 general rule in this case is belied by EPA's  
3 longstanding policy of recommending the State water  
4 quality criteria for metals be expressed in dissolved  
5 terms while also providing translators that ensure  
6 the effluent limits in permits comply with 122.45(c)  
7 or words expressed in totally comparable terms. This  
8 is a longstanding practice of EPA.

9 Some background on the guidance  
10 surrounding this may be useful.

11 As I mentioned, EPA has along recognized  
12 dissolved fraction of a metal better represents the  
13 biologically harmful portion of the metal than does  
14 the total recoverable fraction. This is because the  
15 primary mechanism for toxicity envisions uptake  
16 through the gills, and this process can only occur if  
17 the metals are dissolved in water.

18 In 1993 in recognition of this fact EPA  
19 issued guidance recommending that State water quality  
20 criteria for aquatic life be expressed in terms of  
21 dissolved metals to best capture the amount of metal  
22 that should not be exceeded in receiving waters.

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550



1 This guidance has been widely applied across the  
2 country. So as a result you have many states that  
3 have water quality criteria that are expressed in  
4 dissolved terms.

5 However EPA has also recognized that  
6 achieving these dissolved metals criteria in the  
7 receiving water requires limiting the total  
8 recoverable metals entering the water. This is  
9 because the chemical differences between effluent  
10 discharges and receiving water quality often result  
11 in an increase in the portion of the metals that are  
12 dissolved in the receiving water.

13 JUDGE FULTON: Where do you have site  
14 specific information that enables you to make that  
15 determination? You know what the water chemistry is  
16 of the receiving water and you can conclude that  
17 there isn't going to be a differential impact as  
18 between the dissolved standard and the whole  
19 recoverable metal standards.

20 MR. ALLNUTT: First of all, I would submit  
21 that finding has not been made. It's not in the  
22 record supporting the permit in this case.

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1                   Secondly, it's not an exception under  
2                   122.45(c).

3                   JUDGE FULTON: If it's not an exception,  
4                   is it appropriate for us to look at that kind of  
5                   question as essentially a challenge to the Agency  
6                   regulation and establish that requirement and  
7                   exceptions thereto which can't be undertaken at this  
8                   time and in this forum?

9                   MR. ALLNUTT: That would be my view, yes.

10                   Let me give you an example of where this  
11                   guidance comes into play.

12                   If you have a very basic or alkaline  
13                   effluent then the pH is high and it mixes with the  
14                   more acidic receiving water. In other words, with a  
15                   lower pH the metal can instantly dissolve. Limiting  
16                   only dissolved metals would not be effective in  
17                   achieving compliance with water quality standards.  
18                   It's the simple scientific truth that has led EPA to  
19                   require that metals permit limits be expressed in  
20                   total aquatic terms.

21                   In 1996 EPA issued guidance to facilitate  
22                   transmitting the dissolved metals water quality

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 criteria for total recoverable limits. This metals  
2 translated guidance is found in Exhibit 15 to the  
3 Region's briefs. And it actually cites 122.45(c) for  
4 the proposition that permit limits must in most  
5 instances be expressed in total recoverable terms.

6 JUDGE REICH: Can I ask -- I've been  
7 holding off on this specific point and it's really  
8 more out of curiosity than anything else.

9 When I read your response to the position  
10 -- I think that's where it was -- you cited to me an  
11 argument based upon -- this really has come down, as  
12 Mr. Beaton indicated, to what in fact is an  
13 applicable effluent standard, although there is  
14 secondary ordering as well. For clarification, what  
15 that term meant, you cited 1365 of 33 USC, which is  
16 the definition in the citizens review provision. I  
17 think they responded and said this is a different  
18 animal and they made an attempt to distinguish. You,  
19 however, were responding to it. Yet I believe  
20 there's kind of a general definition for effluent  
21 limitation in 1362.

22 Is there any particular reason why you

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 didn't focus on the definition in 1362 as the one we  
2 should be looking at as opposed to suggesting we  
3 should be looking at the definition in 1365?

4 MR. ALLNUTT: As to both of those I would  
5 suggest that those are just sources of interpretation  
6 of the term. They're not necessarily binding on how  
7 the term is defined in the regulations.

8 JUDGE REICH: The entire chapter on one of  
9 the definitions is -- I'm surprised that you cited  
10 the narrower one which isn't actually directly on  
11 point and not a broader one.

12 MR. ALLNUTT: The narrow one is the exact  
13 phrase that's used in the regulation. It's a  
14 standard limitation which has a slightly different  
15 definition than effluent limitation.

16 I would submit, though, that both of those  
17 support the Region's position that what we're talking  
18 about here is much different than water quality  
19 criteria, if you focus on the definition of effluent  
20 standard limitation in Section 505.

21 JUDGE REICH: So your argument is  
22 basically because 1365 has the term 'standard' or

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 'limitation' rather than 'effluent limitation,'  
2 that's fine.

3 MR. ALLNUTT: That's right. I think both  
4 of those are informed by a plain reading of the  
5 phrase, 'effluent standard limitation,' which appears  
6 in the regulations. I think a plain reading of that  
7 term makes clear that a water quality criterion is  
8 not an effluent standard limitation.

9 Water quality criteria are elements of  
10 State water quality standards that represent a level  
11 of receiving water quality necessary to maintain a  
12 particular use. But they do not standing alone  
13 impose limitations or restrictions on the discharge  
14 of effluent from a point source.

15 JUDGE FULTON: I think we understand your  
16 argument on this point. We're talking a little bit  
17 about the pH issue.

18 But we'd be interested in your response to  
19 Mr. Beaton's suggestion that everything that the  
20 Region needed in order to write into the permit  
21 something about neutralization was present, and the  
22 failure to have sort of nailed down this issue in the

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 permit leaves them subject to a potentially time-  
2 intensive and unpredictable permit modification  
3 process.

4 MR. ALLNUTT: I would disagree with the  
5 characterization that everything we needed to find  
6 that that exception applied is in the record. If it  
7 is in the record I'm curious about where it is.

8 There are a number of places in the record  
9 that the Region cites to in its brief where Hecla  
10 sent letters to the Region where it says it doesn't  
11 know what treatable technology it is required to use.  
12 In fact, the most recent State certification in 2004  
13 that was agreed to with Hecla similarly says  
14 throughout that it's unclear what treatment  
15 technology, if any, would be required to meet this  
16 metals test.

17 There is simply nowhere in the record  
18 where Hecla says, 'Here is the treatment technology  
19 we intend to use and here are some treatment studies,  
20 treatability studies that show the effluent  
21 characteristics.'

22 I would just add that the Region needed to

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 determine the exception.

2 JUDGE FULTON: Hecla makes the point in  
3 its brief that the Region could have developed a  
4 contingency clause essentially around this issue.  
5 I'm not sure that their formulation is exactly the  
6 right one because it doesn't contend with the need to  
7 find that the 9.0 pH limit would be unachievable in  
8 conjunction with the neutralization regime.

9 But my question is it seems like it would  
10 have been relatively light there in the matter of  
11 writing the permits to construct a contingency  
12 provision that would allow this issue to play out  
13 within the context of this permit rather than  
14 requiring it to proceed through a permit modification  
15 process.

16 MR. ALLNUTT: I have a couple of responses  
17 to that.

18 First, as you all have pointed out, the  
19 formulation is much more complicated than Hecla would  
20 suggest. And you are probably correct: There are  
21 some formulations that could be made to recognize  
22 that. But it would be complex. And that open is in

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 no way foreclosed by telling Hecla to gather the  
2 requisite information and submit it to the Region.

3 We will consider a modification. There's  
4 plenty of time to do that between now and 2008, when  
5 these final metal limits come into effect.

6 JUDGE FULTON: Just remind us what the  
7 typical flow path for a permit modification of this  
8 kind is.

9 MR. ALLNUTT: I don't know if the Region  
10 has entertained a modification of this particular  
11 kind. But in general, you submit a permit  
12 modification request -- in this case in response to  
13 the 2004 State certification -- in the form of a  
14 letter and the data associated with it. And the  
15 Region will process that request for modification  
16 under the Part 124 regulations, just as we process a  
17 permit application that comes in.

18 JUDGE FULTON: What is the time horizon  
19 for a modification?

20 MR. ALLNUTT: It depends on the  
21 complication. Here there's obviously a lot of data  
22 already in the record, additional treatability

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550



1 information and the designation of a particular  
2 technology, presumably one that's time consuming for  
3 the Region to look at. I know there would be a huge  
4 controversy surrounding it. There are a lot of  
5 factors that go into how long something takes.

6 But the fact that the State has already  
7 certified a mixing zone would simplify the process.  
8 I don't expect that that would be a particularly long  
9 process.

10 JUDGE FULTON: Is this the kind of process  
11 that could be comfortably run within a year's time?

12 MR. ALLNUTT: I would expect so.

13 JUDGE STEIN: I take it the regulations  
14 don't specify a time within which you would act on a  
15 request for permit modification?

16 MR. ALLNUTT: I don't believe there's a  
17 particular deadline on which the Regions need to act.  
18 I believe there is a provision for someone who  
19 submitted an application or a request for  
20 modification to petition the board to review that.  
21 If it's denied, whether you can claim unreasonable  
22 delay either in a board proceeding or through another

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 proceeding.

2 JUDGE STEIN: But there's no provision for  
3 any streamlined permit modification proceeding?

4 MR. ALLNUTT: There are minor modification  
5 proceedings.

6 JUDGE STEIN: But this would not be one of  
7 them?

8 MR. ALLNUTT: This would not be one of  
9 them.

10 JUDGE STEIN: But assuming there are two  
11 things that need to be demonstrated, you simply have  
12 the treatment technology that the company would  
13 intend to employ?

14 MR. ALLNUTT: That's correct. There are  
15 some treatability studies that demonstrate that a pH  
16 above 9 is necessary to meet those metal limits.

17 JUDGE STEIN: Why couldn't we take account  
18 of the contention here that they intend to treat to  
19 satisfy that?

20 MR. ALLNUTT: If it does, we still need to  
21 know if that's going to cause an exceedance of the pH  
22 limits, and, if so, how much of an exceedance. You

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 wouldn't want to get above 11 if you're only required  
2 to get up to 9.

3 JUDGE FULTON: Could we talk a little bit  
4 about the wet testing requirement. I guess I'll ask  
5 you the same question I asked Mr. Beaton.

6 Can you explain your understanding of the  
7 difference in terms of information generated between  
8 wet testing and bioassessment monitoring?

9 MR. ALLNUTT: Like Mr. Beaton, I'm not a  
10 scientist and I won't be able to discuss this fully.  
11 But my understanding is that the type of  
12 biomonitoring requirement the State has required  
13 through its authorities measures the effect in the  
14 receiving water. So the wet testing that is required  
15 under the federal regs is more predictive and it is  
16 more protective for things like variability and other  
17 factors that may affect aquatic life in the stream in  
18 the future.

19 I guess I would also point out the regs  
20 require wet testing unless a certain finding is made.  
21 And this is in 122.44(d).2 and (d).5. This  
22 requirement is clear, and for the reasons set forth

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 in the fact sheets and the Region's brief, there is  
2 simply not enough information in the record to make  
3 that finding.

4 JUDGE FULTON: Could that finding be  
5 predicated on a product of bioassessment monitoring?

6 MR. ALLNUTT: I don't believe so,  
7 although, again, I'm way out of my league here. The  
8 permit writers need to look at the results to the  
9 bioassessment monitoring to determine if there's  
10 enough there to make a finding. I don't know if it's  
11 possible, but it's conceivable.

12 JUDGE FULTON: I know that the guidance  
13 for dealing with the whole effluent toxicity in the  
14 absence of sufficient information to allow for a  
15 determination can certainly be appropriate and  
16 prudent for the program writer to require wet testing  
17 under the permit to develop the body of information  
18 necessary to make the determination. I'm not sure  
19 that the guidance goes so far as to suggest that's  
20 the only way to develop the body of information  
21 needed for determination.

22 So what I'm wondering is: if you only

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 have bioassessment monitoring would that still give  
2 you the information needed to make the regulatory  
3 determination that must be made?

4 It's a way of looking at this redundancy  
5 argument that Hecla has offered that is potentially  
6 squareable.

7 MR. ALLNUTT: I agree that it's a way.  
8 But let us keep in mind there's a lot of other stuff  
9 in the record here that talks about the toxicity  
10 effect specifically.

11 Another, as Mr. Beaton has pointed out,  
12 Hecla has done some wet mines in the past. However  
13 this information was reviewed by the Region and found  
14 to be contradictory and limited. And the reasons for  
15 this were set forth in the fact sheet. There's other  
16 information in the record that indicates that there  
17 is some reason for concern about the toxicity and the  
18 electrolyte discharge.

19 Looking at development documents which are  
20 also part of the record, development documents  
21 supporting the effluent guidelines, Hecla was one of  
22 the facilities reviewed in preparation for that

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 development document. It says toxic metals are  
2 naturally associated with metal ores and all of the  
3 13 toxic metals were found in wastewater from this  
4 category. The development document also notes the  
5 flotation process employed by the Lucky Friday mine  
6 has the potential to generate wastewater fluid in  
7 many toxics, and all the toxic metals were detected  
8 in the water.

9 In addition, Hecla has submitted  
10 information with a list of reagents they use in these  
11 processes. None of these reagents are limited. And  
12 there are specific monitoring requirements for those  
13 reagents.

14 As recently as 2002 one of the reagents  
15 was concentrated enough to result in fish being  
16 killed in the South Fork of the Coeur d'Alene.

17 JUDGE FULTON: The wet testing requirement  
18 in the permit continues throughout the life of the  
19 permit, correct?

20 MR. ALLNUTT: Correct.

21 JUDGE FULTON: Is there a reason that  
22 there was a provision in the permit for a juncture

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 which was information generated through that testing  
2 and where that information would be considered in  
3 making the necessary regulatory determination? I  
4 assume that the reason this issue is before us is  
5 that there must be an incremental cost associated  
6 with wet testing that's a concern to the company.

7 What really needs to happen here is  
8 development of information to enable the regulatory  
9 determination to be made. But the way the permit is  
10 set up the obligation to do the wet testing continues  
11 throughout the life of the permit.

12 Is there a reason that there wasn't a  
13 decision point built into the permit?

14 MR. ALLNUTT: If there was, I'm not aware  
15 of that decisionmaking process. But I will point out  
16 that as a practical matter -- and this goes to  
17 Hecla's more recent challenge to wet monitoring that  
18 they wanted to start in 2007, citing a comment the  
19 State made that as a practical matter we're already  
20 in the middle of 2006. There's only one more quarter  
21 of wet mining required.

22 Are those conditions likely to be stayed

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1       until 2007? There are only going to be a few  
2       quarters of wet mining to be done within the life of  
3       this permit. And I suppose if those few quarters of  
4       wet mining information demonstrate with enough  
5       specificity for the Region to make a determination  
6       the next Lucky Friday permit will not include wet  
7       mining monitoring.

8                       JUDGE FULTON: Can we look at this issue  
9       the same way as the pH question? If in Hecla's view  
10      a body of information is generated either through the  
11      wet testing or through the combination of wet testing  
12      and bioassessment monitoring to enable the Agency to  
13      make the determination that a whole effluent toxicity  
14      limit is not needed here, that they can present that  
15      to the Agency and may request a permit modification  
16      to eliminate the wet testing requirement?

17                      MR. ALLNUTT: I think that's appropriate,  
18      or six months before September of 2008. They ought  
19      to be submitting a reissuance request that could be  
20      included in that as well.

21                      JUDGE FULTON: I'm not sure I understand  
22      that.

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550



1 MR. ALLNUTT: They have to reapply for a  
2 permit six months before September of 2008 when it  
3 expires.

4 JUDGE FULTON: I see. This permit expires  
5 in 2008.

6 MR. ALLNUTT: Yes. It was issued in  
7 August 2005, or 2003, effective September 2003 and by  
8 its terms will expire in 2008.

9 JUDGE FULTON: So we really are chasing a  
10 resolution here.

11 MR. ALLNUTT: I would like to have one  
12 before it expires.

13 JUDGE STEIN: I don't fully understand  
14 that. The permit was issued by the Region, but are  
15 portions of this permit in effect?

16 MR. ALLNUTT: Portions of it are. Those  
17 that were uncontested and severable from the  
18 challenged portions. Over time, as our stipulation  
19 was filed last week, it demonstrates the number of  
20 issues has decreased. Some more portions of the  
21 permit have gone into effect. But all the portions  
22 of the permit related to these issues are stayed, and

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 will remain stayed until the Department comes to a  
2 decision.

3 JUDGE STEIN: Right.

4 But correct me if I'm wrong. Merely  
5 filing a request or an application for a new permit,  
6 doesn't that simply operate under the terms of the  
7 old permit until the new permit is received?

8 MR. ALLNUTT: If there's a timely  
9 application the permit is eventually extended.

10 JUDGE STEIN: It still could be a number  
11 of years before we could be to not this permit, but  
12 the next one.

13 MR. ALLNUTT: It could be. But there's  
14 other avenues that we can pursue to force Agency  
15 action on an application.

16 JUDGE FULTON: Any information on record  
17 or in the public domain related to the cost of wet  
18 testing?

19 MR. ALLNUTT: I'm sure there is. I can't  
20 give you a specific citation right now. In fact,  
21 Hecla's comments talked about the cost.

22 If there are no further questions, we have

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 covered the three matters sufficiently. I appreciate  
2 the time. And I ask, for all the reasons that I've  
3 set forth today, to dismiss Hecla's remaining  
4 challenges and uphold the 2005 permit in its  
5 entirety.

6 JUDGE FULTON: Mr. Beaton.

7 MR. BEATON: Thank you.

8 I appreciate the Region's comments. On  
9 behalf of Hecla Mining Company we really appreciate  
10 the Board's careful consideration of these important  
11 issues.

12 It's clear from the Board's questions that  
13 this has been closely evaluated. If I just might  
14 raise a couple of points.

15 First of all, on the applicability or not  
16 of 122.45(c) on total recoverable metals, I would  
17 submit that either it applies or it doesn't. If it's  
18 an effluent limit that's established then the  
19 following paragraph -- and it's a water quality based  
20 effluent limit in the interim paragraph -- then it  
21 has to be an effluent limit in the next paragraph.  
22 It uses the same identical language in the

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 regulations. So either 122.45(c) and its exceptions  
2 applies to water quality or it doesn't apply at all.

3 I don't know of any other reading of that  
4 rule. It used the same language in both sections.

5 On the issue of the concern that motivates  
6 the Region -- not the Region, EPA -- to set total  
7 recoverable metals, it was the only example that I'm  
8 aware of that has been offered in the record. It  
9 came from the early 1980s regarding an electroplating  
10 operation. And the idea that some of the metals that  
11 you would not measure if you were measuring dissolved  
12 resolublized total metals in the water body, I am  
13 unaware of any other finding for the last 25 years  
14 from EPA or the Region that would suggest that this  
15 would actually happen.

16 It has simply been a mantra that keeps  
17 getting repeated over the last 25 years. This is  
18 pre-water quality toxics rules. This is pre-water  
19 quality limitations focused on the acts. So I would  
20 submit that this rule applies or an exception  
21 applies. It simply didn't cover water quality  
22 effluents to begin with.

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1                   On the issue of wet testing being more  
2                   predictive and more protective, we disagree with  
3                   that. I think the idea is what you're trying to  
4                   protect is the water body, and the best way to  
5                   determine what you're trying to protect is to measure  
6                   it, not some sort of hypothetical species in a  
7                   laboratory vial and make some sort of qualified  
8                   determination from that.

9                   I think the question about how long will  
10                  this go on and can Hecla fix this, I will say that  
11                  this Region, and I believe EPA nationally, takes the  
12                  position that once a permit is on administrative  
13                  extension the Agency is incapable of modifying that  
14                  permit.

15                  That is their position under the  
16                  Administrative Procedures Act. I'm not hearing  
17                  argument on that one way or another that we'll  
18                  represent that position in the region on other permit  
19                  action.

20                  And I will say it's been my experience  
21                  that I have never heard a Region say, 'Well, you  
22                  don't have to have wet testing any more; you've shown

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 that there's no hope for the toxicities when you're  
2 done with them.' Once it starts it goes on and on.  
3 And even if we were to make some sort of a  
4 demonstration I'm very skeptical that it would ever  
5 be taken out of the permit.

6 Hecla takes exception to the suggestion  
7 that there was a fish kill caused by a reagent spill  
8 from the Lucky Friday mine. We handled that in the  
9 brief, and we just suggested that did not occur. And  
10 that was just a justification for calling for  
11 toxicity monitoring.

12 One final point on the pH issue. What is  
13 somewhat galling to Hecla is that the Region came out  
14 just two or three months ago with a draft permit.  
15 And I believe this Board is considering some issues  
16 of the Red Dog mine in Alaska. And it was just a  
17 rubber stamp adjustment of the pH simply because the  
18 State of Alaska thought it was okay.

19 On the final issue, while we don't know if  
20 Hecla is going to discharge up to 11 or 12 pH, the  
21 State establishes a maximum limit of 10.0. That is  
22 what we demonstrated to the State was necessary for

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

1 treatment and to protect the aquatic species in the  
2 stream. It's not a mystery that the upper ceiling --  
3 that Hecla is choosing to seek the pH adjustment.

4 Again, I thank the Board for all its time  
5 and consideration in this matter. I'll be happy to  
6 answer any questions.

7 JUDGE FULTON: How about the incremental  
8 cost question on wet testing?

9 MR. BEATON: I asked Mr. Dave Holland, who  
10 is here, who is the company representative from Hecla  
11 Mining. I apologize: We don't have it dollar-  
12 evaluated. It is, as you suggest incremental.

13 Thank you very much.

14 JUDGE FULTON: Thank you.

15 We want to extend our thanks to the  
16 parties for their contributions today. We will no  
17 doubt find them helpful in arriving at a decision in  
18 the case. We wish you a good day and a pleasant stay  
19 in Washington, D.C.

20 (Whereupon, at 11:05 a.m., the oral  
21 argument in the above-entitled matter was adjourned.)

22

**ACE-FEDERAL REPORTERS, INC.**

Nationwide Coverage

202-347-3700

800-336-6646

410-684-2550

A				
<b>ability</b> 26:11	<b>alkaline</b> 34:12	3:1,8,18 23:4,15	45:11 51:6,7 55:9	<b>capture</b> 32:21
<b>able</b> 43:10	<b>Allnutt</b> 3:12,13,19	30:1,9,10 31:5	<b>Beaton's</b> 37:19	<b>careful</b> 51:10
<b>above-entitled</b>	27:3,4,6 31:8	35:11 36:21	<b>begins</b> 5:3	<b>case</b> 2:11 23:21
55:21	33:20 34:9 36:4	37:16 45:5 53:17	<b>behalf</b> 3:6 4:5 30:6	25:15 32:2 33:22
<b>absence</b> 44:14	36:12 37:3 38:4	55:21	51:9	40:12 55:18
<b>absent</b> 26:19	39:16 40:9,20	<b>argumentative</b> 9:8	<b>belied</b> 32:2	<b>category</b> 46:4
<b>absurd</b> 30:10	41:12,16 42:4,8	<b>arguments</b> 30:3	<b>believe</b> 9:7 11:2,18	<b>cause</b> 6:2 42:21
<b>accompanying</b>	42:14,20 43:9	<b>arriving</b> 55:17	14:9,15 15:21	<b>caused</b> 54:7
27:18	44:6 45:7 46:20	<b>aside</b> 30:12	16:7,11 17:10,12	<b>ceiling</b> 7:7 55:2
<b>accomplish</b> 18:17	47:14 48:17 49:1	<b>asked</b> 43:5 55:9	18:3 20:8 23:22	<b>certain</b> 19:9 43:20
<b>account</b> 31:2 42:17	49:6,11,16 50:8	<b>asking</b> 3:2 10:14,15	24:1,22 35:19	<b>certainly</b> 17:12
<b>accounts</b> 4:22 5:7	50:13,19	<b>aspect</b> 5:12	41:16,18 44:6	44:15
8:6	<b>allow</b> 12:15 39:12	<b>assess</b> 17:5	53:11 54:15	<b>certification</b> 26:6
<b>achievable</b> 7:12	44:14	<b>Assistant</b> 3:13 27:6	<b>believes</b> 19:13	26:15,18 38:12
<b>achieve</b> 5:9	<b>alternative</b> 17:4	<b>associated</b> 6:14	<b>benefit</b> 2:11 20:16	40:13
<b>achieving</b> 33:6	21:22	22:6 25:2 40:14	<b>best</b> 2:19 18:3,18	<b>certified</b> 41:7
34:17	<b>amount</b> 32:21	46:2 47:5	19:13 32:21 53:4	<b>challenge</b> 32:1 34:5
<b>acid</b> 13:16,18	<b>amounts</b> 29:13	<b>assume</b> 2:17 12:22	<b>better</b> 32:12	47:17
<b>acidic</b> 34:14	<b>animal</b> 35:18	47:4	<b>beyond</b> 10:2	<b>challenged</b> 49:18
<b>act</b> 16:20 18:5,16	<b>answer</b> 31:9,14	<b>assuming</b> 42:10	<b>binding</b> 36:6	<b>challenges</b> 51:4
29:16 41:14,17	55:6	<b>attempt</b> 35:18	<b>bioassay</b> 20:18	<b>change</b> 14:16 17:16
53:16	<b>anticipate</b> 3:19	<b>attempted</b> 13:21	<b>bioassessment</b>	<b>changes</b> 5:5
<b>action</b> 7:2 50:15	<b>apologize</b> 55:11	<b>August</b> 27:16 49:7	18:10 19:17 43:8	<b>chapter</b> 36:8
53:19	<b>appeal</b> 1:6 9:1	<b>authorities</b> 43:13	44:5,9 45:1 48:12	<b>characteristics</b>
<b>acts</b> 52:19	27:13,21 28:6	<b>authority</b> 16:19	<b>biologically</b> 32:13	30:11,21 38:21
<b>add</b> 38:22	31:7	29:15	<b>biomonitoring</b> 17:7	<b>characterization</b>
<b>addition</b> 22:22 46:9	<b>Appeals</b> 1:1,16	<b>Ave</b> 1:11,18	17:10 21:1 23:1	15:16 30:20 38:5
<b>additional</b> 16:8	<b>appears</b> 5:7 11:7	<b>avenues</b> 50:14	43:12	<b>characterizing</b>
17:13 40:22	30:9 37:5	<b>aware</b> 22:8 47:14	<b>bit</b> 37:16 43:3	26:8
<b>address</b> 13:21	<b>appellant</b> 2:7	52:8	<b>board</b> 1:1,16 2:19	<b>chasing</b> 49:9
<b>addressed</b> 12:13	<b>applicability</b> 51:15	<b>a.m</b> 1:15,19 55:20	4:4,10 7:3,6 27:5	<b>chemical</b> 25:1 33:9
<b>adjourned</b> 55:21	<b>applicable</b> 23:19		41:20,22 54:15	<b>chemistry</b> 33:15
<b>adjustment</b> 7:7	30:4 35:13	<b>B</b>	55:4	<b>choosing</b> 55:3
12:5 54:17 55:3	<b>application</b> 40:17	<b>back</b> 10:5 11:14	<b>Board's</b> 2:4 51:10	<b>chose</b> 12:4
<b>administrative</b>	41:19 50:5,9,15	12:17 26:13	51:12	<b>citation</b> 50:20
9:21 53:12,16	<b>applied</b> 12:16 33:1	<b>background</b> 4:8	<b>bodies</b> 25:2	<b>cited</b> 35:10,15 36:9
<b>advantage</b> 29:7	38:6	32:9	<b>body</b> 44:17,20	<b>cites</b> 35:3 38:9
<b>affect</b> 43:17	<b>applies</b> 31:22,22	<b>based</b> 10:1,12	48:10 52:12 53:4	<b>citing</b> 47:18
<b>affirm</b> 19:21	51:17 52:2,20,21	31:16 35:11	<b>brief</b> 8:22 12:11	<b>citizens</b> 35:16
<b>afford</b> 21:6	<b>apply</b> 20:2 52:2	51:19	38:9 39:3 44:1	<b>City</b> 20:22
<b>agencies</b> 6:19	<b>appreciate</b> 2:15	<b>basic</b> 34:12	54:9	<b>claim</b> 41:21
<b>agency</b> 1:2 12:20	51:1,8,9	<b>basically</b> 8:9 13:16	<b>briefs</b> 2:17 4:10	<b>claimed</b> 9:10
13:1 31:1 34:5	<b>approach</b> 17:4	16:22 25:10 30:2	10:4 25:7,18 31:6	<b>claims</b> 28:17,18
48:12,15 50:14	<b>approaches</b> 18:12	36:22	35:3	<b>clarification</b> 35:14
53:13	<b>approaching</b> 10:5	<b>basis</b> 23:20 24:6,8	<b>broad</b> 16:19 29:14	<b>clarifying</b> 26:1
<b>ago</b> 54:14	<b>appropriate</b> 8:2	24:9 31:20	<b>broader</b> 36:11	<b>clause</b> 39:4
<b>agree</b> 21:7 30:19,22	12:6 29:14 34:4	<b>Beaton</b> 3:5,6,7,9,22	<b>bugs</b> 20:13	<b>Clean</b> 16:19 18:5
30:22 45:7	44:15 48:17	4:3,5 8:4 9:7 11:1	<b>building</b> 25:3	29:15
<b>agreed</b> 38:13	<b>approved</b> 17:4	11:18 13:4,13	<b>Builging</b> 1:10	<b>clear</b> 8:6 14:12
<b>agreeing</b> 23:18	<b>approving</b> 7:11	14:2,5,9 15:15	<b>built</b> 47:13	16:4 37:7 43:22
<b>agreement</b> 6:4	<b>aquatic</b> 5:1,6 6:6	18:13 19:11,19		51:12
<b>agrees</b> 31:11	6:11 18:7 27:13	20:7,20 21:12	<b>C</b>	<b>close</b> 6:17
<b>Alaska</b> 54:16,18	32:20 34:20	22:8,21 23:16,22	<b>C</b> 1:20 2:1	<b>closely</b> 51:13
<b>algae</b> 19:5	43:17 55:1	24:5,7,9 25:16,19	<b>cadmium</b> 8:7	<b>Coeur</b> 4:21 13:17
	<b>area</b> 6:2 12:8	25:21 26:16 30:1	<b>call</b> 26:6	20:2 46:16
	<b>argument</b> 2:3,6,13	35:12 43:5,9	<b>calling</b> 54:10	<b>combination</b> 16:9



<p>48:11  <b>combinations</b> 18:5  <b>come</b> 10:15 11:14                      35:11 40:5  <b>comes</b> 34:11 40:17                      50:1  <b>comfortably</b> 41:11  <b>coming</b> 10:4  <b>commencing</b> 1:18  <b>comment</b> 11:19                      27:17 47:18  <b>comments</b> 11:5                      50:21 51:8  <b>commitment</b> 9:12                      9:16 10:9 14:15  <b>committed</b> 14:3                      15:7  <b>community</b> 6:6  <b>company</b> 1:6 2:6                      3:4,6 4:5 42:12                      47:6 51:9 55:10  <b>comparable</b> 32:7  <b>compels</b> 28:20  <b>complete</b> 27:14  <b>complex</b> 39:22  <b>compliance</b> 6:3,17                      6:20 13:22 17:5                      34:17  <b>complicated</b> 39:19  <b>complication</b> 40:21  <b>comply</b> 6:15 7:9                      8:8 12:20 32:6  <b>complying</b> 18:4  <b>component</b> 6:21                      11:22  <b>conceivable</b> 44:11  <b>concentrated</b> 46:15  <b>concern</b> 29:21                      45:17 47:6 52:5  <b>concerned</b> 5:22  <b>conclude</b> 12:20                      33:16  <b>concluded</b> 17:21  <b>conclusion</b> 13:12                      22:4,18  <b>condition</b> 12:3                      16:12 22:9 23:11  <b>conditional</b> 12:13  <b>conditions</b> 17:3                      20:20 21:15                      31:19 47:22  <b>conduct</b> 29:10  <b>confirm</b> 21:19  <b>conjunction</b> 39:8  <b>connected</b> 8:3  <b>connection</b> 8:5</p>	<p><b>consider</b> 40:3  <b>consideration</b> 6:22                      7:5 27:22 28:7                      51:10 55:5  <b>considerations</b>                      30:15  <b>considered</b> 47:2  <b>considering</b> 54:15  <b>consistent</b> 28:10  <b>Constitution</b> 1:11                      1:18  <b>construct</b> 39:11  <b>consultation</b> 27:19                      28:3  <b>consuming</b> 41:2  <b>contend</b> 39:6  <b>contends</b> 29:13  <b>contention</b> 22:21                      42:18  <b>context</b> 39:13  <b>contingencies</b>                      10:19  <b>contingency</b> 39:4                      39:11  <b>continues</b> 46:18                      47:10  <b>contradictory</b>                      45:14  <b>contrary</b> 23:18                      24:1  <b>contributions</b>                      55:16  <b>control</b> 7:21  <b>controversy</b> 41:4  <b>conundrum</b> 20:17  <b>correct</b> 7:20 14:5                      19:19 24:5 39:20                      42:14 46:19,20                      50:4  <b>correctly</b> 13:5  <b>cost</b> 47:5 50:17,21                      55:8  <b>costs</b> 6:13  <b>counsel</b> 3:2,3,13,16                      27:6  <b>counsel's</b> 3:15  <b>country</b> 33:2  <b>couple</b> 29:21 39:16                      51:14  <b>course</b> 5:17 17:18                      17:20  <b>cover</b> 52:21  <b>covered</b> 51:1  <b>crassly</b> 21:4  <b>creek</b> 18:17,19 20:5  <b>criteria</b> 5:10 6:1,5</p>	<p>7:9,10 8:9 14:1                      19:21 21:3 23:5                      24:19 30:4 32:4                      32:20 33:3,6 35:1                      36:19 37:9  <b>criterion</b> 37:7  <b>critters</b> 18:17  <b>culminated</b> 28:3  <b>curiosity</b> 35:8  <b>curious</b> 38:7  <b>current</b> 8:22</p> <hr/> <p style="text-align: center;"><b>D</b></p> <hr/> <p><b>d</b> 2:1 26:12 43:21  <b>data</b> 10:21 13:11                      15:22 17:8,15                      18:11 25:1 40:14                      40:21  <b>dated</b> 2:4  <b>Dave</b> 55:9  <b>David</b> 3:12 27:5  <b>day</b> 8:15 55:18  <b>DC</b> 1:3,13  <b>deadline</b> 41:17  <b>deal</b> 10:18 12:12                      25:8  <b>dealing</b> 44:13  <b>decades</b> 5:8  <b>December</b> 28:5  <b>decision</b> 22:19                      47:13 50:2 55:17  <b>decisionmaking</b>                      47:15  <b>decreased</b> 49:20  <b>define</b> 30:13  <b>defined</b> 36:7  <b>definition</b> 35:16,20                      36:1,3,15,19  <b>definitions</b> 36:9  <b>delay</b> 41:22  <b>deliberately</b> 10:9  <b>demonstrable</b>                      24:11  <b>demonstrate</b> 42:15                      48:4  <b>demonstrated</b>                      42:11 54:22  <b>demonstrates</b>                      49:19  <b>demonstration</b>                      54:4  <b>denied</b> 11:4 41:21  <b>Department</b> 19:6                      50:1  <b>depends</b> 40:20  <b>designation</b> 6:14</p>	<p>41:1  <b>detected</b> 46:7  <b>determination</b>                      21:10 22:3,6                      33:15 44:15,18                      44:21 45:3 47:3,9                      48:5,13 53:8  <b>determine</b> 13:1                      16:22 18:3,18                      39:1 44:9 53:5  <b>determined</b> 12:6  <b>develop</b> 44:17,20  <b>developed</b> 39:3  <b>development</b> 19:20                      45:19,20 46:1,4                      47:8  <b>dictate</b> 14:10  <b>difference</b> 43:7  <b>differences</b> 18:9,11                      33:9  <b>different</b> 26:2                      35:17 36:14,18  <b>differential</b> 33:17  <b>directly</b> 36:10  <b>disagree</b> 38:4 53:2  <b>disagrees</b> 23:13  <b>discharge</b> 5:3 15:1                      18:20,20 24:17                      37:13 45:18                      54:20  <b>discharged</b> 13:19                      17:17  <b>discharges</b> 4:17 6:3                      20:12 33:10  <b>discharging</b> 4:20                      24:10 29:12  <b>discretion</b> 23:21                      24:2 26:5  <b>discuss</b> 29:17 43:10  <b>discussion</b> 26:3  <b>dismiss</b> 51:3  <b>dissolve</b> 34:15  <b>dissolved</b> 7:13,18                      8:10 13:22 15:13                      23:9 24:10,14                      28:18 30:7,17                      32:4,12,17,21                      33:4,6,12,18                      34:16,22 52:11  <b>distinguish</b> 35:18  <b>document</b> 46:1,4  <b>documents</b> 45:19                      45:20  <b>Dog</b> 54:16  <b>doing</b> 17:6 20:9  <b>dollar</b> 55:11</p>	<p><b>domain</b> 50:17  <b>doubt</b> 2:11 55:17  <b>downriver</b> 5:2,2  <b>downstream</b> 18:20  <b>draft</b> 27:18 54:14  <b>dramatically</b> 5:5  <b>draw</b> 13:11  <b>drums</b> 13:16  <b>d'Alene</b> 4:21 13:17                      20:3 46:16  <b>D.C</b> 55:19</p> <hr/> <p style="text-align: center;"><b>E</b></p> <hr/> <p><b>E</b> 1:21 2:1,1  <b>early</b> 52:9  <b>East</b> 1:10  <b>economic</b> 6:22  <b>economically</b> 7:11                      10:7 11:15  <b>EDWARD</b> 1:21  <b>effect</b> 18:6 19:2                      40:5 43:13 45:10                      49:15,21  <b>effective</b> 28:11                      34:16 49:7  <b>effectively</b> 22:3  <b>effects</b> 17:6  <b>effluent</b> 10:1 12:16                      16:16,22 17:1,15                      17:16,19 18:9,22                      21:14,17 22:10                      27:10 28:11                      29:10,12 30:5                      31:16,19 32:6                      33:9 34:13 35:13                      35:20 36:15,19                      37:1,5,8,14 38:20                      44:13 45:21                      48:13 51:18,20                      51:21  <b>effluents</b> 52:22  <b>eight</b> 5:2,4  <b>either</b> 17:6 41:22                      48:10 51:17 52:1  <b>electrolyte</b> 45:18  <b>electroplating</b> 52:9  <b>element</b> 26:9  <b>elements</b> 37:9  <b>eliminate</b> 48:16  <b>employ</b> 29:6 42:13  <b>employed</b> 11:20,22                      21:21 22:1 46:5  <b>enable</b> 47:8 48:12  <b>enables</b> 33:14  <b>ended</b> 7:10  <b>energies</b> 2:21</p>
---	--	---	--	---

<p>engaged 28:2                      ensure 32:5                      entered 6:4                      entering 33:8                      entertained 40:10                      entire 36:8                      entirety 51:5                      entitle 29:2                      environment 4:16                          5:1 18:7 19:14,15                      Environmental 1:1                          1:2,16                      envisioned 15:18                      envisions 32:15                      EPA 1:10 3:11,13                          5:11,20 6:4,9,12                          7:1,3,10 17:11                          19:11 20:4,6 21:8                          23:6 27:6 28:19                          32:8,11,18 33:5                          34:18,21 52:6,14                          53:11                      EPA's 14:12 16:18                          32:2                      erred 16:15                      essentially 34:5                          39:4                      establish 6:5 34:6                      established 6:1                          17:3 20:1 51:18                      establishes 54:21                      evaluated 51:13                          55:12                      evaluation 16:6                      eventually 14:7                          50:9                      exact 36:12                      exactly 39:5                      example 20:21                          34:10 52:7                      exceedance 42:21                          42:22                      exceeded 32:22                      excepting 31:13                      exception 15:20                          26:7 29:2,7 30:3                          30:6,13 34:1,3                          38:6 39:1 52:20                          54:6                      exceptions 25:12                          25:13 34:7 52:1                      excuse 25:7                      exercise 29:14                      Exhibit 35:2                      expect 41:8,12                      expensive 11:9</p>	<p>experience 53:20                      expertise 18:15                      expire 49:8                      expires 49:3,4,12                      explain 43:6                      express 28:20                      expressed 28:16,18                          31:18,21 32:4,7                          32:20 33:3 34:19                          35:5                      extend 55:15                      extended 50:9                      extension 9:21                          53:13                      extensive 27:19                      extent 10:11                      extra 22:20</p> <hr/> <p style="text-align: center;"><b>F</b></p> <hr/> <p>faced 10:1                      facilitate 34:21                      facilities 21:6 45:22                      facility 8:8                      facing 9:17                      fact 10:10,19 11:16                          12:12,19 13:2                          26:6 27:18 31:5                          32:18 35:12                          38:12 41:6 44:1                          45:15 50:20                      factors 26:4 41:5                          43:17                      factually 24:9                      failed 29:7                      failure 37:22                      fair 15:15                      far 44:19                      fashion 8:15                      feasible 7:12 8:12                          14:14                      federal 8:19 43:15                      felt 15:11                      figure 15:10 19:8                      filed 31:6 49:19                      filing 50:5                      final 9:4 16:3 22:17                          22:18 28:16 40:5                          54:12,19                      Finally 29:9                      find 29:20 38:5                          39:7 55:17                      finding 21:14 22:13                          22:16 33:21                          43:20 44:3,4,10                          52:13                      findings 21:19</p>	<p>fine 37:2                      first 7:6 27:14,21                          28:15 29:11                          30:19 31:8,10                          33:20 39:18                          51:15                      fish 20:14 46:15                          54:7                      fishing 20:5                      five 2:7 4:7 16:1                          27:2                      fix 53:10                      fixed 9:22                      flotation 46:5                      flow 40:7                      fluid 46:6                      focus 2:20 36:1,19                      focused 52:19                      following 51:19                      force 50:14                      foreclosed 40:1                      fork 4:20 13:17                          20:2 46:16                      form 40:13                      formulation 39:5                          39:19                      formulations 39:21                      forth 43:22 45:15                          51:3                      forum 34:8                      forward 2:9 11:14                      found 35:2 45:13                          46:3                      fraction 32:12,14                      frame 9:5 30:16                      framework 21:8                          22:12 25:9 30:14                          31:2                      Friday 1:7 4:12,18                          5:3,22 27:9 28:4                          28:9 29:12 46:5                          48:6 54:8                      front 8:1 15:13                      full 16:15,21 29:10                      fully 5:1 6:6 43:10                          49:13                      FULTON 1:20 2:2                          3:7,10,17,21 7:15                          14:2,6 15:10 18:8                          19:9,17 21:7 22:2                          22:15 26:22                          29:20 33:13 34:3                          37:15 39:2 40:6                          40:18 41:10 43:3                          44:4,12 46:17,21                          48:8,21 49:4,9</p>	<p>50:16 51:6 55:7                      55:14                      further 26:1 50:22                      future 43:18</p> <hr/> <p style="text-align: center;"><b>G</b></p> <hr/> <p>G 2:1                      galling 54:13                      gather 7:16,19 40:1                      gathering 21:18                      general 3:16 31:14                          31:18 32:2 35:20                          40:11                      generate 18:12                          46:6                      generated 43:7                          47:1 48:10                      getting 52:17                      gills 32:16                      give 4:8 34:10 45:1                          50:20                      given 7:1 30:10                      gives 20:10                      go 18:18 19:7 26:11                          26:13 41:5 53:10                      goal 28:14                      goals 5:6 28:8                      goes 44:19 47:16                          54:2                      going 6:1,2,20 8:8                          8:11 9:13 10:10                          10:20 11:6,11                          13:1 15:3 16:3                          17:16,17 19:8                          24:20 26:5 33:17                          42:21 48:1 54:20                      good 2:2 19:3 27:4                          55:18                      grant 23:21 24:2                      great 23:8                      greater 18:14                      guess 43:4,19                      guidance 28:19                          32:9,19 33:1                          34:11,21 35:2                          44:12,19                      guidelines 27:11                          28:11 45:21</p> <hr/> <p style="text-align: center;"><b>H</b></p> <hr/> <p>hand 10:4                      handled 54:8                      happen 12:3 24:16                          47:7 52:15                      happened 5:19                      happening 18:19</p>	<p>24:18                      happy 55:5                      harmful 32:13                      heard 53:21                      hearing 2:9 30:1                          53:16                      hearings 27:19                      Hecla 1:6 2:6 3:4,6                          4:5 5:17,21 7:6,8                          8:17 9:10,11,15                          9:17,22 11:19                          12:4 13:16 14:3                          15:3,5 16:18                          19:13 24:10 25:1                          26:16 27:8 28:17                          28:22 29:4,7,10                          31:22 38:9,13,18                          39:2,19 40:1 45:5                          45:12,21 46:9                          51:9 53:10 54:6                          54:13,20 55:3,10                      Hecla's 4:22 11:4                          12:2 13:6 14:13                          27:14 31:11 32:1                          47:17 48:9 50:21                          51:3                      held 1:17                      help 2:13                      helpful 55:17                      high 34:13                      higher 13:8,18                      history 4:15                      holding 35:7                      Holland 55:9                      Honor 3:5,9,12 8:4                          9:7 11:1,18 12:1                          13:5 15:16 22:22                          23:22 24:7 27:8                      hook 30:13                      hope 13:4 54:1                      horizon 40:18                      huge 41:3                      hundreds 5:8,13,13                      hypothetical 10:15                          10:19 53:6</p> <hr/> <p style="text-align: center;"><b>I</b></p> <hr/> <p>Idaho 4:13 6:5                          16:20 17:9                      Idaho's 28:12                      idea 20:8 52:10                          53:3                      identical 51:22                      identify 3:2                      Id-000017-5 1:8                      imagine 20:9</p>
---	---	---	---	--

<p><b>immediately</b> 6:2  <b>impact</b> 19:6,14                  24:11 33:17  <b>implement</b> 9:13                  12:4 14:22  <b>implements</b> 9:18  <b>implicit</b> 22:17  <b>important</b> 2:22 4:9                  51:10  <b>impose</b> 29:3 37:13  <b>imposes</b> 21:5  <b>impossible</b> 13:19  <b>inability</b> 12:20  <b>incapable</b> 53:13  <b>include</b> 48:6  <b>included</b> 48:20  <b>including</b> 16:12                  27:17  <b>inconclusive</b> 17:21                  18:2  <b>increase</b> 33:11  <b>incremental</b> 47:5                  55:7,12  <b>indicated</b> 5:4 9:1                  35:12  <b>indicates</b> 16:1                  45:16  <b>indicating</b> 25:1  <b>indicator</b> 19:9,13                  20:11  <b>information</b> 21:18                  24:22 29:1,5                  33:14 40:2 41:1                  43:7 44:2,14,17                  44:20 45:2,13,16                  46:10 47:1,2,8                  48:4,10 50:16  <b>information-gath...</b>                  16:19 29:15  <b>informed</b> 37:4  <b>initiative</b> 5:20 23:8  <b>insoluble</b> 25:3  <b>instances</b> 35:5  <b>instantly</b> 34:15  <b>intend</b> 4:2,6 11:16                  38:19 42:13,18  <b>intended</b> 18:16  <b>intends</b> 29:6  <b>intensive</b> 38:2  <b>interconnected</b>                  7:19  <b>interested</b> 37:18  <b>interim</b> 9:3 15:22                  51:20  <b>interpretation</b> 36:5  <b>interpreting</b> 28:20</p>	<p><b>involved</b> 5:11                  20:14  <b>in-stream</b> 8:9 17:9                  18:6  <b>irrespective</b> 26:14  <b>issuance</b> 22:17 28:4  <b>issue</b> 7:6,16,16 9:2                  9:6,15,20 12:1                  13:22 14:1,17                  15:5,13 16:14,17                  18:15 22:12 23:3                  23:4 26:2,18                  29:22 30:5 37:17                  37:22 39:4,12                  47:4 48:8 52:5                  53:1 54:12,19  <b>issued</b> 27:20 32:19                  34:21 49:6,14  <b>issues</b> 2:10,13 4:9                  7:4,5,19 28:13                  29:18 49:20,22                  51:11 54:15</p> <hr/> <p style="text-align: center;"><b>J</b></p> <p><b>joining</b> 3:8  <b>JUDGE</b> 2:2 3:7,10                  3:17,21 7:15 8:21                  10:3 11:10 12:9                  13:10 14:2,6                  15:10 18:8 19:9                  19:17 20:4,17                  21:7 22:2,15                  23:14,17 24:3,6,8                  25:5,17,20 26:1                  26:21,22 29:20                  31:4 33:13 34:3                  35:6 36:8,21                  37:15 39:2 40:6                  40:18 41:10,13                  42:2,6,10,17 43:3                  44:4,12 46:17,21                  48:8,21 49:4,9,13                  50:3,10,16 51:6                  55:7,14  <b>JUDGES</b> 1:20  <b>July</b> 1:14,17  <b>juncture</b> 46:22  <b>justification</b> 54:10</p> <hr/> <p style="text-align: center;"><b>K</b></p> <p><b>KATHIE</b> 1:22  <b>keep</b> 10:4 15:11                  45:8  <b>keeping</b> 2:19  <b>keeps</b> 52:16  <b>Kevin</b> 3:5 4:4</p>	<p><b>kill</b> 54:7  <b>killed</b> 46:16  <b>kind</b> 4:15 15:2                  16:12 25:7 34:4                  35:20 40:8,11                  41:10  <b>kinds</b> 20:13  <b>know</b> 4:1 10:19                  20:21 33:15                  38:11 40:9 41:3                  42:21 44:10,12                  52:3 54:19</p> <hr/> <p style="text-align: center;"><b>L</b></p> <p><b>laboratory</b> 19:1                  20:1 53:7  <b>language</b> 11:14                  12:14 51:22 52:4  <b>larger</b> 21:6  <b>late</b> 9:19  <b>Latin</b> 19:3  <b>latitude</b> 31:1  <b>law</b> 17:11  <b>lead</b> 4:12 8:7 25:4  <b>league</b> 44:7  <b>leaves</b> 38:1  <b>led</b> 34:18  <b>left</b> 23:2 25:22  <b>legal</b> 23:4 25:9                  30:13  <b>lend</b> 31:13  <b>length</b> 23:8  <b>lengthy</b> 4:15  <b>letter</b> 40:14  <b>letters</b> 38:10  <b>letting</b> 4:1  <b>Let's</b> 3:2  <b>level</b> 21:9 22:6 25:8                  37:10  <b>levels</b> 6:7 19:22                  24:10  <b>life</b> 6:11 27:13                  32:20 43:17                  46:18 47:11 48:2  <b>light</b> 39:10  <b>limit</b> 7:17,18,19,22                  9:1 12:14 13:3                  29:3,19 39:7                  48:14 51:18,20                  51:21 54:21  <b>limitation</b> 10:2                  30:16 35:21                  36:14,15,20 37:1                  37:1,5,8  <b>limitations</b> 27:11                  28:21 30:5 37:13</p>	<p>52:19  <b>limited</b> 45:14 46:11  <b>limiting</b> 33:7 34:15  <b>limits</b> 6:16,17 7:13                  8:16,19 9:3,4                  15:22 21:14                  22:13,16 27:10                  28:15,17 31:3,13                  31:15,16 32:6                  34:19 35:1,4 40:5                  42:16,22  <b>list</b> 46:10  <b>litigation</b> 23:7  <b>little</b> 4:8 37:16 43:3  <b>long</b> 6:20 41:5,8                  53:9  <b>longstanding</b> 32:3                  32:8  <b>long-term</b> 17:7  <b>look</b> 2:9 8:2 12:17                  30:14 34:4 41:3                  44:8 48:8  <b>looking</b> 36:2,3 45:4                  45:19  <b>lot</b> 21:22 40:21                  41:4 45:8  <b>low</b> 17:19  <b>lower</b> 5:12 34:15  <b>low-level</b> 22:16  <b>Lucky</b> 1:7 4:11,18                  5:3,22 27:9 28:4                  28:9 29:12 46:5                  48:6 54:8</p> <hr/> <p style="text-align: center;"><b>M</b></p> <p><b>maintain</b> 37:11  <b>maintains</b> 8:18                  9:10  <b>making</b> 47:3  <b>management</b> 6:7  <b>mantra</b> 52:16  <b>material</b> 4:11  <b>matter</b> 1:5 8:6,15                  31:17 39:10                  47:16,19 55:5,21  <b>matters</b> 51:1  <b>maximum</b> 54:21  <b>mean</b> 23:17 26:12  <b>meant</b> 35:15  <b>measure</b> 8:7 52:11                  53:5  <b>measured</b> 8:10,10  <b>measures</b> 43:13  <b>measuring</b> 18:6                  19:14 24:14                  52:11</p>	<p><b>mechanism</b> 32:15  <b>meet</b> 7:12 25:11,12                  26:14 38:15                  42:16  <b>meeting</b> 1:16 13:3  <b>mentioned</b> 32:11  <b>Merely</b> 50:4  <b>metal</b> 7:13 14:17                  17:17 25:11 31:3                  32:12,13,21                  33:19 34:15 40:5                  42:16 46:2  <b>metals</b> 6:16 7:17,18                  7:18,22 8:11                  15:14 23:3,12                  24:13 27:10                  28:17,18,21                  29:19 30:7,8,16                  30:17 31:20,21                  32:4,17,21 33:6,8                  33:11 34:16,19                  34:22 35:1 38:16                  46:1,3,7 51:16                  52:7,10,12  <b>method</b> 22:1  <b>methodology</b> 21:21  <b>mid</b> 5:21  <b>middle</b> 47:20  <b>miles</b> 5:2,4 20:22  <b>mind</b> 45:8  <b>mine</b> 1:7 4:12,13,14                  4:16,18 5:22 6:3                  27:9 28:10 29:12                  46:5 54:8,16  <b>mines</b> 4:14 29:3                  45:12  <b>minimal</b> 6:21  <b>mining</b> 1:6 2:6 3:4                  3:6 4:5 13:16                  25:2 27:11 29:11                  31:16 47:21 48:2                  48:4,7 51:9 55:11  <b>minor</b> 42:4  <b>minute</b> 23:2  <b>minutes</b> 2:6,7 4:7                  27:2  <b>missing</b> 26:8  <b>mixed</b> 18:21  <b>mixes</b> 34:13  <b>mixing</b> 41:7  <b>models</b> 16:7  <b>modest</b> 12:2  <b>modification</b> 38:2                  39:14 40:3,7,10                  40:12,15,19                  41:15,20 42:3,4</p>
---	---	--	---	---

<p>48:15  <b>modified</b> 28:4,5  <b>modify</b> 9:19  <b>modifying</b> 53:13  <b>moment</b> 30:12  <b>monitoring</b> 16:16            18:1,10 19:18            22:10 29:13 43:8            44:5,9 45:1 46:12            47:17 48:7,12            54:11  <b>months</b> 48:18 49:2            54:14  <b>morning</b> 2:2,3 27:4  <b>morning's</b> 3:1  <b>motivates</b> 52:5  <b>move</b> 11:13 16:14  <b>Mullin</b> 20:22  <b>mystery</b> 55:2</p> <hr/> <p style="text-align: center;"><b>N</b></p> <p><b>N</b> 2:1  <b>nailed</b> 37:22  <b>name</b> 3:5,12 4:4            27:5  <b>narrow</b> 17:5,5            36:12  <b>narrower</b> 36:10  <b>national</b> 5:21 19:22            23:7 27:10  <b>nationally</b> 28:12            53:11  <b>naturally</b> 46:2  <b>nature</b> 31:12  <b>necessarily</b> 36:6  <b>necessary</b> 21:11            22:3,14 37:11            42:16 44:18 47:3            54:22  <b>need</b> 8:8 22:20 39:6            41:17 42:11,20            44:8  <b>needed</b> 15:11 37:20            38:5,22 44:21            45:2 48:14  <b>needs</b> 9:12 11:21            21:10 22:15 47:7  <b>neutralization</b> 7:14            8:13 10:6,13 11:7            12:5,15 13:7 14:3            14:18,22 15:7,12            16:7,10 37:21            39:8  <b>neutralize</b> 15:4  <b>never</b> 13:21 20:15            53:21</p>	<p><b>Nevertheless</b> 16:20  <b>new</b> 50:5,7  <b>north</b> 4:13  <b>Nos</b> 1:6  <b>notes</b> 46:4  <b>NPDES</b> 1:6,8 4:19            27:9,20 28:19            29:2  <b>number</b> 38:8 49:19            50:10  <b>NW</b> 1:11,18</p> <hr/> <p style="text-align: center;"><b>O</b></p> <p><b>O</b> 2:1  <b>obligation</b> 47:10  <b>obvious</b> 13:14  <b>obviously</b> 17:16            18:14 40:21  <b>occur</b> 32:16 54:9  <b>offered</b> 30:2 45:5            52:8  <b>Office</b> 3:16  <b>okay</b> 25:20 54:18  <b>old</b> 50:7  <b>once</b> 53:12 54:2  <b>open</b> 15:12 39:22  <b>operate</b> 50:6  <b>operated</b> 27:8  <b>operates</b> 21:8  <b>operation</b> 25:3            52:10  <b>opposed</b> 30:17 36:2  <b>option</b> 14:14  <b>options</b> 11:9 15:12  <b>oral</b> 2:13 3:1 55:20  <b>order</b> 2:4,5 37:20  <b>ordering</b> 35:14  <b>ore</b> 25:1 27:11  <b>ores</b> 46:2  <b>original</b> 21:19  <b>ought</b> 48:18</p> <hr/> <p style="text-align: center;"><b>P</b></p> <p><b>P</b> 2:1  <b>papers</b> 2:18  <b>paragraph</b> 51:19            51:20,21  <b>part</b> 8:19 9:11            12:14 14:1 20:1            23:10,11,14            26:20 40:16            45:20  <b>participate</b> 3:18  <b>particular</b> 18:15            19:2 35:22 37:12            40:10 41:1,17</p>	<p><b>particularly</b> 2:22            24:16 25:3 41:8  <b>parties</b> 2:10 55:16  <b>pass</b> 10:16  <b>path</b> 40:7  <b>people</b> 18:14  <b>percent</b> 26:9  <b>period</b> 11:19  <b>permanent</b> 21:9  <b>permit</b> 1:8 5:17 7:1            7:8 9:19,20 12:4            12:13 14:8,11            16:3,7,13 17:18            17:20 18:1 19:6            21:15 22:4,17,18            27:9,20 28:1,4,6            28:10,16 31:15            31:17,17,19,19            33:22 34:19 35:4            37:20 38:1,2            39:13,14 40:7,11            40:17 41:15 42:3            44:8,17 46:18,19            46:22 47:9,11,13            48:3,6,15 49:2,4            49:14,15,21,22            50:5,7,7,9,11            51:4 53:12,14,18            54:5,14  <b>permits</b> 4:19 15:22            17:2 20:21 21:22            27:13,14,18 29:3            32:6 39:11  <b>perspectives</b> 2:10  <b>petition</b> 12:11            41:20  <b>pH</b> 7:7,16 8:1 9:1            12:5,7,14,21 13:8            13:14,18 15:4,6            26:3 29:3 34:13            34:15 37:17 39:7            42:15,21 48:9            54:12,17,20 55:3  <b>phrase</b> 36:13 37:5  <b>pick</b> 24:14  <b>picked</b> 25:6  <b>piling</b> 17:13  <b>pipe</b> 24:19  <b>place</b> 5:14 28:9  <b>places</b> 38:8  <b>plain</b> 23:13 37:4,6  <b>plans</b> 5:14  <b>play</b> 30:11 34:11            39:12  <b>pleasant</b> 55:18  <b>please</b> 2:17 4:4</p>	<p>27:5  <b>plenty</b> 40:4  <b>point</b> 6:14,21 7:1            12:10 14:7 30:19            35:7 36:11 37:14            37:16 39:2 43:19            47:13,15 54:12  <b>pointed</b> 39:18            45:11  <b>points</b> 2:21 51:14  <b>policy</b> 32:3  <b>pollutants</b> 4:20  <b>portion</b> 5:9,12 6:10            32:13 33:11  <b>portions</b> 28:1 49:15            49:16,18,20,21  <b>position</b> 5:1 13:6            13:13 14:2 15:19            15:21 23:19            26:17 35:9 36:17            53:12,15,18  <b>possible</b> 44:11  <b>possibly</b> 24:16  <b>potential</b> 46:6  <b>potentially</b> 6:13            38:1 45:5  <b>practical</b> 47:16,19  <b>practice</b> 32:8  <b>preclude</b> 13:3            16:11  <b>predate</b> 27:10,12  <b>predicated</b> 44:5  <b>predictive</b> 43:15            53:2  <b>prefer</b> 20:4  <b>premise</b> 10:12  <b>preparation</b> 45:22  <b>prepared</b> 2:12  <b>present</b> 10:20            37:21 48:14  <b>presented</b> 2:10,14  <b>presenting</b> 3:8  <b>presents</b> 9:6  <b>pressures</b> 8:1  <b>presumably</b> 41:2  <b>previously</b> 6:11  <b>pre-water</b> 52:18,18  <b>primary</b> 2:12 18:11            32:15  <b>principal</b> 18:9  <b>principle</b> 19:22  <b>probably</b> 8:5 39:20  <b>problem</b> 6:22 9:3,4            9:6,9 10:5  <b>Procedures</b> 53:16  <b>proceed</b> 2:3 3:22</p>	<p>39:14  <b>proceeding</b> 41:22            42:1,3  <b>proceedings</b> 42:5  <b>process</b> 5:18 6:9,12            6:18 7:14 9:15            15:5,17 16:5            21:18 26:19 28:2            28:8 32:16 38:3            39:15 40:15,16            41:7,9,10 46:5            47:15  <b>processes</b> 46:11  <b>product</b> 44:5  <b>program</b> 15:18            20:11 44:16  <b>prohibition</b> 25:14  <b>prohibitions</b> 18:5            31:20  <b>proposed</b> 16:21  <b>proposition</b> 30:14            35:4  <b>protect</b> 18:17 19:16            53:4,5 55:1  <b>protected</b> 5:2 6:7            21:20 27:12  <b>PROTECTION</b>            1:2  <b>protective</b> 12:7            21:15 22:5 28:12            43:16 53:2  <b>providing</b> 32:5  <b>proving</b> 29:11  <b>provision</b> 10:12            35:16 39:12            41:18 42:2 46:22  <b>prudent</b> 44:16  <b>public</b> 27:16,18            28:3 50:17  <b>publication</b> 27:17  <b>pursue</b> 50:14  <b>put</b> 5:14</p> <hr/> <p style="text-align: center;"><b>Q</b></p> <p><b>qualified</b> 12:3 53:7  <b>qualifier</b> 14:16            22:9  <b>quality</b> 5:5,10 7:9            12:7 13:22 16:20            17:1,16 21:2,16            21:20 22:5,19            23:6 24:18 27:12            28:13 30:4 31:16            32:4,19 33:3,10            34:17,22 36:18            37:7,9,10,11</p>
---	--	--	---	--

<p>51:19 52:2,18,19                      52:21  <b>quarter</b> 47:20  <b>quarters</b> 48:2,3  <b>question</b> 7:16,17                      12:9 17:14 26:2                      28:15,22 29:9                      30:18 31:4,14                      34:5 39:9 43:5                      48:9 53:9 55:8  <b>questions</b> 2:14,16                      20:6 27:1 50:22                      51:12 55:6</p> <hr/> <p style="text-align: center;"><b>R</b></p> <p><b>R</b> 2:1  <b>raise</b> 51:14  <b>range</b> 12:21  <b>read</b> 2:17 4:10 10:4                      35:9  <b>reading</b> 37:4,6 52:3  <b>readjust</b> 13:14  <b>reagent</b> 54:7  <b>reagents</b> 46:10,11                      46:13,14  <b>real</b> 9:6,9  <b>reality</b> 28:14  <b>really</b> 9:1 10:14                      14:13 15:4 23:9                      35:7,11 47:7 49:9                      51:9  <b>reapply</b> 49:1  <b>reason</b> 7:8 13:11                      15:6,8 35:22                      45:17 46:21 47:4                      47:12  <b>reasonable</b> 10:17                      29:14  <b>reasons</b> 43:22                      45:14 51:2  <b>rebuttal</b> 2:8 4:2,7                      27:2  <b>recall</b> 19:3  <b>received</b> 50:7  <b>receiving</b> 24:12                      32:22 33:7,10,12                      33:16 34:14                      37:11 43:14  <b>recognition</b> 6:6,19                      32:18  <b>recognize</b> 26:7                      39:21  <b>recognized</b> 6:12                      32:11 33:5  <b>recognizes</b> 16:18                      23:8</p>	<p><b>recommending</b>                      32:3,19  <b>record</b> 3:3 4:6 11:3                      11:19 14:7,21                      24:15,20 33:22                      38:6,7,8,17 40:22                      44:2 45:9,16,20                      50:16 52:8  <b>recoverable</b> 7:18                      7:22 8:11 14:17                      15:14 23:3,12                      25:11 28:21                      29:19 30:7,16                      31:3,21 32:14                      33:8,19 35:1,5                      51:16 52:7  <b>recycling</b> 11:22                      16:5  <b>Red</b> 54:16  <b>redesignated</b> 6:10  <b>reducing</b> 25:7  <b>redundancy</b> 45:4  <b>reflected</b> 14:6  <b>regarding</b> 30:20                      52:9  <b>regime</b> 9:18 14:4                      39:8  <b>region</b> 3:11,13 7:4                      9:10 10:14,17                      11:3,13 12:12                      14:10 15:18                      16:11,15,18,21                      17:3,21 20:16                      21:5 22:9 23:13                      23:18,20 24:1                      26:4,11 27:6,20                      28:2,18 29:1,4,10                      29:13 31:10                      37:20 38:9,10,22                      39:3 40:2,9,15                      41:3 45:13 48:5                      49:14 52:6,6,14                      53:11,18,21                      54:13  <b>Regional</b> 3:13 27:6  <b>Regions</b> 41:17  <b>Region's</b> 8:22 22:4                      28:8 35:3 36:17                      44:1 51:8  <b>regs</b> 43:15,19  <b>regulation</b> 13:21                      34:6 36:13  <b>regulations</b> 8:20                      9:14 17:12 28:19                      28:20 36:7 37:6                      40:16 41:13 52:1</p>	<p><b>regulatory</b> 10:11                      21:8 22:11 26:13                      26:14 31:1 45:2                      47:3,8  <b>REICH</b> 1:21 8:21                      10:3 11:10 12:9                      13:10 23:14,17                      24:3,6,8 25:5,17                      25:20 26:1,21                      31:4 35:6 36:8,21  <b>reissuance</b> 48:19  <b>related</b> 8:14 49:22                      50:17  <b>relatively</b> 16:16                      23:4 39:10  <b>relief</b> 23:21  <b>remain</b> 50:1  <b>remaining</b> 4:14 7:5                      51:3  <b>remanded</b> 28:1  <b>remarks</b> 2:12  <b>remediation</b> 5:14  <b>remember</b> 8:21  <b>remind</b> 40:6  <b>repeated</b> 52:17  <b>repeatedly</b> 29:4  <b>represent</b> 27:13                      37:10 53:18  <b>representative</b>                      55:10  <b>represented</b> 14:8  <b>represents</b> 32:12  <b>request</b> 11:4 12:2                      40:12,15 41:15                      41:19 48:15,19                      50:5  <b>requested</b> 7:7  <b>require</b> 29:10                      34:19 43:20                      44:16  <b>required</b> 6:15 7:9                      7:21 8:12,16 11:6                      11:6 15:20 16:8                      17:9,11 19:4                      22:11 38:11,15                      43:1,12,14 47:21  <b>requirement</b> 12:18                      12:19 34:6 43:4                      43:12,22 46:17                      48:16  <b>requirements</b>                      10:21 17:13 21:5                      46:12  <b>requires</b> 21:8 31:19                      33:7  <b>requiring</b> 16:15</p>	<p>39:14  <b>requisite</b> 40:2  <b>reserve</b> 2:7 4:2,6                      25:21  <b>resistance</b> 11:17  <b>resolubilization</b>                      24:13,21  <b>resolublized</b> 52:12  <b>resolution</b> 49:10  <b>resolved</b> 15:14 23:6  <b>respect</b> 8:5 21:9  <b>responded</b> 35:17  <b>responding</b> 35:19  <b>response</b> 8:22 11:4                      35:9 37:18 40:12  <b>responses</b> 39:16  <b>responsiveness</b>                      2:15  <b>restate</b> 13:4  <b>restrictions</b> 37:13  <b>result</b> 33:2,10                      46:15  <b>results</b> 30:10 44:8  <b>review</b> 27:17 28:3                      35:16 41:20  <b>reviewed</b> 4:11                      45:13,22  <b>revised</b> 26:6  <b>right</b> 5:9 9:5 21:11                      23:15 37:3 39:6                      50:3,20  <b>river</b> 4:21,22 5:5,9                      5:12 6:2,8,10,16                      6:19 13:17 20:3                      21:1  <b>rivers</b> 5:15  <b>Rm</b> 1:18  <b>role</b> 9:6,9  <b>Room</b> 1:12  <b>rubber</b> 54:17  <b>rule</b> 5:21 26:18                      29:2 31:14,18                      32:2 52:4,20  <b>rules</b> 21:12 52:18  <b>run</b> 41:11</p> <hr/> <p style="text-align: center;"><b>S</b></p> <p><b>S</b> 2:1  <b>sample</b> 12:14  <b>satisfied</b> 24:4 26:12  <b>satisfy</b> 42:19  <b>saying</b> 11:16,19                      25:12  <b>says</b> 11:13 12:14,18                      25:10 38:10,13                      38:18 46:1</p>	<p><b>scenario</b> 10:8  <b>scientific</b> 34:18  <b>scientist</b> 43:10  <b>SCOTT</b> 1:20  <b>Seattle</b> 3:14 27:7  <b>second</b> 5:20 28:5,6                      28:22 30:18  <b>secondary</b> 35:14  <b>Secondly</b> 30:21                      34:1  <b>Section</b> 36:20  <b>sections</b> 52:4  <b>sedimentation</b> 7:14                      8:13 10:6,13 11:7                      12:4,16 13:7                      14:19,22 15:8,12                      16:6,9  <b>see</b> 10:22 20:13                      49:4  <b>seek</b> 55:3  <b>seen</b> 20:15,20  <b>sense</b> 13:15,20                      23:17 30:15  <b>sent</b> 23:12 38:10  <b>separate</b> 22:6,8  <b>September</b> 9:2                      48:18 49:2,7  <b>set</b> 8:16 15:22 17:2                      21:13 43:22                      45:15 47:10 51:3                      52:6  <b>sets</b> 17:4  <b>setting</b> 30:12  <b>settling</b> 31:2  <b>severable</b> 49:17  <b>sheet</b> 45:15  <b>sheets</b> 27:18 44:1  <b>short</b> 11:16  <b>show</b> 38:20  <b>shown</b> 53:22  <b>side</b> 2:5  <b>significantly</b> 5:6  <b>silent</b> 9:14  <b>silver</b> 4:12  <b>similar</b> 31:15  <b>similarly</b> 38:13  <b>simple</b> 34:18  <b>simplicity</b> 25:8  <b>simplify</b> 41:7  <b>simply</b> 9:9 11:2                      12:3 20:2 38:17                      42:11 44:2 50:6                      52:16,21 54:17  <b>site</b> 5:4 7:10 23:5                      30:11,15,20                      31:12 33:13</p>
--	---	--	--	--

<p><b>site-specific</b> 13:11                      19:20,21 29:5  <b>situation</b> 10:20                      24:17 31:12  <b>six</b> 20:22 48:18                      49:2  <b>skeptical</b> 54:4  <b>slightly</b> 36:14  <b>somewhat</b> 54:13  <b>sorry</b> 23:11  <b>sort</b> 7:13 9:12                      24:21 30:9 37:22                      53:6,7 54:3  <b>sounds</b> 30:2  <b>source</b> 37:14  <b>sources</b> 6:15,21 7:1                      36:5  <b>south</b> 4:20 13:17                      20:2 46:16  <b>speak</b> 22:13  <b>speaks</b> 22:12,12  <b>species</b> 19:2,4,7,10                      19:15 53:6 55:1  <b>specific</b> 6:5 7:10                      14:10 23:5 30:11                      30:15,20 31:12                      33:14 35:7 46:12                      50:20  <b>specifically</b> 8:19                      45:10  <b>specificity</b> 48:5  <b>specified</b> 2:5  <b>specify</b> 41:14  <b>spill</b> 54:7  <b>squareable</b> 45:6  <b>stamp</b> 54:17  <b>stand</b> 28:13  <b>standard</b> 9:11                      26:13,14 33:18                      35:13 36:14,20                      36:22 37:5,8  <b>standards</b> 16:21                      17:2,5 21:20 22:5                      22:19 23:6 27:12                      28:13 30:7 31:20                      33:19 34:17                      37:10  <b>standing</b> 37:12  <b>standpoint</b> 18:14                      19:12  <b>start</b> 4:1 47:18  <b>starting</b> 3:3 29:18  <b>starts</b> 54:2  <b>state</b> 6:5 12:6 17:9                      17:11 22:22                      26:15 27:12,19</p>	<p>28:3 32:3,19                      37:10 38:12                      40:13 41:6 43:12                      47:19 54:18,21                      54:22  <b>stated</b> 21:4 25:17                      29:4  <b>statements</b> 10:5  <b>states</b> 1:2 4:15 5:15                      33:2  <b>statistically</b> 20:10  <b>stay</b> 55:18  <b>stayed</b> 47:22 49:22                      50:1  <b>STEIN</b> 1:22 20:4                      20:17 41:13 42:2                      42:6,10,17 49:13                      50:3,10  <b>step</b> 16:8  <b>Steve</b> 3:15  <b>stipulation</b> 49:18  <b>straightforward</b>                      16:17 28:9  <b>stream</b> 17:7 24:18                      43:17 55:2  <b>streamlined</b> 42:3  <b>stretch</b> 4:22  <b>stringent</b> 6:16  <b>studied</b> 5:15  <b>studies</b> 5:13 14:13                      19:20 38:19,20                      42:15  <b>study</b> 19:7  <b>stuff</b> 45:8  <b>subject</b> 4:18 27:9                      27:21 28:6 38:1  <b>submit</b> 5:16 7:3                      9:22 21:12 23:10                      29:5 33:20 36:16                      40:2,11 51:17                      52:20  <b>submitted</b> 2:18                      13:10,20 16:1                      25:1 29:1 41:19                      46:9  <b>submitting</b> 48:19  <b>substantial</b> 6:13,13  <b>sufficient</b> 29:1                      44:14  <b>sufficiently</b> 51:1  <b>suggest</b> 10:7 14:20                      14:21 16:12 23:5                      24:15,20 36:5                      39:20 44:19                      52:14 55:12  <b>suggested</b> 12:13</p>	<p>54:9  <b>suggesting</b> 12:22                      22:22 26:10 36:2  <b>suggestion</b> 15:2                      37:19 54:6  <b>suggests</b> 11:15  <b>superficial</b> 18:14  <b>Superfund</b> 5:3,11                      5:19  <b>support</b> 36:17  <b>supporting</b> 12:11                      33:22 45:21  <b>suppose</b> 20:14,15                      48:3  <b>supposed</b> 9:15  <b>sure</b> 15:19 25:5                      39:5 44:18 48:21                      50:19  <b>surprised</b> 36:9  <b>surprising</b> 17:22  <b>surrounding</b> 32:10                      41:4  <b>Sweeney</b> 3:16,17  <b>synergistic</b> 17:6  <b>system</b> 6:19</p> <hr/> <p style="text-align: center;"><b>T</b></p> <p><b>table</b> 3:15  <b>take</b> 2:22 7:4 15:20                      26:7,16 29:6 31:2                      41:13 42:17  <b>taken</b> 15:21 17:19                      19:5 54:5  <b>takes</b> 7:1 10:22                      15:5,18 41:5                      53:11 54:6  <b>talk</b> 26:3 43:3  <b>talked</b> 50:21  <b>talking</b> 10:12 24:17                      36:17 37:16  <b>talks</b> 45:9  <b>technical</b> 18:15                      23:4 27:21  <b>technology</b> 10:1,13                      12:16,21 13:2                      29:6 38:11,15,18                      41:2 42:12  <b>technology-based</b>                      8:18 28:11  <b>telling</b> 40:1  <b>ten</b> 6:8  <b>term</b> 35:15 36:6,7                      36:22 37:7  <b>terms</b> 25:9 28:21                      31:21 32:5,7,20                      33:4 34:20 35:5</p>	<p>43:7 49:8 50:6  <b>test</b> 18:18,22 19:1                      38:16  <b>tested</b> 19:4  <b>testing</b> 18:10 20:5                      20:18,18 21:1,2                      22:14 43:4,8,14                      43:20 44:16                      46:17 47:1,6,10                      48:11,11,16                      50:18 53:1,22                      55:8  <b>tests</b> 17:19 20:1  <b>thank</b> 3:10,21 4:3                      11:1 26:21,22                      51:7 55:4,13,14  <b>thanks</b> 55:15  <b>theoretical</b> 9:20                      19:1  <b>thereto</b> 34:7  <b>thing</b> 11:14 15:3  <b>things</b> 5:19 8:2                      14:16 29:21                      42:11 43:16  <b>think</b> 2:21 4:9 8:4,6                      8:14,15,21 9:2,8                      13:6 14:9,14 16:4                      18:13,16 20:7                      21:4,17 22:11                      23:3 24:6 26:4                      31:5,15 32:1                      35:10,17 37:3,6                      37:15 48:17 53:3                      53:9  <b>third</b> 29:9 31:4,8  <b>thoroughly</b> 4:11  <b>thought</b> 54:18  <b>three</b> 7:5 28:13                      29:18 51:1 54:14  <b>Thursday</b> 1:14,17  <b>time</b> 2:20 4:2 6:20                      9:5 11:12 20:19                      25:22 34:8 38:1                      40:4,18 41:2,11                      41:14 49:18 51:2                      55:4  <b>timely</b> 50:8  <b>today</b> 27:13,22                      28:13 51:3 55:16  <b>total</b> 7:18,22 8:11                      14:17 15:13                      24:13 25:11                      28:21 29:18 30:7                      30:16 31:3,21                      32:14 33:7 34:20                      35:1,5 51:16 52:6</p>	<p>52:12  <b>totally</b> 32:7  <b>toxic</b> 17:5 29:12                      46:1,3,7  <b>toxicities</b> 54:1  <b>toxicity</b> 16:16,22                      17:8,15,19 18:4                      18:10,22 21:10                      21:14,17 22:7,10                      22:16 29:11                      32:15 44:13 45:9                      45:17 48:13                      54:11  <b>toxics</b> 5:21 17:6                      23:7 46:7 52:18  <b>translated</b> 35:2  <b>translators</b> 32:5  <b>transmitting</b> 34:22  <b>treat</b> 13:18 14:18                      42:18  <b>treatability</b> 38:20                      40:22 42:15  <b>treatable</b> 38:11  <b>treated</b> 13:8  <b>treatment</b> 7:12                      8:12,12,16,17                      9:13,18 10:7 11:5                      11:8,12,20 13:15                      14:11,14 15:3,17                      15:19 29:5 38:14                      38:18,19 42:12                      55:1  <b>trend</b> 20:12  <b>truth</b> 34:18  <b>try</b> 10:7  <b>trying</b> 15:10 19:15                      23:9 24:12 53:3,5  <b>turn</b> 29:18  <b>twelve</b> 6:8  <b>two</b> 11:6 17:18                      19:2,3 27:17 30:2                      42:10 54:14  <b>two-step</b> 15:17                      16:4  <b>type</b> 7:12 8:17 9:13                      43:11  <b>types</b> 14:10  <b>typical</b> 40:7  <b>typically</b> 14:10</p> <hr/> <p style="text-align: center;"><b>U</b></p> <p><b>ulterior</b> 15:2  <b>unachievable</b> 39:7  <b>unaware</b> 52:13  <b>unclear</b> 38:14  <b>uncontested</b> 49:17</p>
---	--	--	---	--

<b>underground</b> 4:12 4:14	46:3,6	<b>wrong</b> 50:4	<b>2003</b> 7:11 27:16 49:7,7
<b>understand</b> 2:12,13 4:10 11:17 12:1 20:5 21:21 25:6 37:15 48:21 49:13	<b>water</b> 5:5 7:9 11:21 12:7 13:22 16:5 16:20,20 17:1 18:5 21:2,15,20 22:5,18 23:6 24:12 27:12	<hr/> <b>X</b> <hr/>	<b>2004</b> 28:2 38:12 40:13
<b>understanding</b> 18:8 43:6,11	28:12 29:15 30:4 31:16 32:3,17,19 33:3,7,8,10,12,15 33:16 34:14,17 34:22 36:18 37:7 37:9,10,11 43:14	x 1:4,9	<b>2005</b> 28:5 49:7 51:4
<b>undertaken</b> 34:7	46:8 51:19 52:2 52:12,21 53:4	<hr/> <b>Y</b> <hr/>	<b>2006</b> 1:14,17 2:5 47:20
<b>undertaking</b> 17:7 17:14	<b>waters</b> 32:22	<b>year</b> 28:5	<b>2007</b> 47:18 48:1
<b>unique</b> 4:15 31:11	<b>way</b> 8:3 18:3,18 26:8 29:20 30:6 30:10 40:1 44:7 44:20 45:4,7 47:9 48:9 53:4,17	<b>years</b> 4:21 5:8,13 6:8 9:21 16:1 17:20 19:20 24:11 27:15,16 50:11 52:13,17	<b>2008</b> 9:2,18 10:2 40:4 48:18 49:2,5 49:8
<b>United</b> 1:2 4:15 5:15	<b>ways</b> 13:14	<b>year's</b> 41:11	<b>25</b> 5:12 26:9 52:13 52:17
<b>unpredictable</b> 38:2	<b>we'll</b> 2:19 10:20,22 17:22 53:17	<hr/> <b>Z</b> <hr/>	<b>25th</b> 2:4
<b>unreasonable</b> 11:2 41:21	<b>we're</b> 10:10,12 18:4 19:15 24:16 36:17 37:16 47:19	<b>zinc</b> 4:12 8:7 25:4	<b>25-30</b> 17:20
<b>update</b> 27:14	<b>we've</b> 17:18 20:12	<b>zone</b> 18:21 41:7	<hr/> <b>3</b> <hr/>
<b>uphold</b> 51:4	<b>widely</b> 33:1	<hr/> <b>0</b> <hr/>	<b>30</b> 2:6 4:21 9:21 24:10 27:15
<b>upper</b> 12:14 29:3 55:2	<b>willing</b> 11:10	<b>03-10</b> 1:7	<b>33</b> 35:15
<b>upstream</b> 18:19	<b>wind</b> 23:18	<b>06-05</b> 1:7	<hr/> <b>4</b> <hr/>
<b>uptake</b> 32:15	<b>wisdom</b> 20:8	<hr/> <b>1</b> <hr/>	<b>440</b> 8:19 9:11 26:20
<b>USC</b> 35:15	<b>wish</b> 55:18	<b>1</b> 26:12	<b>440.131</b> 10:22 14:1 26:12
<b>use</b> 2:20 6:11 10:21 12:18 13:2 30:5 37:12 38:11,19 46:10	<b>wondering</b> 44:22	<b>10</b> 3:11,13 19:19 27:6	<b>440.131(b)</b> 12:17
<b>useful</b> 32:10	<b>words</b> 32:7 34:14	<b>10.0</b> 12:15 54:21	<hr/> <b>5</b> <hr/>
<b>uses</b> 51:22	<b>work</b> 10:21 11:21 30:21	<b>10:00</b> 1:15,18	<b>5</b> 43:21
<b>utilized</b> 13:7	<b>works</b> 9:18	<b>11</b> 43:1 54:20	<b>505</b> 36:20
<hr/> <b>V</b> <hr/>	<b>wouldn't</b> 15:3 25:14 43:1	<b>11:05</b> 55:20	<hr/> <b>6</b> <hr/>
<b>value</b> 2:12 17:14	<b>write</b> 37:20	<b>1152</b> 1:12,18	<b>6</b> 12:21
<b>variability</b> 43:16	<b>writer</b> 44:16	<b>12</b> 19:20 54:20	<hr/> <b>9</b> <hr/>
<b>variance</b> 8:18 11:4 21:2 26:19,19	<b>writers</b> 44:8	<b>1201</b> 1:11,17	<b>9</b> 12:21 13:3,9 15:4 15:7,9 29:3 42:16 43:2
<b>variety</b> 5:18	<b>writing</b> 39:11	<b>122.44(d)</b> 2 43:21	<b>9.0</b> 7:8 12:7 15:1 26:5,9,11 39:7
<b>various</b> 2:18		<b>122.45</b> 23:11	<b>90s</b> 5:21
<b>verifiable</b> 20:11		<b>122.45(c)</b> 25:10,14 31:18 32:6 34:2 35:3 51:16 52:1	
<b>versus</b> 15:13		<b>122.45(c)(1)</b> 23:19 24:3	
<b>viable</b> 10:7 11:8,12 11:15		<b>124</b> 40:16	
<b>vial</b> 53:7		<b>125</b> 23:10,10	
<b>view</b> 22:2 34:9 48:9		<b>13</b> 1:14,17 46:3	
<b>violations</b> 16:2		<b>1362</b> 35:21 36:1	
<hr/> <b>W</b> <hr/>		<b>1365</b> 35:15 36:3,22	
<b>want</b> 10:9,18 43:1 55:15		<b>15</b> 35:2	
<b>wanted</b> 47:18		<b>1970s</b> 4:19 5:18	
<b>Washington</b> 1:3,13 55:19		<b>1973</b> 27:8	
<b>wasn't</b> 6:16 47:12		<b>1980s</b> 52:9	
<b>wastewater</b> 13:8,18		<b>1993</b> 32:18	
		<b>1996</b> 34:21	
		<hr/> <b>2</b> <hr/>	
		<b>20</b> 20:12	
		<b>200-some</b> 16:2	
		<b>2002</b> 46:14	