

BEFORE THE ENVIRONMENTAL PROTECTION APPEALS BOARD
UNITED STATES ENVIRONMENTAL PROTECTION AGENCY
WASHINGTON, D.C.

-----X
In re: :
 :
NORTHERN MICHIGAN UNIVERSITY, : PSD Appeal No. 08-02
RIPLEY POWER PLANT, :
 :
PSD PERMIT 60-07 :
-----X

Washington, D.C.
Wednesday, October 22, 2008

The above-entitled matter came on
for ORAL ARGUMENT at approximately 10:00 a.m.
at the Environmental Protection Agency, 1201
Constitution Avenue, NW, Washington, D.C.

BEFORE:
ANNA WOLGAST
EDWARD E. REICH
CHARLES SHEEHAN

2	4
<p>1 APPEARANCES: 2 On behalf of Northern Michigan University: 3 KEVIN J. FINTO, ESQUIRE Hunton & Williams, LLP 4 951 East Byrd Street Richmond, Virginia 23219-4074 5 (804) 788-8568 6 CATHERINE DEHLIN, ESQUIRE General Counsel 7 Northern Michigan University 8 On behalf of Michigan Department of Environmental Quality: 9 NEIL D. GORDON, ESQUIRE 10 Assistant Attorney General State of Michigan 11 Department of Attorney General Environment, Natural Resources and 12 Agriculture Division G. Mannen Williams Building - Sixth Floor 13 525 West Ottawa Street Post Office Box 30755 14 Lansing, Michigan 48909 (517) 373-7540 15 16 17 18 19 20 21 22</p>	<p>1 PROCEEDINGS 2 MS. DURR: The Environmental Appeals 3 Board of the United States Environmental 4 Protection Agency is now in session for oral 5 argument in re: Northern Michigan University, 6 Ripley Heating Plant, Permit No. 60-07, PSD 7 Appeal Number 08-02, the Honorable Judges Anna 8 Wolgast, Charles Sheehan, and Ed Reich 9 presiding. 10 Please turn off all cell phones, 11 and please be seated. 12 JUDGE SHEEHAN: Good morning. We are 13 here for argument in the matter of Northern 14 Michigan University, Ripley Heating Plant, 15 pursuant to the Board's order of October 2, 16 2008. The parties are Sierra Club, petitioner, 17 opposing the permit; Michigan Department of 18 Environmental Quality, permit issuer; and NMU, 19 the permittee, defending the permit decision. 20 As our order indicated, the Sierra 21 Club has a total of 40 minutes to present its 22 argument and will proceed first. At the</p>
3	5
<p>1 APPEARANCES (CONT'D): 2 On behalf of Petitioner: 3 DAVID C. BENDER, ESQUIRE Garvey McNeil & McGillivray, S.C. 4 634 West Main Street, Suite 101 Madison, Wisconsin 53703 5 (608) 256-1003 6 BRUCE NILLES Director Sierra Club National Coal Campaign 7 122 West Washington Avenue, Suite 830 Madison, Wisconsin 53703 8 (608) 257-4994 9 ALSO PRESENT: 10 Eurika Durr Gary Millstein 11 12 * * * * * 13 14 15 16 17 18 19 20 21 22</p>	<p>1 outset, it will inform us if it wishes to 2 reserve up to 10 minutes of time for 3 rebuttal. MDEQ will go second with 30 4 minutes, 5 of which it may reserve for 5 rebuttal. Finally, NMU will proceed third, 6 and that's 10 minutes, 5 of which it may 7 reserve for rebuttal. 8 As we said in our order, the BACT 9 arguments on greenhouse gases will not be 10 entertained here, and you may assume that the 11 Board is generally familiar with all the 12 briefs. 13 Let's begin by asking counsel to 14 state their names for the record and whom 15 they represent, beginning with the Sierra 16 Club, followed by MDEQ, and then NMU. 17 MR. BENDER: Good morning, Your Honor. 18 David Bender on behalf of the Sierra Club in 19 this case, and with me is Bruce Nilles of the 20 Sierra Club. 21 MR. GORDON: Good morning, Your Honor 22 Neil Gordon on behalf of the Michigan Department</p>

6	<p>1 of Environmental Quality.</p> <p>2 MR. FINTO: Good morning. Kevin</p> <p>3 Finto, on behalf of Northern Michigan</p> <p>4 University. At counsel table with me is</p> <p>5 Catherine Dehlin, general counsel for the</p> <p>6 university.</p> <p>7 JUDGE SHEEHAN: Thank you, Counsel.</p> <p>8 Mr. Bender, you may proceed and</p> <p>9 advise us up front of your reserving time for</p> <p>10 rebuttal or not.</p> <p>11 MR. BENDER: Thank you. Good morning,</p> <p>12 Your Honors. Sierra Club would like to reserve</p> <p>13 10 minutes for rebuttal.</p> <p>14 Your Honors, there were originally</p> <p>15 seven issues in the petition in this case.</p> <p>16 After briefing, Sierra Club withdrew one of</p> <p>17 the issues and at the Board's order, asked</p> <p>18 the parties not to address the BACT limits</p> <p>19 for greenhouse gas emissions. Of the</p> <p>20 remaining issues, I intend to principally</p> <p>21 focus on three issues here today: BACT for</p> <p>22 clean fuels, pre-construction monitoring, and</p>	8
7	<p>1 Class 1 increment impacts. I'm happy to</p> <p>2 address any of the questions the Board has on</p> <p>3 other issues in the petition as well.</p> <p>4 The issue of clean fuels, there's</p> <p>5 no dispute that Northern Michigan University</p> <p>6 intends to build what's termed primarily a</p> <p>7 wood-fire boiler. The boiler is capable of</p> <p>8 running some back-up fuels, but the BACT</p> <p>9 emission limit for principally sulfur dioxide</p> <p>10 is established based on an assumption that</p> <p>11 the boiler will burn primarily coal, a</p> <p>12 dirtier fuel.</p> <p>13 There are two significant problems</p> <p>14 with that determination. First, the only</p> <p>15 justification that Michigan DEQ gave for</p> <p>16 establishing a BACT limit principally on coal</p> <p>17 was presence of snowfall, which could make</p> <p>18 wood deliveries difficult. However, this</p> <p>19 basis does not justify the BACT limit</p> <p>20 established. The BACT limit established</p> <p>21 assumes that the plant would burn 100 percent</p> <p>22 coal during 22 out of every 30 days.</p>	9
6	<p>1 That's 22 days of every month for</p> <p>2 snowfall, including 22 days in June, 22 days</p> <p>3 in July, 22 days in August. A total of 267</p> <p>4 days a year that the BACT limit assumes coal</p> <p>5 will be burned. And the only justification</p> <p>6 for burning any coal is as a backup.</p> <p>7 JUDGE SHEEHAN: Would you have any</p> <p>8 problem with a permit that bifurcated the year</p> <p>9 in some respect? So maybe that coal-burning</p> <p>10 during the winter months when snow makes</p> <p>11 delivery difficult, according to the state, and</p> <p>12 wood in the summer, so it wasn't a year-round 22</p> <p>13 days per month coal limit, but something broken</p> <p>14 up, depending on weather conditions.</p> <p>15 MR. BENDER: I think if there was a</p> <p>16 top-down analysis to determine -- and there was</p> <p>17 evidence in the record that snowfall really was</p> <p>18 too deep for a clean fuel delivery, then that</p> <p>19 would be a possibility.</p> <p>20 I also note that in the</p> <p>21 response -- in Sierra Club's comments, Sierra</p> <p>22 Club raised the issue of considering natural</p>	8
7	<p>1 gas as a backup emergency fuel as well. In</p> <p>2 response, Michigan DEQ said that the boiler</p> <p>3 would be a solid fuel boiler and would burn</p> <p>4 coal or wood.</p> <p>5 JUDGE WOLGAST: If the permit had been</p> <p>6 submitted as coal only and had never mentioned</p> <p>7 wood, would that have been deficient from a PSD</p> <p>8 and BACT standpoint --</p> <p>9 MR. BENDER: It would because we know</p> <p>10 they can burn wood fuel, Your Honor. It'd be a</p> <p>11 different question if it was incapable of</p> <p>12 burning wood fuel.</p> <p>13 JUDGE SHEEHAN: But it can only burn,</p> <p>14 what percent can only burn wood -- excuse me,</p> <p>15 only burn coal?</p> <p>16 MR. BENDER: If it was set up to only</p> <p>17 burn coal, then I think it would depend on an</p> <p>18 analysis similar to what the 7th Circuit</p> <p>19 discussed in its review of the Board's Prairie</p> <p>20 State decision, which is, is the plant</p> <p>21 physically incapable of burning clean fuel, or</p> <p>22 is it merely a preference by the applicant to</p>	9

10	<p>1 burn coal? What the 7th Circuit specifically</p> <p>2 said was it made a distinction between a plant,</p> <p>3 like Prairie State, that was set up only to burn</p> <p>4 one fuel stream and could not receive any other</p> <p>5 fuel stream, with a plant that was intended to</p> <p>6 burn, by contract -- I think the 7th Circuit</p> <p>7 discussed by contract one fuel stream. The</p> <p>8 dirty versus clean discussion that the 7th</p> <p>9 Circuit had was on coal.</p> <p>10 JUDGE SHEEHAN: What about the fact</p> <p>11 that the original permit application had</p> <p>12 3.5 percent sulfur coal, and then the final</p> <p>13 permit after the addendum went down to</p> <p>14 1.5 percent sulfur coal? That seems like it's</p> <p>15 going in the direction for which you're arguing.</p> <p>16 How do you respond to that?</p> <p>17 MR. BENDER: Well, I agree that it's</p> <p>18 going in the direction of cleaner fuel, and I</p> <p>19 think it indicates that DEQ agrees that there is</p> <p>20 some ability to consider clean fuels other than</p> <p>21 the fuel proposed by the applicant. At least</p> <p>22 early in the process that's what DEQ's position</p>	12
11	<p>1 was. I think it's that DEQ's position now</p> <p>2 before the Board, and especially Northern</p> <p>3 Michigan University's position concerning in</p> <p>4 that it says that anything other than the</p> <p>5 applicant's business decision -- or I think</p> <p>6 Northern Michigan University uses the term</p> <p>7 "business plan," and says anything that would</p> <p>8 change the business plan is off limit for best</p> <p>9 available control technology and now it's --</p> <p>10 JUDGE SHEEHAN: Well, the university</p> <p>11 argues that they are employing a so-called</p> <p>12 just-in-time system whereby apparently you've</p> <p>13 just got to race the coal in there, I guess to</p> <p>14 beat the snows, don't store it for long, it goes</p> <p>15 right into the boiler and is almost immediately</p> <p>16 consumed. So a series of quick-hit deliveries.</p> <p>17 That's the design they say they had used here.</p> <p>18 What's the problem, if any, with that in your</p> <p>19 view?</p> <p>20 MR. BENDER: I think that's the design</p> <p>21 for all fuels. I think that there's three days</p> <p>22 of fuel storage for wood or biomass. I think</p>	13
	<p>1 that the fact -- there's no discussion in the</p> <p>2 record on whether or not there's space available</p> <p>3 elsewhere on the campus for storage of clean</p> <p>4 fuel, biomass fuel.</p> <p>5 JUDGE SHEEHAN: Do you regard that</p> <p>6 design as a fundamental or inherent aspect of</p> <p>7 the project?</p> <p>8 MR. BENDER: I don't believe that it's</p> <p>9 fundamental to the design in the same way that</p> <p>10 Prairie State was, because any fuel, any solid</p> <p>11 fuel that's delivered to the plant gets</p> <p>12 delivered by truck. Coal is delivered by truck</p> <p>13 and wood is delivered by truck, and nothing</p> <p>14 would change in that delivery system, depending</p> <p>15 on if they pull it right out of the forest and</p> <p>16 into the plant from a local wood processor or a</p> <p>17 local storage facility and bring it into the</p> <p>18 plant. Nothing changes in the design of the</p> <p>19 fuel handling, which was the issue in Prairie</p> <p>20 State.</p> <p>21 Again, Northern Michigan University</p> <p>22 and DEQ cite the Board's Prairie State</p>	
	<p>1 decision for a theory in this case that any</p> <p>2 change other than what the applicant itself</p> <p>3 designates as its preferred plan is immune</p> <p>4 from review in a top-down BACT analysis. And</p> <p>5 this is important because it's something that</p> <p>6 we're seeing in other states where applicants</p> <p>7 are coming in in recent years and several</p> <p>8 very recently, using the term "fuel</p> <p>9 flexibility," and saying that fuel</p> <p>10 flexibility is inherent to their plant.</p> <p>11 And by fuel flexibility they mean</p> <p>12 they want the ability to be able to burn any</p> <p>13 kind of fuel, from very clean to very dirty,</p> <p>14 and telling state permitting agencies that</p> <p>15 they have to because their permitting agency</p> <p>16 has to grant BACT limits based on the</p> <p>17 dirtiest possible fuel because of the</p> <p>18 flexibility -- the desire to be able to burn</p> <p>19 a range of fuels is inherent to the design of</p> <p>20 the plant.</p> <p>21 JUDGE SHEEHAN: But what's wrong with</p> <p>22 flexibility if conditions make flexibility</p>	

14	<p>1 necessary? No system, presumably, is perfect, 2 and there must be some flexibility allowed to 3 deal with the realities of daily life.</p> <p>4 MR. BENDER: And I think that there's 5 flexibility in, for example, how permit limits 6 are established for having some headroom above a 7 permit limit to allow the natural fluctuations 8 in fuel quality. I think it's different to say 9 that the plant wants to burn -- or had the 10 flexibility to burn anything from wood to 11 petroleum coke.</p> <p>12 JUDGE SHEEHAN: What authority would 13 you offer as far as your flexibility theory?</p> <p>14 MR. BENDER: I think the 7th Circuit's 15 decision in Prairie State -- I think the 7th 16 Circuit was clear in making a distinction, 17 again, between the physical incapability at 18 Prairie State that was inherent to the design 19 and the applicant's desire or contract to burn 20 different fuels.</p> <p>21 In fact, the Court said in the 22 Prairie State decision -- the 7th Circuit</p>	16	<p>1 Act requires an applicant to obtain 2 monitoring data representative of what 3 ambient air quality is in the area that'll be 4 affected by the new facility. It's 5 essentially a look before you leap provision. 6 We want some idea of what the air quality is 7 in the area before significant capital 8 investments, before new sources are 9 permitted.</p> <p>10 JUDGE SHEEHAN: But what about the NSR 11 manual's allowance of exemptions from perhaps 12 the strict requirement that you cite to use 13 existing ambient data that might not be as 14 source-specific as the regs might be saying?</p> <p>15 MR. BENDER: The Clean Air Act appears 16 to be specific in that the data should be from 17 the area that will be affected by the source. 18 The New Source Review Manual does say "in 19 certain situations," and it puts boundaries 20 around the situations where up data from other 21 monitors can be used.</p> <p>22 JUDGE SHEEHAN: So what's wrong with</p>
15	<p>1 said that a BACT determination has to provide 2 for or take into account cleaner -- the 3 ability to burn cleaner fuels even when 4 there'd be some change to the applicant's 5 plans, or even the applicant's plant design, 6 as long as that change was no more than would 7 be necessary whenever a plant switches from a 8 dirtier fuel to a clean fuel.</p> <p>9 In this case, we're far removed 10 from a Prairie State situation. There's no 11 question that the plant can burn a clean 12 fuel. In fact, it's designed to burn 13 primarily a wood fuel. It's just that the 14 BACT limit was established and switched it 15 around from having coal as a backup to 16 presuming coal is burned 73 percent of the 17 time, 22 out of every 30 days. That's not 18 consistent with any reasonable interpretation 19 of BACT, that we preserve the clean fuels 20 analysis.</p> <p>21 Brings us to the second issue, 22 pre-construction monitoring. The Clean Air</p>	17	<p>1 what the state did here for representative data, 2 they claim anyhow, that might not have been 3 right out the gate of the facility, but still in 4 the nearby area?</p> <p>5 MR. BENDER: Two things, Your Honor. 6 There's no evidence and no analysis that the 7 data that DEQ used is in fact representative, so 8 you don't know what the air quality is in 9 Marquette, Michigan. DEQ used data from 10 existing monitors located in Escanaba, Michigan, 11 82 kilometers away; Two Rivers, Wisconsin, 255 12 kilometers away; Green Bay, Wisconsin, 227 13 kilometers away; and Milwaukee, Wisconsin, 387 14 kilometers away. That's approximately the 15 distance from here to New York. It'd be like 16 using a monitor outside New York to try to 17 assess what air quality is in Washington.</p> <p>18 JUDGE SHEEHAN: Well, Escanaba, I'm 19 looking at their background concentration 20 offering that they mentioned in their brief. 21 Sixty-five kilometers out, that doesn't seem 22 like it's the distance from here to New York.</p>

18	<p>1 That's for SO2.</p> <p>2 MR. BENDER: That's for Escanaba, but</p> <p>3 some of the other pollutants are, like I said,</p> <p>4 Milwaukee is 387 kilometers away. The --</p> <p>5 JUDGE SHEEHAN: What principle would</p> <p>6 you give us for deciding where that line is?</p> <p>7 MR. BENDER: One principle and the one</p> <p>8 that's referenced in the New Source Review</p> <p>9 Manual is the PSD monitoring guideline, where</p> <p>10 EPA -- and that's what's referenced, '87</p> <p>11 guidelines. EPA sets some categories of</p> <p>12 different types of locations and what EPA</p> <p>13 considered to be representative data. For a</p> <p>14 facility located in flat terrain, there's no</p> <p>15 unusual atmospheric conditions. Where there's</p> <p>16 multiple sources, the representative data has to</p> <p>17 be from a monitor that's located no less than 10</p> <p>18 kilometers from the source, or at a location</p> <p>19 that's within 1 kilometer of maximum</p> <p>20 concentrations.</p> <p>21 That's the test that's most</p> <p>22 favorable to DEQ. And again, the monitors</p>	20	<p>1 which the PSD monitoring guidelines suggest</p> <p>2 the distances to a representative model are</p> <p>3 even less than 10 kilometers. But giving DEQ</p> <p>4 and NMU the benefit of the doubt that it's 10</p> <p>5 kilometers, all the monitors are again well</p> <p>6 outside that 10 kilometer radius.</p> <p>7 JUDGE SHEEHAN: But is it the area of</p> <p>8 maximum impact that's the threshold here? Five</p> <p>9 kilometers may be maximum, but that doesn't mean</p> <p>10 that anything outside of 5 kilometers isn't</p> <p>11 still measurable and represents the ambient</p> <p>12 representative air quality data necessary.</p> <p>13 MR. BENDER: Under the PSD guidelines,</p> <p>14 it's an either/or. And it's actually three,</p> <p>15 three options. Ten kilometers within</p> <p>16 1 kilometer of the source's maximum impact, or</p> <p>17 within 1 kilometer of the source, plus other</p> <p>18 contributing sources in the area's maximum</p> <p>19 impact. And we don't have that point. We have</p> <p>20 the point of maximum impact in this plant, and</p> <p>21 that's within 5 kilometers.</p> <p>22 It's likely that the maximum</p>
19	<p>1 here, even the closest monitor that you</p> <p>2 referenced is 82 kilometers away.</p> <p>3 JUDGE SHEEHAN: What about the</p> <p>4 document, the Appendix C to the permit</p> <p>5 application showing a 5 kilometer radius area</p> <p>6 out from the facility? What relevance or weight</p> <p>7 does that have?</p> <p>8 MR. BENDER: If I understand the</p> <p>9 document you're referencing, it's a document</p> <p>10 that shows the Cartesian modeling grid.</p> <p>11 JUDGE SHEEHAN: Right.</p> <p>12 MR. BENDER: And so the facility and</p> <p>13 MDEQ modeled the impact from the plant and</p> <p>14 determined the maximum impacts from this boiler</p> <p>15 would be within that 5 kilometer radius. And so</p> <p>16 under the PSD monitoring guideline, the two</p> <p>17 options -- again, assuming that this was a flat</p> <p>18 terrain area with no atmospheric conditions, the</p> <p>19 furthest out that the monitor could be was 10</p> <p>20 kilometers.</p> <p>21 I note that Marquette, Michigan is</p> <p>22 on Lake Superior, which is on a water body</p>	21	<p>1 combined impact area is in that range as</p> <p>2 well. And so again, that's the first option</p> <p>3 under that section of the PSD monitoring</p> <p>4 guidelines is the most beneficial for NMU,</p> <p>5 NDEQ, and again, we're five times that</p> <p>6 distance at the closest monitor.</p> <p>7 JUDGE SHEEHAN: Can we turn to your</p> <p>8 BACT 2.5 argument?</p> <p>9 MR. BENDER: Yes.</p> <p>10 JUDGE SHEEHAN: Let me begin with a</p> <p>11 question, if I may. The Seitz surrogate policy,</p> <p>12 PM 10 from PM 2.5, has been in existence since</p> <p>13 1997, was re-affirmed by rule in 2005. Your</p> <p>14 argument seems to be that the May rule-making</p> <p>15 this year that grandfathered in the policy,</p> <p>16 because that rule-making wasn't effective until</p> <p>17 July of this year and the permit issues occurred</p> <p>18 here before July, because the rule wasn't</p> <p>19 effective until July, the surrogate policy</p> <p>20 somehow doesn't exist until the rule -- this</p> <p>21 rule says it does, even though it's been vitally</p> <p>22 used as far as we can tell for the last 11</p>

22	<p>1 years.</p> <p>2 MR. BENDER: Your Honor, our position</p> <p>3 is that the rule does not apply. There's no</p> <p>4 legislative rulemaking that allows the surrogate</p> <p>5 policy to be used because the plant comes before</p> <p>6 the effective date. Instead, to the extent that</p> <p>7 the surrogate policy would apply, it has to rely</p> <p>8 on the two guidance memos and the weight of that</p> <p>9 authority and the -- how convincing that</p> <p>10 argument is made --</p> <p>11 JUDGE SHEEHAN: So if the May</p> <p>12 rulemaking didn't exist at all, it never</p> <p>13 occurred, would your view be that the surrogate</p> <p>14 policy existed or did not exist?</p> <p>15 MR. BENDER: Sierra Club's position</p> <p>16 would be that the memo certainly existed and a</p> <p>17 surrogate policy existed, it'd be our position</p> <p>18 that that policy is unlawful as applied to BACT</p> <p>19 determinations. And the memos provide as their</p> <p>20 basis difficulties -- technical difficulties in</p> <p>21 modeling and monitoring primarily. And --</p> <p>22 JUDGE SHEEHAN: That doesn't seem to</p>	24	<p>1 2.5, PM 10 equivalent, then we'd have to rely</p> <p>2 on those memos.</p> <p>3 Then we also said that those memos</p> <p>4 are no longer convincing maybe, because what</p> <p>5 they relied on as the basis, the policy, it's</p> <p>6 the actual basis for using that surrogacy</p> <p>7 approach no longer exists in May of 2008,</p> <p>8 when this permit was --</p> <p>9 JUDGE REICH: If we were to conclude</p> <p>10 that this surrogacy was appropriate, have you in</p> <p>11 this proceeding or below challenged the PM 10</p> <p>12 BACT analysis in and of itself, or have you</p> <p>13 accepted that to the extent that there was an</p> <p>14 analysis relative to PM 10, that that was an</p> <p>15 acceptable BACT analysis for PM 10 -- there</p> <p>16 should have been one for 2.5?</p> <p>17 MR. BENDER: We have not challenged</p> <p>18 the PM top-down BACT analysis. We think that</p> <p>19 they're not equivalent. And actually in</p> <p>20 Northern Michigan University's brief I think is</p> <p>21 one of the best examples of why they shouldn't</p> <p>22 be treated as equivalents here.</p>
23	<p>1 me what you argued in your brief. You seem to</p> <p>2 say in your brief that because the effective</p> <p>3 date of the rule is July, and the rule requires</p> <p>4 the use of a surrogate policy until that point,</p> <p>5 that the surrogate policy wasn't even applicable</p> <p>6 until July.</p> <p>7 MR. BENDER: I'm sorry if that's what</p> <p>8 we conveyed. And the guidance memos clearly</p> <p>9 existed to the extent that that constitutes --</p> <p>10 JUDGE WOLGAST: You're not saying that</p> <p>11 this permit is not within the timing ambit of</p> <p>12 the surrogate policy memo and the Seitz memo.</p> <p>13 You're just arguing that the underlying</p> <p>14 principle of conflating PM 10 and the 2.5 is</p> <p>15 unlawful. Is that correct?</p> <p>16 MR. BENDER: Right. I think that's</p> <p>17 correct, and let me try to clarify.</p> <p>18 We are saying that the permit here</p> <p>19 does not fall within the May 16, 2008</p> <p>20 regulation. So we're looking only at the</p> <p>21 guidance memo. And if the guidance memos are</p> <p>22 lawful and if they are justified using a PM</p>	25	<p>1 JUDGE SHEEHAN: If the only issue</p> <p>2 before us was whether the PM 10 BACT analysis</p> <p>3 was acceptably done, you would not challenge</p> <p>4 that the PM 10 analysis was acceptably done,</p> <p>5 only its use as a surrogate for 2.5.</p> <p>6 MR. BENDER: Sierra Club does not</p> <p>7 challenge in this case the PM 10 top-down BACT</p> <p>8 analysis for PM 10. But again, the Northern</p> <p>9 Michigan University's brief identifies the test</p> <p>10 method which Northern Michigan University thinks</p> <p>11 that the permit requires. And again, we say it,</p> <p>12 albeit if it's not clear, that this is the case.</p> <p>13 But if it is that the test method is that NSPS</p> <p>14 test method, a filterable only particulate test</p> <p>15 method, it highlights why PM 10 BACT limit in</p> <p>16 this case is not representative of PM 2.5 BACT.</p> <p>17 Because PM 2.5 is a majority of -- PM 2.5 from</p> <p>18 production sources is condensable fraction. And</p> <p>19 so the BACT limit, the PM 10 BACT limit, would</p> <p>20 limit a fraction, 20 percent, a little bit more</p> <p>21 than 20 percent of the total PM 2.5. Because PM</p> <p>22 2.5 is -- consists mostly of a condensable</p>

26	<p>1 fraction.</p> <p>2 JUDGE SHEEHAN: If there are no</p> <p>3 further questions on that issue, can we turn to</p> <p>4 your increment argument, increment consumption?</p> <p>5 I'll begin with Question E.</p> <p>6 The scheme set out you've certainly</p> <p>7 reflected in the NSR Manual is that</p> <p>8 increments are set after a baseline is set.</p> <p>9 And the baseline, 775, is nailed down. And</p> <p>10 then emissions after that consume increment</p> <p>11 or if emissions come offline after that time,</p> <p>12 the increment pot can grow.</p> <p>13 Page 10 of the manual, C-10 of the</p> <p>14 manual, says that emission increases that</p> <p>15 consume increment are those occurring after</p> <p>16 the baseline is set, not before. Your</p> <p>17 argument seems to be that you measure the</p> <p>18 actual emissions after the baseline, and then</p> <p>19 all of the emissions pre-baseline and</p> <p>20 post-baseline consume increment. Thus, you</p> <p>21 come up with a figure around 16,000 tons of</p> <p>22 increment consumed by the WEPCO-PIPP plant.</p>	28	<p>1 definition of -- that doesn't fall within any</p> <p>2 of those definitions of actual emissions.</p> <p>3 And it doesn't fall within the research</p> <p>4 review manual's discussion either.</p> <p>5 JUDGE SHEEHAN: That's not</p> <p>6 quite -- we'll get to that. That's not quite</p> <p>7 what I was asking.</p> <p>8 Say, for example, you had a</p> <p>9 facility in 1970, say, and maybe 7 units of</p> <p>10 pollution, and the baseline was set in 1975.</p> <p>11 Sometime after that, there was a modification</p> <p>12 and another three -- additional three units</p> <p>13 of pollution were emitted. Would your</p> <p>14 argument be that the increment consumption at</p> <p>15 that point -- post-1975 -- was 3 units or 10,</p> <p>16 pulling in the original 7 as well?</p> <p>17 MR. BENDER: It would be the 24 months</p> <p>18 before the relevant data. And I think the</p> <p>19 relevant data is why that baseline is</p> <p>20 established. So --</p> <p>21 JUDGE SHEEHAN: So would the</p> <p>22 modification increment consumption include</p>
27	<p>1 Can you explain your theory of how the</p> <p>2 increment principle works in the PSD world?</p> <p>3 MR. BENDER: Yes, Your Honor. The Act</p> <p>4 and the PSD rule distinguish between the major</p> <p>5 source baseline data and the minor source</p> <p>6 baseline data, and between the major sources and</p> <p>7 minor sources. And it says, the plain language</p> <p>8 is that the actual emissions as defined by the</p> <p>9 cross-references -- the regulatory</p> <p>10 definition -- from a major source constructed</p> <p>11 after the baseline data consumes increment. And</p> <p>12 that the only two possible definitions of actual</p> <p>13 emissions are the 24-month annual average or the</p> <p>14 potential to emit.</p> <p>15 And what we're saying in this case</p> <p>16 is DEQ did not do that. And what they claim</p> <p>17 to have done is say I've taken the difference</p> <p>18 between a single year, 1973, and another</p> <p>19 single year, 2006, taken the difference and</p> <p>20 determined that to be the amount of emissions</p> <p>21 from the -- entities' Preque Isle plant that</p> <p>22 consumes increment. And that's not the</p>	29	<p>1 emissions that were set, that were included in</p> <p>2 the original baseline, or not?</p> <p>3 MR. BENDER: Maybe I'm not</p> <p>4 understanding, I'm sorry. The original</p> <p>5 baseline, are you referring to it as the '73</p> <p>6 emissions or the '75 emissions?</p> <p>7 JUDGE SHEEHAN: The seven units of</p> <p>8 pollution that were included in the original</p> <p>9 baseline. Would those seven units be included</p> <p>10 in the increment calculation post-baseline? Or</p> <p>11 would it just be the additional three that</p> <p>12 increase after the seven, after the baseline is</p> <p>13 set?</p> <p>14 MR. BENDER: It would be all.</p> <p>15 JUDGE SHEEHAN: All 10?</p> <p>16 MR. BENDER: All 10.</p> <p>17 JUDGE SHEEHAN: Then what happens to</p> <p>18 the -- you're double counting? Because the</p> <p>19 seven went into the original baseline, so you</p> <p>20 counted them then and now you count them as</p> <p>21 increment-consuming as well, so they're counted</p> <p>22 twice?</p>

30

1 MR. BENDER: Well, the regulation says
2 that they're not in the baseline, so they'd be
3 increment -- those emissions from -- and the way
4 the regulation reads is the actual emissions
5 from the source. And it's not the modification.
6 The regulations says the actual emissions from
7 the source are outside the baseline in consumed
8 increments. So they wouldn't be -- I think to
9 answer your question, they wouldn't be in the
10 baseline and increment consuming. They just
11 wouldn't be in the baseline.
12 JUDGE SHEEHAN: My question was that
13 they were in the baseline. They were alive and
14 well. They were out there at the time the
15 baseline was calculated. So it seems natural
16 that they would be having been included in the
17 baseline. What would the baseline encompass if
18 not actual emissions as of that point, as of
19 1975?
20 MR. BENDER: And the way Congress
21 defined it is it's a concept that is -- whatever
22 the -- it should be the air quality in the area

31

1 or the modeling representative of the air
2 quality in the area, but then there's provisions
3 or provisos to that. And some things are
4 subtracted from the baseline if certain events
5 occur. And one of those events is construction,
6 which is then defined to include a modification.
7 So a source that is -- a major source that is
8 constructed or modified after '75 is, by that
9 definition, not within the baseline
10 concentration.
11 JUDGE SHEEHAN: But if there
12 was -- yes, go ahead.
13 JUDGE WOLGAST: Are you saying then
14 that you would recalculate the baseline at that
15 point as well as the increment? When you have a
16 modification post-establishment of the baseline,
17 are you saying you'd recalculate the baseline?
18 MR. BENDER: Conceptually, that's what
19 happens. But I would note that when the
20 modeling is done for the PSD permitting, the
21 modeling is just of the increment and it's
22 compared to whatever the increment is. And so

32

1 there's a list of sources that are
2 increment-consuming. Their emissions are
3 modeled, and then that total from the
4 increment-consuming source list is then compared
5 to the increment. I'm not aware that the actual
6 baseline concentration is a number that's
7 calculated. It's a calculation of
8 increment-consuming sources compared to the
9 increment. So if a source is modified
10 after -- a major source is modified, major
11 modification, it qualifies as construction.
12 JUDGE WOLGAST: But one thing I'm
13 having trouble with is at the point that they
14 establish the baseline, then an increment is
15 calculated based on then-available new potential
16 emissions that is the delta between the baseline
17 and then the max itself to ensure that the area
18 stays in attainment. The increment then -- I'm
19 just -- I'm having a lot of trouble with the
20 fact that when you pull any new facility or any
21 new modification that then gets sort of taken
22 out of the pre-baseline and then moved over to

33

1 the other side of the ledger, in my mind,
2 increment would not have been calculated the way
3 it was, if in fact all of those emissions now
4 are moving from one side of the ledger to the
5 other side of the ledger.
6 MR. BENDER: I think -- to answer your
7 question, the increment is established in the
8 regulations. For example, a 24-hour SO₂ is 5
9 microns per cubic liter. When a permit
10 application comes in, the permit applicant
11 identifies what's called map sources. All
12 sources will be modeled for map compliance.
13 It also identifies PSD
14 increment-consuming sources. And those PSD
15 increment-consuming sources are then used to
16 run a separate and additional modeling
17 result. And that modeling result is compared
18 to the increment, the 5 microns. And so what
19 you're doing is you're just making your PSD
20 increment-consuming sources list more
21 inclusive by including those sources that
22 major modifications -- major modified sources

34

1 that were modified after the baseline date.
2 That source would be included in
3 that modeling runs of the PSD sources. Then
4 that result is compared to the increment
5 threshold, so it'd be the 5 microns, for
6 example, in the class 1 monitor.
7 JUDGE REICH: I go back one step. I
8 understand, I think, the significance of whether
9 something was in or not in based on -- but how
10 is the baseline calculation used? What is the
11 significance of the number you would generate by
12 generating a baseline calculation?
13 MR. BENDER: I see my time is up, Your
14 Honor. I think that answer in the way that I
15 understand it is these permit applications and
16 analysis are wrong is that the baseline does not
17 figure. The application doesn't identify what
18 the baseline was.
19 It only identifies what the
20 increment consumption is and then compares
21 that to the --
22 JUDGE REICH: So you're saying whether

35

1 this was still included or backed out of the
2 baseline wouldn't have any real significance?
3 The only real significance is whether it's
4 counted towards the increment.
5 MR. BENDER: Right. The significance
6 of it is whether or not it counts towards which
7 sources -- consumed increment are included in
8 that --
9 JUDGE REICH: Right. But it's a focus
10 on consuming increment, not being or not being
11 part of the baseline.
12 MR. BENDER: Right. I don't think
13 identifying what that baseline was as a number
14 in 1975 or today is critical or -- I don't even
15 know that it's looked at. Instead, what it's
16 focused on the amount of increment and how much
17 will exist. Thank you.
18 JUDGE SHEEHAN: I think I'd like to
19 hold you up for a few more minutes if I could, a
20 few more areas yet to go through. Modeling?
21 You seem to be arguing that the -- to take an
22 example, PM and SO2, that the average periods

36

1 used for the permit limits, permit limits, to
2 align with the NAAQS and increment standard
3 limits in average periods, that the PM and SOX
4 average periods in the permit were generally
5 longer, more hours than the very short NAAQS
6 increment standard time periods.
7 The response to comments by NMU is
8 certainly not very detailed. But in their
9 brief, they make the argument that they did
10 do the calculation that you asked for after
11 all and it came up with 87 pounds per hour.
12 And that reflects short-term emission limits.
13 What's wrong with that?
14 MR. BENDER: The 87 pounds per hour is
15 not an hourly limit and it's not a maximum
16 theoretical emission. Instead, it's taking the
17 24 -- my understanding it's taken a 24-hour
18 limit or the 24-hour emissions, assuming the 2
19 pounds per million BTU SO2 limit, for example,
20 and dividing it by 24. So it assumes that the
21 24-hour limit is actually a 1-hour limit,
22 enforceable on a 1-hour period, but it's not.

37

1 You know, within that 24-hour period, the source
2 could still comply with the 24-hour average and
3 have double the hour emission rates as long as
4 it made up for that during the 24-hour period by
5 reducing operations or burning of cleaner fuel,
6 such as wood. There's no protection in the
7 limits of a certain average because the limits
8 aren't enforceable that short-term --
9 JUDGE SHEEHAN: So what they claim is
10 a 1-hour limit, you're saying is in reality a
11 24-hour limit?
12 MR. BENDER: That's correct. When you
13 look at the permit, Your Honor, there's for PM
14 -- or SO2, for example, there's a 30-day and a
15 24-hour limit. There's no hour limit, there's
16 no 3-hour limit, which is different from what
17 many permitting sources or permitting agencies
18 do. And I think we included one example as an
19 exhibit where the agency will set limits -- a
20 30-day limit, an annual limit maybe, 24-hour
21 limit, and a 3-hour limit -- and it will model
22 each of those for the relevant mass and

38	<p>1 increment. And that's consistent with the NSR 2 Manual that says model with the maximum, either 3 the maximum physical capacity or the enforceable 4 limit, when there is an enforceable limit that 5 corresponds to the average in the period. 6 JUDGE SHEEHAN: Thank you. Lastly, 7 turning to the Class 1 increment issue. 8 MR. BENDER: Yes. 9 JUDGE SHEEHAN: The NSR Manual sets 10 out a 1-microgram limit as far as a trigger for 11 the Class 1 analysis goes. You seem to think 12 that's -- I guess you argue in your brief it's 13 unlawful. Is there any limit existing in your 14 mind that's so low that no analysis needs to be 15 done, or any distance so great from the source 16 to the area of impact, the Class 1 impact area, 17 that would not require the Class 1 analysis to 18 be done? 19 MR. BENDER: I think the act prohibits 20 any contribution to a violation. So I think 21 under the act, that's the only option. 22 If your question is whether</p>	40	<p>1 there are numerous power plants. And there's 2 two power plants of numerous units at each in 3 Marquette, Michigan. There are mining 4 operations there. There's this boiler and there 5 are power plants in Northern Wisconsin as well. 6 I mean, when you include all of those, all of 7 those increment-consuming sources, it's 8 certainly foreseeable. 9 JUDGE SHEEHAN: What about the 10 practical reality here that the state did 11 contact the federal land managers at Seney and 12 Isle Royale, both of whom said we don't have a 13 problem. 14 MR. BENDER: I think that was the for 15 the AQRV analysis, Your Honor. And the AQRV 16 analysis and the increment analysis need to be 17 run separately. And there's no authority in the 18 act or in the regulations or in any guidance I'm 19 aware of for the federal land manager to waive 20 the increment analysis. The act is pretty clear 21 that to be able to obtain a permit, the 22 applicant has to demonstrate compliance with</p>
39	<p>1 actively speaking, is there anything that's 2 de minimis, that there's such a low 3 concentration, I think if there is, it's much 4 lower than what was actually modeled for this 5 plant. This plant model had a 0.42 microns 6 per cubic meter for 24-hour SO2. That's over 7 8 percent of the relevant increment. When 8 the EPA has proposed in the past to do 9 significant impact levels by rule, it has 10 used a metric of 4 percent of the relevant 11 increments. So based on that standard, which 12 I think is still too high, even based on that 13 metric, this is still double that. 14 JUDGE SHEEHAN: So it's less than half 15 of what the NSR Manual sets out, but it's still 16 in your mind unacceptable? 17 MR. BENDER: That's right, Your Honor. 18 The NSR Manual, and I note that it's included in 19 a footnote in the NSR Manual, but the NSR Manual 20 is 24-hour 1-micron standard. It's 20 percent 21 of the entire increment for all 22 increment-consuming sources in an area where</p>	41	<p>1 increment. They cannot cause or contribute to a 2 violation of increment. 3 JUDGE SHEEHAN: So you're saying that 4 the state did not provide all the information to 5 the land managers at Seney and Isle Royale? 6 MR. BENDER: What I'm saying is that 7 the state did not conduct an increment analysis 8 to know whether or not the increment was 9 violated or not. Based on the model 10 concentration that they did run, the screening 11 model, it showed 8 percent, which is a pretty 12 significant number for the entire increment in 13 that Class 1 area to know whether the increment 14 itself has been violated or not. Just didn't 15 run that model to know. 16 JUDGE REICH: Okay, thank you. Mr. 17 Gordon? 18 MR. GORDON: Good morning. 19 JUDGE REICH: Good morning. 20 MR. GORDON: I'd like to reserve 5 21 minutes of the 30 minutes that I'm allotted for 22 rebuttal.</p>

42	<p>1 Your Honors, Petitioner identifies</p> <p>2 a whole range of issues on which they</p> <p>3 disagree with the conclusions of the Michigan</p> <p>4 Department of Environmental Quality. And I</p> <p>5 think it's important to remember before we</p> <p>6 get into the specific issues what the</p> <p>7 standard of review here is. And that is that</p> <p>8 they have to demonstrate that there's been a</p> <p>9 clear error.</p> <p>10 I think when we delve into each of</p> <p>11 the individual issues, you'll find that there</p> <p>12 actually hasn't been any demonstration of</p> <p>13 clear error. In fact, when you look at them</p> <p>14 carefully, they haven't actually shown any</p> <p>15 issue at all. They've simply demonstrated</p> <p>16 that they don't agree with the way the DEQ</p> <p>17 went about its analysis.</p> <p>18 There are a whole host of issues.</p> <p>19 I'm going to present them, if it would please</p> <p>20 the Court, in the order in which they were</p> <p>21 arranged, if that's fine with you.</p> <p>22 JUDGE SHEEHAN: As sort of a general</p>	44	<p>1 JUDGE SHEEHAN: But if we turn in that</p> <p>2 regard to storage, Mr. Kucera, could you put up</p> <p>3 the facility design document submitted by the</p> <p>4 state here? There's the facility.</p> <p>5 Let me ask you questions, if I may,</p> <p>6 Mr. Gordon, about that. In the center near</p> <p>7 the bottom, you see the wood silo capacity,</p> <p>8 which appears to be a fairly large area</p> <p>9 compared to the coal silo, which is above and</p> <p>10 to the left of the wood silo, the little</p> <p>11 square building? The storage area for wood</p> <p>12 generally, including the silo and to the</p> <p>13 right, the handling building and the wood</p> <p>14 hopper, appear much larger than the coal</p> <p>15 storage area. Is that accurate that there's</p> <p>16 a lot more capacity to store wood than coal,</p> <p>17 as seems to be reflected here in this design?</p> <p>18 MR. GORDON: Well, I think the</p> <p>19 question is how many days of capacity it is.</p> <p>20 And what the university submitted in its permit</p> <p>21 application was that the storage capacity at</p> <p>22 this site for coal and for wood is a three-day</p>
43	<p>1 backdrop question, the very first page of the</p> <p>2 application said that the intention was for the</p> <p>3 CFB to operate 100 percent on wood. Then per an</p> <p>4 addendum several months later, you also repeated</p> <p>5 that general thought that the primary fuel would</p> <p>6 be wood. Then you turned to the fact sheet in</p> <p>7 the permit and you see, as was earlier</p> <p>8 indicated, coal 22 days per month. Wood</p> <p>9 obviously seven or eight days. How do you</p> <p>10 square not necessarily a legal issue, but how do</p> <p>11 you square the proclamation of your intention to</p> <p>12 use so much wood, and then, in reality, seems to</p> <p>13 be anything but?</p> <p>14 MR. GORDON: I think the basis for the</p> <p>15 mix of coal and wood that are to be burned at</p> <p>16 the facility and on which the SO2 emission</p> <p>17 limits are based is based on two factors: One,</p> <p>18 it's based on the limited storage capacity for</p> <p>19 any fuel at the facility, be it wood or coal;</p> <p>20 and two, it's based on the reality that the wood</p> <p>21 fuel deliveries during those winter months will</p> <p>22 be disrupted.</p>	45	<p>1 fuel supply for each of those separately. Three</p> <p>2 days fuel supply of wood.</p> <p>3 JUDGE SHEEHAN: Your papers did not</p> <p>4 say separately. It said three days fuel supply</p> <p>5 without any differentiation between them.</p> <p>6 MR. GORDON: Their permit application</p> <p>7 indicates that there's two silos, and that it is</p> <p>8 a three-day supply for wood and a three-day</p> <p>9 supply for coal. And I don't know on this map,</p> <p>10 on this schematic, does it indicate that the</p> <p>11 wood silo building is of a larger area than of</p> <p>12 the coal silo, coal storage area? It is a silo.</p> <p>13 Yes. I think the question is, is</p> <p>14 there anything in the record to demonstrate</p> <p>15 that the capacity is less than a three-day</p> <p>16 storage capacity, as represented? And DEQ --</p> <p>17 JUDGE SHEEHAN: Well, let's talk about</p> <p>18 capacity. If you look to say Lot 19 up there at</p> <p>19 the top and to the left -- Mr. Kucera, could you</p> <p>20 slide, yes, to the left just to Lot 22, which is</p> <p>21 the large area. If you could slide it the other</p> <p>22 -- there we go. So Lot 19 and Lot 22 appear</p>

46

1 both vast and empty. The area around the Ripley
2 Heating Plant in the top right corner has a
3 buffer to the top and right, but also appears
4 large and vacant. Why is it that the storage
5 capacity is so stringent and constricted, as you
6 indicate, when your own map seems to indicate
7 anything but?
8 MR. GORDON: Frankly, I don't know if
9 it's fair to conclude that those large -- those
10 maps are vacant, to be honest with you. I think
11 --
12 JUDGE SHEEHAN: There's nothing on
13 them like there is in the rest --
14 MR. GORDON: There's nothing on them
15 represented in this schematic, but in this
16 diagram --
17 JUDGE SHEEHAN: Well, that's the
18 record you gave us. What else do we have to go
19 from?
20 MR. GORDON: I think it's based on the
21 representation of the university as to the
22 diagram represents what's at the Ripley Fuel

47

1 Heating Plant.
2 I don't think they endeavored to
3 try to show what's on other lots. As I read
4 their application, they're not diagraming and
5 indicating every structure on adjacent lots.
6 JUDGE SHEEHAN: Well, it certainly
7 raises the question -- there was no way that
8 evidently the university really attempted to
9 really clarify for us the true facts on the
10 ground there. And what they did give us appears
11 to show that there's a lot less storage
12 capacity.
13 MR. GORDON: I don't think so. I
14 think the representation on the record is that
15 the capacity of what is for storage for each of
16 those fuels is three days. The DEQ examined it.
17 It looked at that issue and that -- there's
18 nothing to contradict that other than, I
19 suppose, a potential surmise that maybe you
20 could have something on some adjacent lot. But
21 that's not -- there's nothing in the record to
22 actually demonstrate and overcome to show that

48

1 there was clear error in that regard.
2 JUDGE SHEEHAN: Well, it could well be
3 that it's true there is a three-day storage
4 capacity for the areas denominated for storage.
5 But it doesn't mean that there aren't other
6 areas available for storage that simply weren't
7 used.
8 MR. GORDON: You know, I suppose we
9 could speculate that there, you know, someplace
10 a block away, two blocks away, there may be. As
11 to what that would mean in terms of
12 reconfiguring the plant in terms of being able
13 to then have a conveyor to actually have the
14 wood from a facility two blocks away, a storage
15 facility two blocks away, being able to feed
16 that into the boiler, those are all issues that,
17 frankly, were not presented in the record. I
18 think the question here is --
19 JUDGE REICH: Well, who's burden is
20 it? I mean, if a central part of the BACT
21 analysis relates to storage, is there really
22 someone like Sierra Club's burden to find and

49

1 make arguments for additional storage or is it
2 not your burden as the permit issuer to explore
3 what possibilities exist for storage that would
4 allow for a more stringent limit and make a
5 determination as to whether those possibilities
6 are there or not?
7 MR. GORDON: I think when you apply
8 that question to this case, the burden is on the
9 Sierra Club here. Here, the record demonstrates
10 the permit application --
11 JUDGE REICH: I'm not talking about
12 the appeal stage. I'm talking about at the
13 basic permit issuance stage.
14 MR. GORDON: Permit issuance stage.
15 The information presented to the DEQ is that the
16 capacity of storage at this facility is three
17 days of wood here.
18 JUDGE REICH: And you have no
19 independent obligation to verify that
20 information?
21 MR. GORDON: No, DEQ reviewed it and
22 considered whether there was room for more

50	52
<p>1 storage capacity at this facility.</p> <p>2 JUDGE REICH: So you did consider</p> <p>3 whether there was room for more? You did an</p> <p>4 independent analysis to that and that</p> <p>5 independent analysis is part of the record?</p> <p>6 MR. GORDON: I think what DEQ -- it</p> <p>7 shows that the DEQ reviewed it, reviewed their</p> <p>8 permit application. The response to comments</p> <p>9 says that based on the review of it, they were</p> <p>10 satisfied that in fact, that was the capacity.</p> <p>11 In those circumstances, I think it's incumbent</p> <p>12 upon the Petitioner to say no, there's something</p> <p>13 wrong with that. You didn't actually look at X,</p> <p>14 Y, and Z. And if you had looked at X, Y, and Z,</p> <p>15 there would be clear error.</p> <p>16 JUDGE REICH: Do you know --</p> <p>17 MR. GORDON: And they haven't done</p> <p>18 that here.</p> <p>19 JUDGE REICH: Is there anything in the</p> <p>20 record that actually is an analysis, or is there</p> <p>21 just the recitation that you looked at it and</p> <p>22 reached this conclusion?</p>	<p>1 application had come in describing the boiler</p> <p>2 precisely the same way it did, it never</p> <p>3 mentioned wood, that as part of the BACT</p> <p>4 analysis, you would have had to consider wood as</p> <p>5 an option in terms of fuel?</p> <p>6 MR. GORDON: You know, I think the</p> <p>7 question as to other -- given the physical</p> <p>8 circumstances and the physical capabilities of</p> <p>9 the boiler, whether it can in fact burn other</p> <p>10 fuels is something that you would then -- you</p> <p>11 have to perform doing a top-down BACT analysis</p> <p>12 as to the technological availability. Is it</p> <p>13 available? You know, the technological</p> <p>14 feasibility -- I mean, CFBs can burn other</p> <p>15 fuels. I think that's one of their advantages.</p> <p>16 Then the question is, I think you</p> <p>17 would need to perform your top-down BACT</p> <p>18 analysis.</p> <p>19 JUDGE SHEEHAN: One other question</p> <p>20 while I have the scheme up there, the design.</p> <p>21 You indicate that there's no room on-site to</p> <p>22 take anything but Marquette or Presque coal,</p>
51	53
<p>1 MR. GORDON: I think the information</p> <p>2 that's in the record as to the capacity is,</p> <p>3 frankly, the information, primarily what's in</p> <p>4 there, in their permit application as to how the</p> <p>5 facility will be configured, the fact that</p> <p>6 there's not only fuel storage, but you have to</p> <p>7 take into account when you have fuel storage how</p> <p>8 you're going to feed that fuel on the facility</p> <p>9 grounds into the boiler.</p> <p>10 I mean, there's a schematic I</p> <p>11 think, and the diagram reflects not only the</p> <p>12 silos, but also the actual area that you need</p> <p>13 for delivery, the area that you need to then</p> <p>14 store it, the area that you need to take it</p> <p>15 from the storage and feed it into the boiler.</p> <p>16 When you take all of that into account, I</p> <p>17 think the record shows that in fact, the</p> <p>18 capacity is a fuel storage capacity.</p> <p>19 JUDGE REICH: Can I ask a different</p> <p>20 question while I still have the floor? Do you</p> <p>21 agree with the position put forth by Sierra Club</p> <p>22 -- and if not, why not -- that if this</p>	<p>1 which I'll refer to as MPI coal. There seems to</p> <p>2 be no differentiation in even the coal storage</p> <p>3 area between one kind of coal and another.</p> <p>4 Where does the statement in the record come to</p> <p>5 the effect that there's no room for any other</p> <p>6 kind of coal but those two?</p> <p>7 MR. GORDON: I don't think the</p> <p>8 contention is that there's no room or -- for any</p> <p>9 other type of coal. I think what the university</p> <p>10 represented in its application was that it was</p> <p>11 going to burn coal from two other sources. I</p> <p>12 shouldn't say "two other," from two sources:</p> <p>13 Either the Wisconsin Electric Presque Isle power</p> <p>14 plant or the other utility that's in the area,</p> <p>15 the Marquette Board of Light and Power. And so</p> <p>16 the analysis then in terms of we're getting into</p> <p>17 this issue as to who are the -- was the SO2</p> <p>18 emission limit based on the lowest sulfur --</p> <p>19 JUDGE SHEEHAN: Wait, let's talk about</p> <p>20 your statement. You used the word "will," which</p> <p>21 does come from the permit application. It does</p> <p>22 come from the evaluation form. Both say that</p>

54

1 the coal burned "will" be Marquette or Presque
2 Isle coal. What kind of inquiry did you all do
3 to look into whether other coals outside of
4 those two plants would be available? Why was it
5 the focus from the beginning, apparently, only
6 on those two and no more?
7 MR. GORDON: I think the focus is on
8 those two because those are the two supplies of
9 coal that are available in Marquette.
10 JUDGE SHEEHAN: How do you know that
11 if you haven't done an analysis to see if there
12 are other coals available? I can't believe that
13 only those two plants in the upper North
14 Peninsula there would be the only supplies
15 available. There are coal sources all over that
16 region, and they're even referred to in your
17 evaluation form. You considered other coals
18 from other places. Why only Marquette or
19 Presque Isle at the end of the day and no more
20 beyond those two?
21 MR. GORDON: I think the answer is
22 because those were the two supplies that were

55

1 provided -- that were identified by the company.
2 JUDGE SHEEHAN: Well, that doesn't
3 sound like an analysis. It sounds like a fait
4 accompli.
5 MR. GORDON: I don't -- first of all,
6 I don't know if there was ever any -- the other
7 coal supplies we're talking about, looking at
8 coal to be shipped in from Wyoming or from other
9 sources, I mean, the reason why we're looking at
10 coal that can be provided from those two places
11 is because they can be trucked in. And given
12 the storage capacity, again, to be able to just
13 place stuff in silos, we're looking at what are
14 the coal supplies that can be provided by truck
15 delivery during the wintertime?
16 JUDGE SHEEHAN: But are these are the
17 only two within range for it to be trucked in?
18 I understand the distinction you're making, but
19 I don't even hear you saying you looked to see
20 whether there were other sources within that
21 range where it could be trucked from, as opposed
22 to you took it as a given that that's where it

56

1 would come from because that's what the
2 application set forth.
3 MR. GORDON: I think those were the
4 two that were looked at because if you start to
5 truck and rely on fuel deliveries from sources
6 that are more than the roughly quarter to a half
7 a mile distance from this plant to Presque Isle
8 Power Plant, or more than the roughly one mile
9 distance from this plant to the Marquette Board
10 of Light and Power, you're going to start run
11 afoul of the same problems regarding winter
12 supply disruptions.
13 If you say, well, you could get
14 something from a coal supply that's 50, 75,
15 100 miles away, you're going to have some of
16 those same problems. The whole point here is
17 that during the winter weather, where can the
18 university be assured of being able to get a
19 backup fuel supply? And it's those wood
20 supplies --
21 JUDGE SHEEHAN: And where is it
22 indicated --

57

1 MR. GORDON: Are disrupted.
2 JUDGE SHEEHAN: Where in the record is
3 it indicated what the distances are between
4 Marquette, Presque Isle, and NMU?
5 MR. GORDON: You know what? They're
6 not.
7 JUDGE SHEEHAN: I saw none.
8 MR. GORDON: I don't think there is
9 anything in the record. I think it is something
10 that I'm representing to you here. If you were
11 to go on the Internet, on to MapQuest, you'll
12 see that in fact, that is true. It's easily
13 deducible from, you know, available information.
14 JUDGE SHEEHAN: And it is part of the
15 representation you're making that it's not on
16 the record. Does that also include that these
17 are the two closest sources from which they
18 could obtain coal?
19 MR. GORDON: I'm not prepared to
20 represent that there isn't. Those are the only
21 two that I know of, yes. Yes. I don't want to
22 say something that is factually inaccurate

<p style="text-align: right;">58</p> <p>1 because --</p> <p>2 JUDGE SHEEHAN: Well, I appreciate</p> <p>3 that.</p> <p>4 MR. GORDON: Yes.</p> <p>5 JUDGE SHEEHAN: While we're on the</p> <p>6 issue of the stringency of the BACT analysis,</p> <p>7 Mr. Kucera, could you put up the printed</p> <p>8 evaluation form document? Thank you.</p> <p>9 About four paragraphs down, the</p> <p>10 paragraph beginning, "One of the lowest," we</p> <p>11 see that in the first few lines there, you</p> <p>12 had other options that were flagged. This</p> <p>13 270 megawatt plant with .022 pounds, 30-day,</p> <p>14 and .05 pounds, 24-hour -- both lower than the</p> <p>15 NMU ultimate limit using .4 sulfur coal or .9</p> <p>16 percent sulfur coal, both of which are lower</p> <p>17 than what we had here.</p> <p>18 Then skipping down to the paragraph</p> <p>19 with the numerical figures running down the</p> <p>20 left margin, the last point examined there,</p> <p>21 which most like NMU is a CFB boiler and no</p> <p>22 scrubber, as all the other ones in that same</p>	<p style="text-align: right;">60</p> <p>1 accepted by NMU. Why?</p> <p>2 MR. GORDON: I think the difference is</p> <p>3 the percent sulfur. It's that the percent</p> <p>4 sulfur that the university will be receiving</p> <p>5 from the Presque Isle Power Plant in particular</p> <p>6 has -- is by permit authorized to have a sulfur</p> <p>7 content of up to 1.5 percent sulfur by weight.</p> <p>8 JUDGE SHEEHAN: But the whole point</p> <p>9 thought of doing the BACT analysis was to show</p> <p>10 you a universe of other possibilities and help</p> <p>11 drive NMU to that point, not to say we're only</p> <p>12 going to focus on two nearby coals, none other,</p> <p>13 and that's the end of it. That doesn't sound</p> <p>14 like an analysis. It seems like a conclusion</p> <p>15 before an analysis.</p> <p>16 MR. GORDON: Well, I think we're</p> <p>17 circling back to the previous discussion which</p> <p>18 is that is .4 or .5 percent sulfur coal an</p> <p>19 available control option? To put it in terms of</p> <p>20 a BACT discussion, I think the answer that I'm</p> <p>21 representing today is it's not an available</p> <p>22 option.</p>
<p style="text-align: right;">59</p> <p>1 column are --</p> <p>2 MR. GORDON: I'm trying to follow</p> <p>3 along. Which --</p> <p>4 JUDGE SHEEHAN: The .103 at the bottom.</p> <p>5 MR. GORDON: Yes.</p> <p>6 JUDGE SHEEHAN: The preamble for that</p> <p>7 whole section there aligns these facilities</p> <p>8 pretty closely with NMU. And the fact that they</p> <p>9 both have -- all have boilers and not have</p> <p>10 scrubbers, like NMU. Here again, we have a</p> <p>11 permit limit that's better in terms of sulfur; a</p> <p>12 lower sulfur fuel, .45. And this permit of all</p> <p>13 the others is closest in size -- 44 megawatts to</p> <p>14 NMU -- and it's the most recent, 2006.</p> <p>15 So this seems quite close to the</p> <p>16 NMU situation. So there's that</p> <p>17 consideration, plus the one I just mentioned</p> <p>18 from three paragraphs above. Both of these</p> <p>19 other facilities, or both of these other</p> <p>20 analyses seem to provide some pretty good</p> <p>21 BACT limits for NMU. But for no reason</p> <p>22 that's apparent from this form, they weren't</p>	<p style="text-align: right;">61</p> <p>1 JUDGE SHEEHAN: Well, even between the</p> <p>2 two coals you say you will use, Marquette and</p> <p>3 Presque Isle, Presque Isle is 1 percent sulfur</p> <p>4 and Marquette is 1.5 percent. So there's a</p> <p>5 difference there, reversed.</p> <p>6 MR. GORDON: Or the other way around.</p> <p>7 JUDGE SHEEHAN: Okay. We saw them two</p> <p>8 different ways in the record. I'm not sure</p> <p>9 which is accurate, but one is higher than the</p> <p>10 other. But you elected to use only the higher</p> <p>11 as the sulfur limit driving the emission limits.</p> <p>12 So why was that? Why not go for the lower</p> <p>13 sulfur coal as the baseline rather than the</p> <p>14 higher sulfur coal?</p> <p>15 MR. GORDON: Because of the</p> <p>16 university's position that it's going to be --</p> <p>17 those are the two available supplies, and that,</p> <p>18 therefore, you're looking at the maximum. What</p> <p>19 is available to you, though? As to whether or</p> <p>20 not -- I will defer to the counsel for Northern</p> <p>21 Michigan as to whether or not it would be able</p> <p>22 to get all of its coal at all times during all</p>

62	64
<p>1 winter months from Marquette Board of Light and 2 Power. My understanding is that that's not the 3 case, and that at some times, it will need to be 4 able to receive coal from the Presque Isle Power 5 Plant. 6 And that therefore -- 7 JUDGE WOLGAST: Is there anything on 8 the record that reflects the availability one 9 way or the other? 10 MR. GORDON: I think what's in the 11 record is really what's in the permit 12 application, and then what's in the response 13 that really just sort of reinforce or restate 14 what I've just said. 15 JUDGE REICH: Following up on what 16 Judge Sheehan is saying, the common thread 17 sounds to me and in many of your responses is 18 that you set out to set limits that basically 19 would allow NMU to do what NMU had already 20 decided it wanted to do. And what I'm not 21 hearing is any element of technology forcing or 22 anything else that is supposed to be the essence</p>	<p>1 where are you going to be getting your coal 2 from? And the answer is -- 3 JUDGE SHEEHAN: So the coal is 4 cleaner, but the ultimate emission limit is no 5 better than in the original dirtier coal. How 6 does that work? 7 MR. GORDON: I'm not sure of the 8 answer to that. 9 JUDGE SHEEHAN: Going to weather 10 conditions. 11 You talked about snows and bad 12 weather interrupting fuel supplies. Why is 13 it that snow only somehow impedes the 14 delivery of wood, and coal seems to make it 15 through to the tune of an order of 3-to-1 16 more coal to wood? If weather is a problem 17 for any delivery, fuel or coal, why is it 18 that coal seems to make it through 22 days a 19 month and wood doesn't? 20 MR. GORDON: Why is it that coal is 21 able to be delivered? 22 JUDGE SHEEHAN: Yes. Coal somehow</p>
63	65
<p>1 of BACT. Why am I incorrect in the way I'm 2 hearing what you're saying? 3 MR. GORDON: Well, I don't think it's 4 accurate to say that the department is just 5 putting a rubber stamp on what the permit 6 application is. I think they are looking at it, 7 seeing if it makes sense, doing their own 8 review, and in this case, as to the percent 9 sulfur content of the available fuels, there's 10 agreement that is what is available. 11 JUDGE SHEEHAN: Why is it then that in 12 the original permit application you -- what 13 3.5 percent sulfur coal was proposed, and then 14 in response to perhaps comments from the state, 15 the sulfur limit went down to 1.5 percent 16 sulfur. Yet the permit, the ultimate emission 17 limits stayed the same, even though the coal, 18 the sulfur content of the coal came down rather 19 dramatically. 20 MR. GORDON: I think the answer to 21 that is that the DEQ went back and spoke with 22 the company and communicated with them as to</p>	<p>1 seems to surmount the weather difficulties you 2 spoke of. 3 MR. GORDON: I think it's the 4 proximity of the coal supplies. 5 JUDGE SHEEHAN: Well, where are the 6 wood supplies coming from? 7 MR. GORDON: The record shows that the 8 wood supplies is from independent suppliers that 9 were going to be bringing the wood in on logging 10 trucks from the surrounding area. 11 JUDGE SHEEHAN: And to my knowledge, 12 looking at the record, I see no indication 13 whatsoever in the record of where those wood 14 suppliers are. They could be off the front gate 15 of Ripley for all the record indicates, or they 16 could be 300 miles away. Where in the record do 17 you indicate where those suppliers are so that 18 we can understand why they might be more 19 adversely affected by the weather than the coal 20 -- 21 MR. GORDON: In the permit application 22 itself, at page 4, it said, "Wood chips are to</p>

66

1 be delivered by truck in bulk from independent
2 suppliers." I think that is in the permit
3 application itself at page 4.
4 JUDGE SHEEHAN: It doesn't help where
5 they are, whether they're 2 miles or 200 miles
6 out.
7 MR. GORDON: And then in the response
8 to comments, at page 12, it says, "A delivery of
9 40 tons of wood chips will occur once a day,
10 except on weekends, on routes used by logging
11 trucks." I think --
12 JUDGE SHEEHAN: Again --
13 MR. GORDON: "The routes used by
14 logging trucks," I mean, I think the -- what was
15 intended to be communicated by that -- by both
16 of those together is that the wood is not coming
17 from some stockpile inside Marquette. It's
18 coming from -- or outside the gate, as you say.
19 It's coming from independent suppliers that are
20 outside of the city and out in the Upper
21 Peninsula. And those are the two references in
22 the record.

67

1 I looked for -- I asked that same
2 question myself and wanted to find out where
3 they're getting their wood from.
4 JUDGE SHEEHAN: The beating heart of
5 the BACT analysis here seems to be Operational
6 Memorandum No. 20. That's --
7 MR. GORDON: I'm sorry, could you
8 repeat that? I was just noticing my yellow
9 light went on.
10 JUDGE SHEEHAN: I'm sure we'll go
11 over, so don't worry about that. The
12 Operational Memorandum No. 20 seems to be the
13 guiding light for how the state and how
14 facilities do the BACT analysis. Is that
15 correct? It was cited on the --
16 MR. GORDON: I have not reviewed
17 Operational Memo No. 20, to be honest with you.
18 What DEQ does is perform its BACT analysis. I'm
19 vaguely familiar with that.
20 JUDGE SHEEHAN: Well, it's your
21 document.
22 MR. GORDON: Yes.

68

1 JUDGE SHEEHAN: It's Michigan
2 Department of Environmental Quality, Air Quality
3 Division. It's your product.
4 MR. GORDON: Yes.
5 JUDGE SHEEHAN: On page 33 of the
6 permit application, it says that that's what
7 guides the BACT analysis. My question is that
8 after making that statement at least
9 rhetorically supportive of your guidance, it
10 says that the use of this guidance allows the
11 applicant to "circumvent the rigorous approach"
12 set forth in the NSR Manual.
13 Is it true that your own document
14 here appears to be taking a far different
15 path than the NSR Manual takes with its
16 five-step process for the top-down BACT
17 analysis?
18 MR. GORDON: I don't think it's meant
19 -- if the permit application used the term
20 "circumvent," I don't think that is what's
21 intended.
22 I think there -- my recollection

69

1 from that operational memo, that there are
2 certain -- if you want to call them
3 preliminary analyses, screening approaches to
4 see if a proposed emission limit satisfies
5 BACT, for example, reviewing what information
6 might be in the RACT/BACT/LAER clearinghouse
7 is my recollection, but that was one of the
8 sort of preliminary analyses that applicants
9 can use in order to -- first, as an initial
10 matter, see what other facilities are doing,
11 and whether their proposed emission limit
12 meets that threshold.
13 JUDGE SHEEHAN: The final few
14 paragraphs of your memo, after quoting at length
15 the NSR five-step process, then goes on to say
16 with reference to the NSR five-step process that
17 the AQD should "avoid" the NSR Manual because
18 the NSR Manual is too complex and it's difficult
19 to agree upon and it's time- and
20 resource-intensive, et cetera. It seems like a
21 repudiation of the NSR Manual.
22 MR. GORDON: Well, you know --

70

1 JUDGE SHEEHAN: Your own document; not
2 the permit application, but DEQ's --
3 MR. GORDON: I think that guidance
4 document was written, as I recall, back in the
5 -- what is it? At least in the early to
6 mid-'90s, if not before.
7 JUDGE SHEEHAN: 2005. Effective date
8 August 9, 2005.
9 MR. GORDON: Effective date -- okay, I
10 apologize then. That -- for one thing, that
11 document -- there's not any allegation that that
12 was what happened in this case. And so --
13 JUDGE SHEEHAN: You've referred to it
14 throughout the permit application.
15 MR. GORDON: But there was a -- but
16 the permit application lays out the BACT
17 analysis that they did, and there's not any
18 alleged circumventing of any kind of five-step
19 BACT analysis here. They actually lay forth
20 that. It may be in their background section of
21 their discussion, they talk about what that
22 operational memo says. But actually when you

71

1 look at what the BACT analysis that was
2 performed by the university here, it's not that
3 they are saying, oh, let's just do a quick and
4 dirty and we'll be done. They're actually doing
5 a BACT analysis.
6 JUDGE SHEEHAN: I think that's
7 debatable.
8 JUDGE REICH: Can I ask, this is an
9 obvious question, which is, if the concern as to
10 availability of fuel was based on weather
11 conditions at certain times of the year, did you
12 not consider or did you consider why did you not
13 adopt limits and more precisely tailor to the
14 concern you have? Why does the public and the
15 facility, the plant, have to live with the
16 limits in June based on snows in January?
17 MR. GORDON: That argument that was
18 raised by the Sierra Club in their petition for
19 review is not an argument that was raised during
20 the public comment period. Accordingly, the
21 Department didn't respond, didn't have it
22 presented to it, didn't have an opportunity to

72

1 correct it.
2 JUDGE REICH: The Department appeared
3 to know about it because the Department made the
4 argument that snow gets in the way and snow is
5 the reason why we have to have this particular
6 allocation of coal versus wood. But it doesn't
7 snow in July, so why does your own reasoning not
8 support a different result?
9 MR. GORDON: Well, I think there's two
10 different issues that overlap. One is why isn't
11 the permit, according to Sierra Club, based on
12 100 percent wood and 0 coal? And the answer to
13 that is because of fuel delivery disruptions for
14 wood during the wintertime. The argument is, if
15 you agree that some coal will be needed because
16 of the severe winter weather, then how much wood
17 and how much coal should the limit reflect? And
18 the answer to -- and that -- the fact sheet that
19 was put out to the public at the beginning of
20 the public comment period laid out very
21 specifically that the limit is based on 22 days
22 of -- a mix of coal and wood.

73

1 And yet Sierra Club, petitioner
2 here, did not raise that point in public
3 comments. Had they done that --
4 JUDGE REICH: So you're saying that
5 issue was not properly before us.
6 MR. GORDON: That's right. It wasn't
7 preserved for appeal. Had they done that, the
8 DEQ would have had the opportunity to address
9 it, but it was not properly before the board.
10 JUDGE SHEEHAN: Turning briefly to the
11 redesign argument and the very strong emphasis
12 in the Clean Air Act itself, Section 169, that
13 clean fuel needs to be considered, and as the
14 Sierra Club 7th Circuit case reaffirmed that
15 clean fuels are not to be read out of the Act
16 merely because "some adjustment" to technology
17 is required, what efforts did NMU make here to
18 push the clean fuels envelope and do some
19 adjusting to pull in as clean a fuel possible?
20 MR. GORDON: Well, I think the
21 argument that the Sierra Club is making, and to
22 answer your question, is what efforts should

74

1 have been made to, for example, examine whether
2 coal from the Powder River Basin -- this is
3 their specific argument -- should have been
4 brought here, brought to this plant. And I
5 think the answer to that is that it would
6 redefine the source. And we rely in our brief
7 on the Prairie State decision in saying that for
8 that to occur, the fuel would have to be
9 delivered to the facility not by truck, but from
10 -- but not by truck, from these two local
11 suppliers -- Presque Isle Power Plant and
12 Marquette Board of Light and Power -- but from
13 someplace else. It's not clear if it's by rail
14 or by some other means.

15 And so for the facility to be able
16 to, for example, accept Powder River Basin
17 coal, for example, by rail, they would have
18 to construct a railroad spur.

19 JUDGE SHEEHAN: Where is that said? I
20 mean, it sounds fine now, but there's nothing in
21 the record to say you thought of that and you
22 said those things and you've actually thought

75

1 about it and produced a viable analysis to
2 support what you're saying here in court.

3 MR. GORDON: I think it gets back to
4 whose burden is it in order to show that there
5 are in fact alternatives that DEQ failed to
6 consider.

7 JUDGE SHEEHAN: The Clean Air Act says
8 it's your burden.

9 JUDGE WOLGAST: Another way to look at
10 it, though -- I mean, I'm particularly looking
11 at the Michigan memo, which does raise some
12 concern about how stringent they were doing a
13 top-down analysis, is that you identify
14 obviously, starting with LAER, this isn't LAER,
15 this is BACT, but -- you know, the cleanest
16 sources and the best technologies. And why
17 wouldn't both sources be considered, and then if
18 -- if -- in the later stages of the analysis you
19 found it was not economically feasible, for
20 instance, to transport Powder River Basic coal,
21 then the analysis would proceed in that fashion.
22 I don't see why it did say "design change"

76

1 versus -- or that it would never have been
2 considered initially -- not whether you would
3 get to the same place in the end or not, but how
4 stringent is the analysis itself.

5 MR. GORDON: The argument that was
6 presented and the Sierra Club's comments is that
7 we should -- the DEQ -- and this permit should
8 be subjected to an analysis for Powder River
9 Basin coal -- coal to somehow be delivered from
10 the Powder River Basin to this plant, stockpiled
11 at this plant, and then fed into the boilers.

12 The analysis that DEQ went through
13 was to say -- you know, as a threshold
14 matter, before we get into technological
15 feasibility and the whole five-step process,
16 there's a threshold matter -- that whole
17 analysis would entail redefining the source.
18 And that was -- and so it's not necessary to
19 say is it technologically feasible? It's
20 technologically feasible for coal to -- you
21 know, can you deliver it by rail all the way
22 to this facility?

77

1 JUDGE WOLGAST: Why is that?

2 MR. GORDON: Because when you look
3 back at that diagram, there's no railroads for
4 here. So you'd have to redesign that. There's
5 no space, frankly, at this facility to have a
6 coal stockpile.

7 JUDGE SHEEHAN: But you just indicated
8 earlier that that design might not contain
9 all -- the whole picture of the facility, so our
10 not knowing there's a railroad spur is
11 impossible because you just said that design may
12 not be accurate or --

13 MR. GORDON: I'm talking about what's
14 on the actual Ripley Heating Plant. It is
15 representative of what's actually at the plant
16 itself. There's not a railroad spur on that
17 diagram. And whether or not there's a railroad
18 someplace down off of that, I'm not attempting
19 to make a representation as to that.

20 But it was the DEQ's analysis, and
21 I think it's the correct analysis here, that
22 to put in a spur, to somehow make room of

78	80
<p>1 which there isn't room for a coal stockpile, 2 for coal from the Powder River Basin to be 3 delivered, to then reconfigure your plant so 4 that you can --</p> <p>5 JUDGE SHEEHAN: You said it's the 6 DEQ's analysis the spur can't be put in. Where 7 is that in the record? I never saw the word 8 "spur" --</p> <p>9 MR. GORDON: I don't -- you're not 10 going to find --</p> <p>11 JUDGE SHEEHAN: Or any other railroad 12 issues you're talking about.</p> <p>13 MR. GORDON: You won't find that in 14 the record. I think you're right. The DEQ's 15 presentation of this issue is that in order for 16 Powder River Basin coal to be an available 17 option, for it to be BACT would entail 18 redesigning the source. That is in the record. 19 That's in the response to comments.</p> <p>20 JUDGE WOLGAST: And then you rely on 21 the Prairie State decision for that position. 22 But it strikes me that that's a much broader</p>	<p>1 would involve a physically substantial 2 reconfiguration of that entire facility. So 3 that rather than having a conveyor taking 4 coal straight from the mine and feeding it 5 right into the boiler, you'd have to have 6 some other kind of configuration for not only 7 receiving, storing it, and feeding it into 8 the boilers. I think that aspect of the 7th 9 Circuit analysis is applicable here, too. 10 The same kind of reconfiguration would be 11 applied.</p> <p>12 Would it be -- is it the same sort 13 of raison d'etre argument? Is that analogous 14 here? No. But the substantial 15 reconfiguration and physical redesign of the 16 plant is what would be required, and that's 17 why it's off the table for purposes of the 18 BACT analysis here.</p> <p>19 JUDGE SHEEHAN: Can we move to the 20 increment issue?</p> <p>21 MR. GORDON: Yes.</p> <p>22 JUDGE SHEEHAN: The regs., 21(b)(13)</p>
79	81
<p>1 reading of this application were it so would be 2 a much larger reading of redesign. And what we 3 found were the 7th Circuit considered in Prairie 4 State. I mean, they are -- the power plant 5 would never have been built but for the fact it 6 was used in the contiguous and co-online 7 facility. And here you're talking about 8 reconfigurations, but I think, as Counsel 9 pointed out, the 7th Circuit didn't seem to 10 embrace any reconfiguration as equating 11 redesign.</p> <p>12 MR. GORDON: I think that my review of 13 that decision was that it was -- you're right, 14 in a very, very broad macro level, I mean, the 15 plant wouldn't have been going -- a sort of 16 raison d'etre for that plant was that it was a 17 mine-mouth plant.</p> <p>18 But in addition, I think an 19 important part of that analysis was that even 20 if the facility could have -- was achievable 21 in some general fashion, accepting coal from 22 some other place, it emphasized that to do so</p>	<p>1 and 21(c) seem to call for the increment 2 calculation to be based on a 24-month 3 calculation pre-mod. In this case, it would be 4 the WEPCO-PIPP facility. Twenty-four months 5 pre-mod and 24 months post-mod. And then you 6 compare those and the difference. If it's -- an 7 increase is the portion that consumes increment. 8 Why did you just simply take 1973 and 2006 and 9 compare those emissions, which seems arbitrary 10 and it's certainly not the 24-month period.</p> <p>11 MR. GORDON: Well, the 1973 emissions 12 reported emissions that are prior to the major 13 source baseline date of January 6, 1975 -- then 14 the comment that was submitted by Petitioner was 15 that there were modifications made to the 16 Presque Isle Power Plant from Wisconsin Electric 17 that were not included in the analysis as -- and 18 they should have been included in the analysis. 19 Those alleged modifications took place in 1999, 20 and that's in their comments.</p> <p>21 And so the most reported emissions 22 are from 2006. Michigan has its annual</p>

82

1 emission reporting forms, and that those were
2 -- the emissions that were reflective and
3 representative of the emissions
4 post-modification. And so that's the
5 comparison is baseline versus what is
6 increment-consuming post-baseline.

7 JUDGE SHEEHAN: But the regs seem to
8 say -- and I'm reading from the regs here
9 at.21(b)(21) -- that the average rate times per
10 year consecutive 24-month period preceding a
11 particular date, which is representative. So
12 the 24-month block, period. It seems to me what
13 the regs call for -- and you seem to have just
14 taken one year versus another year and left it
15 at that.

16 MR. GORDON: Yes. And I conferred
17 with my colleagues over at the DEQ on that
18 issue. And I said, well, why did you look at
19 just the 2006 emissions as opposed to the
20 consecutive 24-month period, which is I think
21 the point that you're getting at. And they did
22 not. I'm not going to say that they did because

83

1 the record's clear that they looked at just the
2 2006.

3 But, frankly, that's not the
4 argument the Petitioner is making here. So,
5 I mean, the issue that's presented on appeal
6 in this petition for review is that all of
7 the emissions from the Presque Isle Power
8 Plant after the major source baseline date
9 should be excluded from the baseline and
10 should be considered increment-consuming.

11 The issue that there was some error
12 because he didn't take the 24-month
13 representative -- most recent 24-month
14 consecutive period as opposed to the 2006
15 emissions, frankly, was never presented to
16 DEQ. It's not raised in this petition for
17 review, and that's not the issue that I think
18 is before the Board.

19 JUDGE WOLGAST: Isn't it generally in
20 the regs that the requirements of Section 52.21
21 aren't followed here, which would include the
22 contemporaneous data issue?

84

1 MR. GORDON: No, I don't think that
2 that general -- the specific issue, if you look
3 at their comments was as to this argument
4 regarding what emissions should be excluded from
5 our increment-consuming and not was the 2006
6 data wrong? In fact, actually if you look at
7 their own brief, I think they give a range of
8 what emissions should be excluded, and they
9 relied on that same 2006 Maer's, M-a-e-r,
10 report. So I don't think -- that issue was not
11 presented in there, in their comments or in the
12 petition for review. And so then it's not
13 preserved for appeal.

14 But this -- you know, the argument
15 anyhow, and I don't mean to beat this, but
16 the -- they're essentially wanting to have
17 the Board ignore that portion of the rule
18 that says emissions from any major source on
19 which construction commenced after the major
20 source baseline bid -- they'd have them
21 rewrite that provision to just say -- what is
22 increment-consuming? It's just actually

85

1 emissions from any major stationary source.
2 It doesn't say that. It has that important
3 second phrase: from any major source on which
4 construction has commenced after the major
5 source baseline date. They're essentially
6 asking you to ignore that second phrase and
7 rewrite it, and that's not the way it's
8 supposed to be interpreted. And the workshop
9 manual doesn't interpret it that way either.

10 JUDGE SHEEHAN: Okay. Can we go to
11 modeling? We discussed earlier, of course, what
12 the Sierra Club is driving at in terms of
13 getting down to hourly limits or very close to
14 hourly limits to meet the NAAQS and increment
15 compliance standard average periods. Although
16 your response to comments really didn't provide
17 much information at all, you just said that
18 hourly emissions are limited by the size of the
19 equipment. Sounds rather nonresponsive
20 actually. Your brief went into more detail and
21 pointed to places in the record where you say
22 you had done the calculation to the tune of 87

86	<p>1 or 88 pounds per hour, to take the SO2 example</p> <p>2 How is it -- I'm looking at page 24</p> <p>3 of your application where that calculation</p> <p>4 was done. You say -- even accepting as true</p> <p>5 that it is 87 or 88 pounds per hour, you say</p> <p>6 in the footnote to that chart on page 24 that</p> <p>7 it's based on a 92 percent reduction. I</p> <p>8 presume that's the limestone reduction</p> <p>9 referred to elsewhere.</p> <p>10 MR. GORDON: You're referring to the</p> <p>11 permit application?</p> <p>12 JUDGE SHEEHAN: Permit application,</p> <p>13 page 24.</p> <p>14 MR. GORDON: Twenty-four, thank you</p> <p>15 JUDGE SHEEHAN: The chart, Table</p> <p>16 4.4-1. Okay, have that?</p> <p>17 MR. GORDON: Thank you, yes.</p> <p>18 JUDGE SHEEHAN: Footnote 1 premises</p> <p>19 the calculation on 92 percent reduction. Where</p> <p>20 is it enforceable in the permit that there will</p> <p>21 be this 92 percent reduction so that that figure</p> <p>22 has meaning or reality?</p>	88	<p>1 that it should be based on uncontrolled</p> <p>2 emissions. They point that it's not 87</p> <p>3 pounds per hour, but instead it's</p> <p>4 500-and-some-odd pounds per hour. And that's</p> <p>5 based on an uncontrolled rate. The reality</p> <p>6 is that the permit requires them to operate</p> <p>7 the baghouse fabric filter at all times in</p> <p>8 proper operating conditions.</p> <p>9 JUDGE SHEEHAN: Well, looking more</p> <p>10 deeply at footnote 1 there, the second sentence</p> <p>11 of it, page 24, "The limits above are also based</p> <p>12 on a 30-day rolling average." Now, Sierra</p> <p>13 Club's concern was that a long-term average like</p> <p>14 that can help blunt or smooth out or steer</p> <p>15 spikes, one-hour, two-hour, three-hour spikes</p> <p>16 that are at the core of the NAAQS increment</p> <p>17 compliance standards. So how does your</p> <p>18 statement that this is based on a 30-day average</p> <p>19 align with the chart's seeming conclusion that</p> <p>20 this is a one-hour rate?</p> <p>21 MR. GORDON: I am not sure why that</p> <p>22 last sentence in there says the limits -- when</p>
87	<p>1 MR. GORDON: The 92 percent reduction</p> <p>2 is from the -- that is the required control</p> <p>3 efficiency or reduction, if you will, that is</p> <p>4 set forth in the New Source Performance Standard</p> <p>5 that's applicable to this facility. And I'm</p> <p>6 going to -- I'm having trouble putting a finger</p> <p>7 on a general condition, but it's -- you know,</p> <p>8 the -- the permittee is required to -- it says</p> <p>9 actually, "general condition no. 8." It says,</p> <p>10 no, they're not exempt from complying with any</p> <p>11 of the applicable requirements under the federal</p> <p>12 Clean Air Act.</p> <p>13 And so they -- to the extent that</p> <p>14 there are other requirements, like fuel</p> <p>15 source performance standards that the company</p> <p>16 -- permit applicant has to satisfy, those are</p> <p>17 -- there's a general condition that requires</p> <p>18 them to do that, too. And so the 92 percent</p> <p>19 reduction is something that's required. They</p> <p>20 have to meet it under NSPS.</p> <p>21 The Sierra Club's argument that we</p> <p>22 should be looking at increment consumption is</p>	89	<p>1 it says they are also based on a 30-day rolling</p> <p>2 average, well, that is true. There is a</p> <p>3 separate emission limit base, so that is a</p> <p>4 30-day rolling average. What I do know is that</p> <p>5 the modeling was based on maximum hour</p> <p>6 emissions. And I think -- and based on the</p> <p>7 design and capacity of the plant, using a</p> <p>8 baghouse fabric filter operating in the 92</p> <p>9 percent control efficiency. I don't think that</p> <p>10 last sentence is attempting to say that the,</p> <p>11 what is it, 87.8 pounds per hour limit the --</p> <p>12 not limit, emission rate that was used for</p> <p>13 modeling purposes is derived from a 30-day</p> <p>14 rolling average. And in fact, when you look at</p> <p>15 the permit application, I don't think that that</p> <p>16 is, in fact -- that's not what happened.</p> <p>17 They're relying instead on what I've just said,</p> <p>18 that it's an hourly rate.</p> <p>19 JUDGE SHEEHAN: Now going into the</p> <p>20 monitoring issue. Here, as alluded to earlier</p> <p>21 when the Sierra Club was speaking, you have the</p> <p>22 receptor grid layout, the 5-kilometer radius</p>

90

1 grid from Appendix C of the permit application,
2 which looks very tight and close to the actual
3 NMU site. But what you offered up in your
4 pleadings was the background concentration
5 sheet, the so-called August 21, 2006 e-mail that
6 I presume MDEQ sent to NMU to satisfy the
7 ambient air monitoring requirement.
8 So are you relying on the -- is
9 your analysis based on a 5-kilometer study or
10 on the background concentration study, which
11 seems far vaster in terms of distance from
12 NMU?
13 MR. GORDON: Relying on the
14 information that DEQ sent them in that August
15 2006. I don't believe that this receptor grid
16 layout diagram is really to what is the
17 background concentration for determining
18 increment consumption here and in Marquette. I
19 think it's for a different purpose altogether.
20 JUDGE SHEEHAN: Okay. Well, then
21 turning to the back of the concentration sheet,
22 it shows us distances of NMU's as close in as or

91

1 far out, depending on how you look at it, as
2 65 kilometers up to about 316 for lead in
3 Milwaukee. How is it that distances of this
4 scope, so far out or close in depending on your
5 point of view, satisfy the NSR Manual standards
6 for monitor location, data quality, and so on?
7 MR. GORDON: The request came in in
8 the summer of 2006. The data that was provided
9 by DEQ is for the most recent three years.
10 Information you'll see on that same sheet, that
11 is 2003, 2004, and 2005. So I don't think
12 there's any real dispute as to whether or not
13 the data that DEQ provided to them is current or
14 not.
15 JUDGE SHEEHAN: But the manual lays
16 out very strict requirements about how you
17 satisfy currency and location and quality.
18 Detailed requirements. And all we've got -- we
19 have from you is a one-page document that
20 doesn't seem to address any of them at all. It
21 just throws out these numbers without any
22 analytical foundation for them.

92

1 MR. GORDON: Right. Is there anything
2 written in the record where there's something
3 from DEQ saying that it actually looked at --
4 presented a written analysis that says this --
5 these -- is current? No. I mean, it just
6 presented it to them because it's current.
7 Similarly, is there any -- something, a written
8 document laying out that it looked at location
9 and accuracy?
10 And the answer -- and I think what
11 it is, is it's basically, it is implicit and
12 demonstrated from what actually happened
13 here. The company -- excuse me, the
14 university -- submitted their request for
15 data. They knew what the requirements were
16 that needed to be representative of what the
17 air quality is in Marquette County and
18 Marquette at this plant.
19 DEQ reviewed the available
20 information, was aware of all those
21 requirements, and provided information that
22 it thought was representative of the air

93

1 quality.
2 JUDGE SHEEHAN: But how do we credit
3 that? It looks very random and there's no
4 particular framework undergirding it that would
5 give us any confidence that it does reflect a
6 careful consideration of the location factors
7 and the currency factors and the quality
8 factors. It just looks like something thrown
9 out because somebody happened to have it, and he
10 needed to have something to check this box. Why
11 should we give it any deference? There's no
12 analysis to support that.
13 MR. GORDON: Because I think one -- I
14 think the reasonable inference is that when a
15 permit applicant asks DEQ for representative
16 data that he can use for modeling, DEQ then
17 reviews its available information, selects what
18 it thinks is representative. It doesn't just
19 select stuff and give it to the company when
20 it's random, you know. And so they selected
21 information from -- for example, Escanaba, Two
22 Rivers, Green Bay, Milwaukee because that

94

1 information is representative, or even more --
2 actually, it's more conservative than the air
3 quality from Marquette because it's coming from
4 urban areas that are much, much larger and have
5 higher pollutant concentrations than what's
6 present in Marquette. But the prevailing wind
7 directions are actually not sending pollutants
8 up towards Marquette, but actually sending it in
9 areas that -- it's going to be lower in
10 Marquette than it would be here. So if anything
11 --
12 JUDGE SHEEHAN: But we wouldn't know
13 that if there's nothing in the record to tell us
14 what you're saying.
15 MR. GORDON: It is because it's
16 implicit. And I think actually --
17 JUDGE REICH: In regard to that, were
18 the issues about the representativeness of the
19 data -- relative to say, for example, location
20 of the surrogate -- were those issues raised
21 during the comment period? And if so, you know,
22 response to comments, did you not have to

95

1 actually address those issues at that point,
2 even if they -- and I'm looking kind of implicit
3 up until that point? Did they not require you
4 to articulate why in fact they were
5 representative? And isn't that what we should
6 be looking to to see if the position you're
7 taking is sustainable or not?
8 MR. GORDON: I think -- excuse me, I'm
9 trying to keep track of all the different facts
10 and everything that's happening in this case. I
11 think there was -- it was raised. There was a
12 response to comments. It's at page 15, and
13 talks about how the DEQ's experience with
14 monitoring in the area -- and says the DEQ
15 didn't require pre-construction monitoring.
16 There was no written waiver requested by the
17 permit application -- by the permit applicant,
18 so he didn't lay out in detail -- go through
19 each of those three criteria that are in the
20 manual. But it was raised, it was addressed in
21 the response to comments.
22 Was it addressed in a somewhat

96

1 cursory fashion? I'm not going to deny that
2 it wasn't addressed in a somewhat cursory
3 fashion.
4 JUDGE REICH: I was a little confused
5 because on the one hand -- I mean, you do say
6 there was no waiver, but on the other hand, it
7 seems like there was a waiver.
8 MR. GORDON: No, no written waiver is
9 what the response is. They didn't actually
10 submit something in writing, which would then
11 prompt the DEQ.
12 JUDGE REICH: So you think there was
13 an oral waiver at the time?
14 MR. GORDON: Well, not -- I mean, I
15 think --
16 JUDGE REICH: Or you just sort of
17 treated it as if waived?
18 MR. GORDON: When the company is
19 requesting information as to what model -- what
20 background concentrations it should use for its
21 modeling, both as to PSD increment consumption
22 and NAAQS, and the DEQ provides this

97

1 information, it's saying, you know -- and then
2 you look to see if the modeling shows that it's
3 not exceeding the significant impact levels and
4 then a full-blown increment analysis isn't
5 needed because instead, you've satisfied some
6 threshold level on the preliminary analysis.
7 I just want to raise one more point
8 here. I think -- I think that the exchange
9 of information, the request and then the
10 providing of the data here, I don't think
11 that rises to the level of clear error, you
12 know. I mean, what could happen is if you
13 were to remand on this issue, what would
14 happen is that the DEQ would then write a
15 letter, as it has done with other applicants
16 where they have actually requested something
17 in writing, saying, yep, it needs
18 currentness, it needs accuracy, and it needs
19 monitoring location.
20 Remand is not appropriate when the
21 permitting of an agency is simply going to
22 restate the explanations that are offered on

<p style="text-align: right;">98</p> <p>1 appeal. And where there's explanations --</p> <p>2 JUDGE REICH: Just out of curiosity,</p> <p>3 when you write letters like that, is that all we</p> <p>4 say or do we say it needs it because? Is there</p> <p>5 any explanation in those letters as to how</p> <p>6 you've determined any such criteria, or is it</p> <p>7 just recycled --</p> <p>8 MR. GORDON: I think it lays out the</p> <p>9 same things that I've just laid out here. They</p> <p>10 are -- it is current because it's 2003, 2004,</p> <p>11 2005. It's representative because those monitor</p> <p>12 locations are from areas where the air -- the</p> <p>13 pollutant concentrations are at least as high --</p> <p>14 are higher, in fact, than what they would be at</p> <p>15 Marquette; and that the prevailing wind</p> <p>16 directions are such that it was -- it's going to</p> <p>17 be less than it is in Marquette; that those</p> <p>18 monitors are actually accurate regarding the</p> <p>19 number of the monitors that were used, the</p> <p>20 accuracy of the monitors that were used, that</p> <p>21 the quality of that data is sufficient.</p> <p>22 The DEQ lays out in writing exactly</p>	<p style="text-align: right;">100</p> <p>1 there was some discussion about that. The BACT</p> <p>2 analysis that needs to be performed on a</p> <p>3 case-by-case basis, on the project that was</p> <p>4 proposed by the applicant. And in this case, I</p> <p>5 think the case-by-case is more important that it</p> <p>6 is in a usual case. If you look at the map</p> <p>7 behind me, you can see this is on the southern</p> <p>8 shore of Lake Superior. It's far from the</p> <p>9 north, and there's been some questions raised</p> <p>10 about the weather. I think what's happening in</p> <p>11 many instances is people who live up there day</p> <p>12 to day have some understanding of what goes on</p> <p>13 and perhaps don't think about the fact that they</p> <p>14 need a document and all the various details.</p> <p>15 With respect to the case-by-case</p> <p>16 analysis, the specific factors are that this</p> <p>17 is a rural location. This is a dedicated</p> <p>18 plant. It's not going to be tied into the</p> <p>19 grid. It has a very harsh climate in the</p> <p>20 wintertime. There's a small slip space to</p> <p>21 store fuel. You saw the map and you asked</p> <p>22 questions. There's a parking lot there.</p>
<p style="text-align: right;">99</p> <p>1 what I'm stating here today.</p> <p>2 JUDGE SHEEHAN: Is it true that the</p> <p>3 monitoring was not done for CO and PM and NOX</p> <p>4 because the SIL or the SMC line wasn't</p> <p>5 triggered? Is that accurate?</p> <p>6 MR. GORDON: Yes.</p> <p>7 JUDGE SHEEHAN: Then where is it in</p> <p>8 the record that shows how you decided that that</p> <p>9 line was not crossed and no analysis needed to</p> <p>10 be done?</p> <p>11 MR. GORDON: It's in their permit</p> <p>12 application. I don't have it in front of me. I</p> <p>13 think in the modeling file, there is some little</p> <p>14 -- DEQ taking the information that was provided</p> <p>15 to the agency by Northern Michigan University</p> <p>16 and determining whether or not in fact those</p> <p>17 significant impact levels were exceeded. And if</p> <p>18 they're not -- the preliminary analysis is</p> <p>19 sufficient.</p> <p>20 JUDGE SHEEHAN: Thank you. Mr. Finto?</p> <p>21 MR. FINTO: Good morning. I thought I</p> <p>22 might pick up first with the fuel issues since</p>	<p style="text-align: right;">101</p> <p>1 There is a staging area, which is basically</p> <p>2 trucks turn around in that area when they're</p> <p>3 delivering things. So there is limited space</p> <p>4 there.</p> <p>5 These utilities are less than a</p> <p>6 mile away. In terms of thinking about the</p> <p>7 fuel supply in this case, we have an amount</p> <p>8 of wood up there. It can be gotten from a</p> <p>9 lot of locations. It's going to have to come</p> <p>10 in to the plant from a lot of locations to</p> <p>11 supply a 10 megawatt plant.</p> <p>12 The coal, on the other hand, needs</p> <p>13 to come from nearby sources in the wintertime</p> <p>14 because of the weather. One of the things</p> <p>15 that's not in the record, but the fact of the</p> <p>16 matter is that the utilities get their fuel</p> <p>17 by barge. That barge will stop running in</p> <p>18 November, so they've got to stop and</p> <p>19 stockpile for the wintertime.</p> <p>20 The university has been greatly</p> <p>21 accommodated by these utilities. In fact, if</p> <p>22 they didn't have this accommodation -- and</p>

102

1 someone mentioned the Prairie State case --
2 this plant would not be built without that
3 accommodation from those two utilities in
4 this case. Because you simply can't run the
5 risk of not having fuel in a location like
6 that.

7 JUDGE SHEEHAN: It was said certain of
8 the facts you just provided us are not in the
9 record. If it's not in the record, what are we
10 supposed to do with that? It should be in the
11 record. If it's not, how can we consider it?

12 MR. FINTO: I think it is in the
13 record to a certain extent, and that is they
14 talk about the harsh weather and they explain
15 the fact that deliveries are difficult in the
16 wintertime, that it will be very difficult for
17 the wood to come in. That's why we have the
18 backup coal --

19 JUDGE SHEEHAN: But why isn't it
20 difficult for the coal to come in?

21 MR. FINTO: I think it's -- one of the
22 points I just mentioned is the fact that the

103

1 utilities are nearby. They're in Marquette.
2 JUDGE SHEEHAN: They weren't told
3 that. The record shows nothing to that effect.
4 MR. FINTO: I understand. I
5 understand. But I'm just saying if that is part
6 of what the understanding is, if this is an
7 accommodation by these local utilities, they're
8 in the city itself --

9 JUDGE SHEEHAN: You make a number of
10 points in your brief on the redesign issue, that
11 there were would be transport difficulties,
12 stockpile difficulties, boiler feed
13 difficulties, none of which I saw were in the
14 record. But is there not some adjustment, as
15 Judge Posner put in the Sierra Club case, some
16 adjustment that could be made to deal with the
17 realities you say are out there on the ground to
18 get cleaner fuel?

19 MR. FINTO: I think the answer with
20 respect to bringing the wood waste, it is on the
21 record there were complaints about odor. They
22 didn't want stockpiles of wood everywhere. They

104

1 wanted it in silos in certain locations. So
2 that was an accommodation that was made. So
3 we've got certain limitations on just
4 stockpiling wood.

5 JUDGE SHEEHAN: Let me ask it this
6 way. What is your argument for what NMU did to
7 accommodate the Clean Air Act's mandate that
8 clean fuels be considered?

9 MR. FINTO: I think basically if you
10 look at what they have proposed here, it is a
11 very clean plant. They're talking about burning
12 a renewable fuel with wood, which everybody I
13 think has to agree is cleaner than coal. They
14 said this is our primary fuel. If you look at
15 the source obligation rules, they've got to
16 construct that plant and operate it in
17 accordance with their current application.

18 JUDGE SHEEHAN: But it's not the
19 primary fuel if you look at the permit, which
20 says 22 days in a month are allowed for coal.
21 So rhetorically, yes, it sounds great for wood,
22 but the facts don't seem to back that up when

105

1 push comes to shove.
2 MR. FINTO: I think what -- excuse me.
3 I, you know, think what happened, Your Honor, is
4 that if you're looking at the worst-case
5 scenario, what do we have to permit here? And
6 that's what they looked at. They said, look, if
7 we're going to burn wood, that's not going to be
8 the issue. When we burn coal, that's our worst
9 case, that's what we have to look at the
10 reasonably foreseeable workspace scenario, and
11 that's what we're permitting here. And that's
12 why it's based on burning coal.

13 Now, the preference of the
14 university, without a doubt, is to burn wood
15 whenever they can.

16 JUDGE SHEEHAN: Well, do you drive
17 down to the worst-case scenario, which could be
18 very dirty fuel, or do you drive up to BACT, the
19 best available? Which is it? It sounds like
20 there's a tension there.

21 MR. FINTO: I think that there is a
22 certain amount of tension when you're looking at

106	<p>1 fuel flexibility in these cases. I think that 2 what we're looking at here is a situation where 3 this plant has complied with the PSD 4 regulations. It could burn -- the BACT analysis 5 indicates that this is -- the numbers from the 6 initial indication for BACT. The dispersion 7 model is done. It shows that the plant will not 8 cause or contribute to a violation of NAAQS. So 9 it does satisfy the requirements of the 10 lawmakers, too.</p> <p>11 With respect to the fuels, another 12 comment was made about Prairie State. In 13 this case, they're sort of getting this 14 lifeline into this plant for the coal as a 15 backup from the usual utility. And it's 16 similar in Prairie State in the sense that 17 there was, in that case, a conveyor belt that 18 came from a mining plant offline into the 19 plant. And here what we have are two 20 locations in which the can get coal; they're 21 sort of at the mercy of these utilities and 22 having to supply what they have a lifeline</p>	108	<p>1 A number of things were identified 2 as not being possible. The two power plants 3 in town the only source of coal, you can't 4 truck it in from anywhere else, there's no 5 rail line, or a coal transfer point where it 6 can be taken off some other contractor. A 7 number of things, other possibilities, that 8 all should have been identified in step 1 of 9 the top-down BACT analysis. And if there was 10 a not possible or it's too expensive to truck 11 fuel a certain distance, all those things are 12 dealt with in a proper top-down BACT 13 analysis, either in technological feasibility 14 or a cost effectiveness or in one of the 15 later steps.</p> <p>16 On the issue of increment analysis 17 and Presque Isle, DEQ suggested that Sierra 18 Club asked the Board to rewrite the 19 regulator. That's not the case. Asking that 20 the regulation be applied as it's currently 21 written. As it's currently written, it 22 states the following are not included in the</p>
107	<p>1 there -- that there are really no other 2 options.</p> <p>3 Given the distance, this is within 4 a mile, and those are the only options that 5 they have.</p> <p>6 JUDGE SHEEHAN: I think time has 7 expired, but you had rebuttal time, is that 8 right?</p> <p>9 MR. FINTO: Correct.</p> <p>10 JUDGE SHEEHAN: Mr. Bender?</p> <p>11 MR. BENDER: Thank you, Your Honor. 12 In response to a number of new facts that were 13 raised here during argument today, Sierra Club 14 did not have the benefit of those facts or any 15 of these analysis that apparently was implicit 16 according to DEQ. If we had, we could have been 17 more specific even in our comments. We could 18 have addressed those issues more specifically. 19 But still, I think even with the facts, if all 20 those representations made today are true, I 21 still think that the permit analysis was 22 sufficient.</p>	109	<p>1 baseline concentration and effective 2 applicable maximum allowable increase. 3 Actual emissions as defined in B-21 of this 4 section from any major stationary source on 5 which construction commenced. It does not 6 say emissions from the construction of. It 7 doesn't say emissions from the modification 8 increases. It says actual emissions from the 9 source. Source is defined as the unit or the 10 boiler, the entire facility in 52(21)(b), 11 definition of --</p> <p>12 JUDGE SHEEHAN: So what does that do 13 to the statement in the manual on page C-10, the 14 NSR manual, that emission increases that consume 15 increment are those occurring after the 16 baseline.</p> <p>17 MR. BENDER: It's true for resource 18 baseline data. The increases that occur 19 afterwards at sources that don't fall within the 20 prior section, a major source baseline 21 provision. So for example, under 22 52.21(b)(13)(2)(b), in that section, increases</p>

<p style="text-align: right;">110</p> <p>1 is discussed specifically. I don't know from 2 the NSR Manual if that was what was intended to 3 be referenced or not. I do know that the plain 4 language of the regulation makes the distinction 5 between major sources -- commence construction 6 after major source baseline data, where the 7 actual emissions consuming increment, and after 8 the minor source baseline date increases and 9 decreases effectively.</p> <p>10 Regarding lower sulfur coal, simple 11 questions of whether coal at the lower sulfur 12 content,.45 and other coals, were available 13 as referenced in part of the review documents 14 that DEQ did. The answer is we don't know. 15 We don't know if those are available or not 16 available, because DEQ did not identify that 17 in step 1 and deal with it in a top-down BACT 18 analysis.</p> <p>19 There are a number of potential 20 sources for other cleaner coals in the Upper 21 Peninsula. But instead of identifying them 22 and discussing whether or not those could be</p>	<p style="text-align: right;">112</p> <p>1 point is that it's the permit applicant and then 2 the permit authority's job to identify those.</p> <p>3 I think DEQ has conceded here today 4 that it didn't do that. It just assumed. It 5 just assumed that coal for one of these two 6 power plants would be burned. And it assumed 7 that the coal would have the highest sulfur 8 content that either or those two plants is 9 authorized to burn.</p> <p>10 There's also discussion on why 11 snowfall in Northern Michigan makes it 12 difficult to deliver wood, biomass fuel, but 13 it does not make it difficult or impossible 14 to deliver coal fuel. The record doesn't 15 indicate it. And in response to comments, 16 there was no indication -- in response to 17 comments was when DEQ identified the snowfall 18 as the problem, and actually identified 19 snowfall at two different months: April of 20 '07, April of '08 as months with a lot of 21 snowfall.</p> <p>22 It did not identify where they were</p>
<p style="text-align: right;">111</p> <p>1 used at Northern Michigan, DEQ just ignored 2 that and just assumed that one of two coals 3 was going to be burned.</p> <p>4 JUDGE SHEEHAN: Did you point to any 5 of those other sources in your comments?</p> <p>6 MR. BENDER: We didn't because we 7 don't have the information the DEQ has. It's 8 under the New Source review manual, it's DEQ -- 9 it's actually the permit applicant's obligation 10 first, and then DEQ's obligation to do an 11 exhaustive search of potentially applicable 12 pollution-control options, which includes 13 cleaner fuel. That was not done.</p> <p>14 JUDGE SHEEHAN: But I thought I heard 15 you to say you knew of other sources than the 16 two selected by NMU.</p> <p>17 MR. BENDER: We know that there are 18 coal-burning facilities generally in Northern 19 Wisconsin, and we know that there are coal 20 terminals where, of course, taken off barges and 21 stockpiles. We don't know what the coal sulfur 22 content is or is not at any of those. And the</p>	<p style="text-align: right;">113</p> <p>1 getting biomass fuel from. They didn't 2 identify how far away it was, and it didn't 3 identify other storage possibilities in town, 4 parking lot, vacant lot, another industrial 5 facility that could handle or store that 6 biomass material. Again, it's something 7 that's not in the record. So step 1 top-down 8 BACT analysis was not completed as intended 9 in the NSR Manual.</p> <p>10 There's also a discussion from DEQ 11 on how it is assured -- DEQ is assured that 12 SO2 control will be achieved at a constant 13 rate of emission, assuming 92 percent control 14 of SO2. This is the first time Sierra Club 15 had heard that it was assured because of the 16 NSPS standard. As I sit here today, that 17 doesn't sound like a correct interpretation 18 of NSPS for the permit to meet, but I don't 19 have that NSPS section memorized. So if the 20 Board decides to consider that argument, 21 Sierra Club respectfully requests to be able 22 to brief that small issue.</p>

<p style="text-align: right;">114</p> <p>1 There's also -- DEQ made I think 2 the concerning remark that if it was asked 3 to, or a remand occurred to justify the 4 pre-construction monitoring that was done, 5 that DEQ would just write a letter to the 6 applicant saying the monitoring is fine. It 7 meets their criteria. 8 You know, from the distance of the 9 monitors compared to the PSD monitoring 10 guidelines that it can't meet the criteria. 11 The guidelines are clear on what's -- what 12 meets the location criteria to take the first 13 criteria. For example, we know, as we 14 discussed earlier today, as we addressed in 15 our brief, 10 kilometers giving DEQ and NMU 16 the benefit of the doubt and all the 17 assumptions in that, in the three 18 possibilities in the PSD monitoring -- giving 19 them the benefit of the doubt, 10 kilometers 20 is the distance. 21 There's no argument. There's no 22 justification made that the monitors can meet</p>	<p style="text-align: right;">116</p> <p>1 permit. There are also some significant 2 issues, especially about clean fuel, that if 3 the applicant and DEQ's interpretations are 4 taken and accepted -- have significant 5 implications nationally for other permitting 6 agencies considering clean fuels. Thank you. 7 JUDGE REICH: I have one question. If 8 I understood Mr. Gordon correctly, he indicated 9 that the question of whether MDEQ should have at 10 least considered establishing different limits 11 for the parts of the year where there was no 12 issue about availability of wood due to snows, 13 that issue was not one raised in comments on the 14 draft permit. Is that correct? 15 MR. BENDER: I don't -- 16 JUDGE REICH: Or let me ask more 17 specifically. Did Sierra Club raise that issue? 18 MR. BENDER: Sierra Club raised the 19 issue of using clean fuels and maximizing clean 20 fuels in establishing the BACT limit. DEQ's 21 response was -- in April of '07 and April of 22 '08, there were heavy snowfalls which may</p>
<p style="text-align: right;">115</p> <p>1 that criteria. 2 And there was also a discussion on 3 how DEQ just knows -- knows what air quality 4 is like and knows that the monitors are 5 representative. There's no information to 6 support that. There's no monitoring data 7 that we could find for Marquette County, 8 Michigan at all. 9 There are other regional monitors 10 in Michigan which were not used. We don't 11 think those would meet the location criteria 12 either. But we don't know why monitors that 13 were used were used, and why the monitors 14 that were not used were not used. And so 15 even if the 10 kilometer did not apply, we 16 still don't know -- the public is left in the 17 dark as to why the monitoring data that was 18 used is representative of monitoring the 19 ambient air quality in the area that'll be 20 affected by the source. 21 And just in conclusion, there are a 22 number of procedural problems with this</p>	<p style="text-align: right;">117</p> <p>1 prevent wood from being delivered. And it's our 2 position that that analysis wasn't done 3 according to a top-down process and shouldn't be 4 given any credence. But for argument's sake, 5 even if there are periods of the year where 6 snowfall prevents wood trucks but not coal 7 trucks from reaching the plant, that the proper 8 way to deal with it is similar to how start-ups 9 and shut-downs are dealt with. If emission 10 rates, BACT limits can't be met during those 11 times, there's a special carve-out for them with 12 boundaries places around them. 13 JUDGE REICH: But are you saying, and 14 maybe Mr. Gordon can react to this as well, that 15 in terms of the draft permit, there was no 16 articulation of this problem of getting wood in 17 the winter that was used to explain why the 18 permit limits were proposed as they were. 19 MR. BENDER: Not very clearly. And 20 there may be some -- I don't recall everything 21 in the application or record. But not very 22 clearly, and frankly, the response to comments</p>

118	<p>1 isn't very clear either for how this weather 2 emergency really happens, how often it actually 3 happens. And in fact, DEQ had to point to 4 weather data on the Internet outside the record 5 in its response in support of this position. 6 And so there's -- if there's anything, it wasn't 7 much, and even with this response to comments 8 it's not much. Thank you.</p> <p>9 MR. GORDON: Very briefly, just to 10 really address that last question. The draft 11 permit and the fact sheet that went out with the 12 draft permit at the beginning of the public 13 comment period identified the number of days 14 that the boiler would burn wood, the number of 15 days that the boiler would burn coal. And look 16 at the Petitioners' comments; they didn't 17 address that point at all.</p> <p>18 They addressed the point that we 19 shouldn't require a particular -- this 20 1.5 percent sulfur content is something that 21 was not correct, and that we should require 22 the -- DEQ should be requiring all wood and</p>	120	<p>1 then, again -- you know, as to this issue as to 2 whether actual emissions should be -- from the 3 entire plant should be excluded from the 4 analysis of whether -- that all actual emissions 5 from the facility are increment-consuming if the 6 facility makes a modification after the major 7 source baseline date. Again, I think the 8 Petitioner's argument is reading out of the 9 definition of actual emissions that portion that 10 talks about -- mentions that -- or associated 11 with construction that occurred after the major 12 source baseline date. I don't think there's any 13 basis for that argument. It requires ignoring 14 the particular provision on which they're 15 relying.</p> <p>16 Unless there are other questions, I 17 don't have any other points to raise. I 18 think I addressed all their points that they 19 raised in rebuttal, frankly, in the thorough 20 discussion that we had previously.</p> <p>21 Thank you.</p> <p>22 JUDGE REICH: Thank you. Mr. Finto?</p>
119	<p>1 no coal, but this particular mix of wood and 2 coal and that it should be in the summer 3 months, it should be more -- it should be all 4 wood because the fuel delivery disruptions is 5 not at issue in the summer months. That 6 point was not raised at all.</p> <p>7 And the issue was teed up prior to 8 the start of the public comment period. It's 9 our position that the issue was not preserved 10 for appeal.</p> <p>11 JUDGE REICH: In a sense, it was clear 12 that the way you were proceeding was driven in 13 part by unavailability of wood in winter months.</p> <p>14 MR. GORDON: Correct. And 15 specifically, the 8 days of wood and 22 days of 16 coal has actually been the fact sheet itself. 17 That breakdown of how much wood and how much 18 coal.</p> <p>19 JUDGE REICH: Right, but also the 20 rationale for it.</p> <p>21 MR. GORDON: Yes. I believe, yes, it 22 is. It's my recollection that it is, yes. And</p>	121	<p>1 MR. FINTO: I just wanted to make a 2 couple points. There were some questions about 3 the increment and some discussion about the 4 language in 52.21(b)(13)(i). The baseline does 5 include the air quality. We put the air quality 6 on the baseline date. There's been some 7 discussion about 52.21(b)(13)(i)(a) which says 8 you include the actual emissions from 9 construction after the baseline date is not 10 included.</p> <p>11 And then 52.21(b)(13)(i)(b), which 12 I think is the important one here, says that 13 actual increases or decreases that occur 14 after the minor source baseline date are not 15 included in the baseline. And that's the 16 provision that allows for the expansion of 17 increment. And that is why this netting 18 process is used. And that is the basis for 19 what Michigan did. Michigan's process is 20 completely consistent with what EPA said to 21 do in the proposed clarification to the 22 increment modeling.</p>

<p style="text-align: right;">122</p> <p>1 With respect to fuels, there was 2 some economic analysis done in the permit 3 application. There was also a follow-up 4 letter that showed economic analysis. So 5 consumption of coal is not purely a function 6 of the weather. It was also a function of 7 economics. And subsequent to the permit 8 application, there was an additional 9 submittal. 10 Finally, there were some questions 11 about what to do with the record. Well, the 12 question we go back to is clear error, and 13 that is the question about whether the 14 information here reflects whether there would 15 have been a different permit decision 16 reached. And as Mr. Gordon put out, it's 17 just a matter of documentation. It seems to 18 us that that's not clear error. Thank you. 19 JUDGE REICH: I just wanted to make 20 sure I heard correctly. Did you say that the 21 decision on the mix of coal versus wood was 22 part a question of economics?</p>	<p style="text-align: right;">124</p> <p>1 what you refer. 2 JUDGE REICH: With Judge Sheehan's 3 indulgence, can I ask Mr. Gordon to answer a 4 question -- in the determination that MDEQ made 5 on this issue, were you relying on the economics 6 as well as the potential unavailability of fuel? 7 MR. GORDON: I'm not aware of DEQ 8 relying on the economic issue as its basis. 9 JUDGE REICH: Okay. 10 JUDGE SHEEHAN: This concludes our 11 argument. Thank you all very much for your 12 participation. 13 (Whereupon, at approximately 14 12:04 p.m., the ORAL ARGUMENT was 15 adjourned.) 16 * * * * * 17 18 19 20 21 22</p>
<p style="text-align: right;">123</p> <p>1 MR. FINTO: There was some economics. 2 My understanding is that the MDEQ did ask for 3 some additional information that was submitted. 4 It was alluded to in the cover letter with the 5 original permit application on February 5, 2007. 6 And if you'd like, I can make sure that I can 7 get to you subsequent to this the letter that 8 had the other information in it. 9 JUDGE SHEEHAN: Are you referring to 10 the -- I presume to the permit addendum from 11 September of '07? 12 MR. FINTO: I believe that's correct. 13 JUDGE SHEEHAN: Yes, I think it's the 14 last few paragraphs you're talking about there 15 in which you say, "Cost effectiveness 16 spreadsheet has been included, and it shows 17 numbers," I won't repeat them here, "much higher 18 than recent BACT cost effectiveness 19 determinations." And then it concludes that 20 because of cost, no change will be made. 21 It seems a rather conclusory 22 statement, but we'll look at it. We know to</p>	

<p>A</p> <p>ability 10:20 13:12 15:3</p> <p>able 13:12,18 40:21 48:12,15 55:12 56:18 61:21 62:4 64:21 74:15 113:21</p> <p>above-entitled 1:11</p> <p>accept 74:16</p> <p>acceptable 24:15</p> <p>acceptably 25:3 25:4</p> <p>accepted 24:13 60:1 116:4</p> <p>accepting 79:21 86:4</p> <p>accommodate 104:7</p> <p>accommodated 101:21</p> <p>accommodation 101:22 102:3 103:7 104:2</p> <p>accompli 55:4</p> <p>account 15:2 51:7,16</p> <p>accuracy 92:9 97:18 98:20</p> <p>accurate 44:15 61:9 63:4 77:12 98:18 99:5</p> <p>achievable 79:20</p> <p>achieved 113:12</p> <p>act 16:1,15 27:3 38:19,21 40:18 40:20 73:12,15 75:7 87:12</p> <p>actively 39:1</p> <p>actual 24:6 26:18 27:8,12 28:2 30:4,6,18 32:5 51:12 77:14 90:2</p>	<p>109:3,8 110:7 120:2,4,9 121:8,13</p> <p>Act's 104:7</p> <p>addendum 10:13 43:4 123:10</p> <p>addition 79:18</p> <p>additional 28:12 29:11 33:16 49:1 122:8 123:3</p> <p>address 6:18 7:2 73:8 91:20 95:1 118:10,17</p> <p>addressed 95:20 95:22 96:2 107:18 114:14 118:18 120:18</p> <p>adjacent 47:5,20</p> <p>adjourned 124:15</p> <p>adjusting 73:19</p> <p>adjustment 73:16 103:14 103:16</p> <p>adopt 71:13</p> <p>advantages 52:15</p> <p>adversely 65:19</p> <p>advise 6:9</p> <p>afoul 56:11</p> <p>agencies 13:14 37:17 116:6</p> <p>agency 1:1,13 4:4 13:15 37:19 97:21 99:15</p> <p>agree 10:17 42:16 51:21 69:19 72:15 104:13</p> <p>agreement 63:10</p> <p>agrees 10:19</p> <p>Agriculture 2:12</p> <p>ahead 31:12</p> <p>air 15:22 16:3,6</p>	<p>16:15 17:8,17 20:12 30:22 31:1 68:2 73:12 75:7 87:12 90:7 92:17,22 94:2 98:12 104:7 115:3,19 121:5 121:5</p> <p>albeit 25:12</p> <p>align 36:2 88:19</p> <p>aligns 59:7</p> <p>alive 30:13</p> <p>allegation 70:11</p> <p>alleged 70:18 81:19</p> <p>allocation 72:6</p> <p>allotted 41:21</p> <p>allow 14:7 49:4 62:19</p> <p>allowable 109:2</p> <p>allowance 16:11</p> <p>allowed 14:2 104:20</p> <p>allows 22:4 68:10 121:16</p> <p>alluded 89:20 123:4</p> <p>alternatives 75:5</p> <p>altogether 90:19</p> <p>ambient 16:3,13 20:11 90:7 115:19</p> <p>ambit 23:11</p> <p>amount 27:20 35:16 101:7 105:22</p> <p>analogous 80:13</p> <p>analyses 59:20 69:3,8</p> <p>analysis 8:16 9:18 13:4 15:20 17:6 24:12,14,15,18 25:2,4,8 34:16 38:11,14,17 40:15,16,16,20</p>	<p>41:7 42:17 48:21 50:4,5 50:20 52:4,11 52:18 53:16 54:11 55:3 58:6 60:9,14 60:15 67:5,14 67:18 68:7,17 70:17,19 71:1 71:5 75:1,13 75:18,21 76:4 76:8,12,17 77:20,21 78:6 79:19 80:9,18 81:17,18 90:9 92:4 93:12 97:4,6 99:9,18 100:2,16 106:4 107:15,21 108:9,13,16 110:18 113:8 117:2 120:4 122:2,4</p> <p>analytical 91:22</p> <p>and.05 58:14</p> <p>and.21(c) 81:1</p> <p>Anna 1:17 4:7</p> <p>annual 27:13 37:20 81:22</p> <p>answer 30:9 33:6 34:14 54:21 60:20 63:20 64:2,8 72:12,18 73:22 74:5 92:10 103:19 110:14 124:3</p> <p>apologize 70:10</p> <p>apparent 59:22</p> <p>apparently 11:12 54:5 107:15</p> <p>appeal 1:4 4:7 49:12 73:7 83:5 84:13 98:1 119:10</p> <p>Appeals 1:1 4:2</p>	<p>appear 44:14 45:22</p> <p>APPEARANC... 2:1 3:1</p> <p>appeared 72:2</p> <p>appears 16:15 44:8 46:3 47:10 68:14</p> <p>Appendix 19:4 90:1</p> <p>applicable 23:5 80:9 87:5,11 109:2 111:11</p> <p>applicant 9:22 10:21 13:2 16:1 33:10 40:22 68:11 87:16 93:15 95:17 100:4 112:1 114:6 116:3</p> <p>applicants 13:6 69:8 97:15</p> <p>applicant's 11:5 14:19 15:4,5 111:9</p> <p>application 10:11 19:5 33:10 34:17 43:2 44:21 45:6 47:4 49:10 50:8 51:4 52:1 53:10,21 56:2 62:12 63:6,12 65:21 66:3 68:6,19 70:2 70:14,16 79:1 86:3,11,12 89:15 90:1 95:17 99:12 104:17 117:21 122:3,8 123:5</p> <p>applications 34:15</p> <p>applied 22:18 80:11 108:20</p>
---	---	---	---	---

apply 22:3,7 49:7 115:15	107:13 113:20 114:21 120:8	authority 14:12 22:9 40:17	BACT 5:8 6:18 6:21 7:8,16,19	34:12,16,18 35:2,11,13
appreciate 58:2	120:13 124:11	authority's 112:2	7:20 8:4 9:8 13:4,16 15:1	61:13 81:13 82:5 83:8,9
approach 24:7 68:11	124:14	authorized 60:6 112:9	15:14,19 21:8 22:18 24:12,15	84:20 85:5 109:1,16,18,20
approaches 69:3	arguments 5:9 49:1	availability 52:12 62:8	24:18 25:2,7 25:15,16,19,19	110:6,8 120:7 120:12 121:4,6
appropriate 24:10 97:20	argument's 117:4	71:10 116:12	48:20 52:3,11 52:17 58:6	121:9,14,15
approximately 1:12 17:14 124:13	arranged 42:21	available 11:9 12:2 48:6	59:21 60:9,20 63:1 67:5,14	basic 49:13 75:20
April 112:19,20 116:21,21	articulate 95:4	52:13 54:4,9 54:12,15 57:13	67:18 68:7,16 69:5 70:16,19	basically 62:18 92:11 101:1
AQD 69:17	articulation 117:16	60:19,21 61:17 61:19 63:9,10	71:1,5 75:15 78:17 80:18	104:9
AQRV 40:15,15	asked 6:17 36:10 67:1 100:21	78:16 92:19 93:17 105:19	100:1 105:18 106:4,6 108:9	Basin 74:2,16 76:9,10 78:2
arbitrary 81:9	asking 5:13 28:7 85:6 108:19	110:12,15,16	108:12 110:17 113:8 116:20	78:16
area 16:3,7,17 17:4 19:5,18	asks 93:15	Avenue 1:14 3:7	117:10 123:18	basis 7:19 22:20 24:5,6 43:14
20:7 21:1 30:22 31:2	aspect 12:6 80:8	average 27:13 35:22 36:3,4	bad 64:11	100:3 120:13 121:18 124:8
32:17 38:16,16	assess 17:17	37:2,7 38:5 82:9 85:15	baghouse 88:7 89:8	Bay 17:12 93:22
39:22 41:13	Assistant 2:10	88:12,13,18 89:2,4,14	barge 101:17,17	beat 11:14 84:15
44:8,11,15	associated 120:10	avoid 69:17	barges 111:20	beating 67:4
45:11,12,21	assume 5:10	aware 32:5 40:19 92:20	base 89:3	beginning 5:15 54:5 58:10
46:1 51:12,13	assumed 111:2 112:4,5,6	124:7	based 7:10 13:16 32:15 34:9	72:19 118:12
51:14 53:3,14	assumes 7:21 8:4 36:20	a.m 1:12	39:11,12 41:9 43:17,17,18,20	behalf 2:2,8 3:2 5:18,22 6:3
65:10 95:14	assuming 19:17 36:18 113:13		46:20 50:9 53:18 71:10,16	believe 12:8 54:12 90:15
101:1,2 115:19	assumption 7:10	B	72:11,21 81:2 86:7 88:1,5,11	119:21 123:12
areas 35:20 48:4 48:6 94:4,9	assumptions 114:17	back 34:7 60:17 63:21 70:4	88:18 89:1,5,6 90:9 105:12	belt 106:17
98:12	assured 56:18 113:11,11,15	75:3 77:3 90:21 104:22	90:9 105:12	Bender 3:3 5:17 5:18 6:8,11
area's 20:18	atmospheric 18:15 19:18	122:12	baseline 26:8,9 26:16,18 27:5	8:15 9:9,16 10:17 11:20
argue 38:12	attainment 32:18	backdrop 43:1	27:6,11 28:10 28:19 29:2,5,9	12:8 14:4,14 16:15 17:5
argued 23:1	attempted 47:8	backed 35:1	29:12,19 30:2 30:7,10,11,13	18:2,7 19:8,12 20:13 21:9
argues 11:11	attempting 77:18 89:10	background 17:19 70:20	30:15,17,17 31:4,9,14,16	22:2,15 23:7 23:16 24:17
arguing 10:15 23:13 35:21	Attorney 2:10 2:11	90:4,10,17 96:20	31:17 32:6,14 32:16 34:1,10	25:6 27:3 28:17 29:3,14
argument 1:12 4:5,13,22 21:8	at.21(b)(21) 82:9	backup 8:6 9:1 15:15 56:19		29:16 30:1,20 31:18 33:6
21:14 22:10	August 8:3 70:8 90:5,14	102:18 106:15		
26:4,17 28:14		back-up 7:8		
36:9 71:17,19				
72:4,14 73:11				
73:21 74:3				
76:5 80:13				
83:4 84:3,14				
87:21 104:6				

34:13 35:5,12 36:14 37:12 38:8,19 39:17 40:14 41:6 107:10,11 109:17 111:6 111:17 116:15 116:18 117:19 beneficial 21:4 benefit 20:4 107:14 114:16 114:19 best 11:8 24:21 75:16 105:19 better 59:11 64:5 beyond 54:20 bid 84:20 bifurcated 8:8 biomass 11:22 12:4 112:12 113:1,6 bit 25:20 block 48:10 82:12 blocks 48:10,14 48:15 blunt 88:14 board 1:1 4:3 5:11 7:2 11:2 53:15 56:9 62:1 73:9 74:12 83:18 84:17 108:18 113:20 Board's 4:15 6:17 9:19 12:22 body 19:22 boiler 7:7,7,11 9:2,3 11:15 19:14 40:4 48:16 51:9,15 52:1,9 58:21 80:5 103:12 109:10 118:14 118:15	boilers 59:9 76:11 80:8 bottom 44:7 59:4 boundaries 16:19 117:12 box 2:13 93:10 breakdown 119:17 brief 17:20 23:1 23:2 24:20 25:9 36:9 38:12 74:6 84:7 85:20 103:10 113:22 114:15 briefing 6:16 briefly 73:10 118:9 briefs 5:12 bring 12:17 bringing 65:9 103:20 Brings 15:21 broad 79:14 broader 78:22 broken 8:13 brought 74:4,4 Bruce 3:6 5:19 BTU 36:19 buffer 46:3 build 7:6 building 2:12 44:11,13 45:11 built 79:5 102:2 bulk 66:1 burden 48:19,22 49:2,8 75:4,8 burn 7:11,21 9:3 9:10,13,14,15 9:17 10:1,3,6 13:12,18 14:9 14:10,19 15:3 15:11,12 52:9 52:14 53:11 105:7,8,14 106:4 112:9	118:14,15 burned 8:5 15:16 43:15 54:1 111:3 112:6 burning 8:6 9:12 9:21 37:5 104:11 105:12 business 11:5,7 11:8 Byrd 2:4 B-21 109:3 C C 3:3 4:1 19:4 90:1 calculated 30:15 32:7,15 33:2 calculation 29:10 32:7 34:10,12 36:10 81:2,3 85:22 86:3,19 call 69:2 81:1 82:13 called 33:11 Campaign 3:6 campus 12:3 capabilities 52:8 capable 7:7 capacity 38:3 43:18 44:7,16 44:19,21 45:15 45:16,18 46:5 47:12,15 48:4 49:16 50:1,10 51:2,18,18 55:12 89:7 capital 16:7 careful 93:6 carefully 42:14 Cartesian 19:10 carve-out 117:11 case 5:19 6:15 13:1 15:9 25:7 25:12,16 27:15	49:8 62:3 63:8 70:12 73:14 81:3 95:10 100:4,6 101:7 102:1,4 103:15 105:9 106:13 106:17 108:19 cases 106:1 case-by-case 100:3,5,15 categories 18:11 Catherine 2:6 6:5 cause 41:1 106:8 cell 4:10 center 44:6 central 48:20 certain 16:19 31:4 37:7 69:2 71:11 102:7,13 104:1,3 105:22 108:11 certainly 22:16 26:6 36:8 40:8 47:6 81:10 cetera 69:20 CFB 43:3 58:21 CFBs 52:14 challenge 25:3,7 challenged 24:11,17 change 11:8 12:14 13:2 15:4,6 75:22 123:20 changes 12:18 Charles 1:18 4:8 chart 86:6,15 chart's 88:19 check 93:10 chips 65:22 66:9 circling 60:17 Circuit 9:18 10:1,6,9 14:16 14:22 73:14 79:3,9 80:9 Circuit's 14:14	circumstances 50:11 52:8 circumvent 68:11,20 circumventing 70:18 cite 12:22 16:12 cited 67:15 city 66:20 103:8 claim 17:2 27:16 37:9 clarification 121:21 clarify 23:17 47:9 class 7:1 34:6 38:7,11,16,17 41:13 clean 6:22 7:4 8:18 9:21 10:8 10:20 12:3 13:13 15:8,11 15:19,22 16:15 73:12,13,15,18 73:19 75:7 87:12 104:7,8 104:11 116:2,6 116:19,19 cleaner 10:18 15:2,3 37:5 64:4 103:18 104:13 110:20 111:13 cleanest 75:15 clear 14:16 25:12 40:20 42:9,13 48:1 50:15 74:13 83:1 97:11 114:11 118:1 119:11 122:12 122:18 clearinghouse 69:6 clearly 23:8 117:19,22 climate 100:19
--	--	---	--	--

close 59:15 85:13 90:2,22 91:4	101:12 102:18 102:20 104:13 104:20 105:8	112:15,17 116:13 117:22 118:7,16	concludes 123:19 124:10	constitutes 23:9
closely 59:8	105:12 106:14	common 62:16	conclusion 50:22 60:14	Constitution 1:14
closest 19:1 21:6 57:17 59:13	106:20 108:3,5	communicated 63:22 66:15	88:19 115:21	constricted 46:5
Club 3:6 4:16,21 5:16,18,20	110:10,11	company 55:1 63:22 87:15	conclusions 42:3	construct 74:18 104:16
6:12,16 8:22	111:19,21	92:13 93:19	conclusory 123:21	constructed 27:10 31:8
25:6 49:9	112:5,7,14	96:18	condensable 25:18,22	construction 31:5 32:11
51:21 71:18	117:6 118:15	compare 81:6,9	condition 87:7,9	84:19 85:4
72:11 73:1,14	119:1,2,16,18	compared 31:22 32:4,8 33:17	87:17	109:5,6 110:5
73:21 85:12	122:5,21	34:4 44:9	conditions 8:14	120:11 121:9
89:21 103:15	coals 54:3,12,17 60:12 61:2	114:9	13:22 18:15	consume 26:10
107:13 108:18	110:12,20	compares 34:20	19:18 64:10	26:15,20
113:14,21	111:2	comparison 82:5	71:11 88:8	109:14
116:17,18	coal-burning 8:9 111:18	complaints 103:21	conduct 41:7	consumed 11:16
Club's 8:21	coke 14:11	completed 113:8	conferred 82:16	26:22 30:7
22:15 48:22	colleagues 82:17	completely 121:20	confidence 93:5	35:7
76:6 87:21	column 59:1	complex 69:18	configuration 80:6	consumes 27:11
88:13	combined 21:1	compliance 33:12 40:22	configured 51:5	27:22 81:7
coal 3:6 7:11,16	come 26:11,21 52:1 53:4,21	85:15 88:17	conflating 23:14	consuming 30:10 35:10
7:22 8:4,6,13	53:22 56:1	complied 106:3	confused 96:4	110:7
9:4,6,15,17	101:9,13	comply 37:2	Congress 30:20	consumption 26:4 28:14,22
10:1,9,12,14	102:17,20	complying 87:10	consecutive 82:10,20 83:14	34:20 87:22
11:13 12:12	comes 22:5 33:10 105:1	conceded 112:3	conservative 94:2	90:18 96:21
15:15,16 43:8	coming 13:7 65:6 66:16,18	concentration 17:19 31:10	consider 10:20	122:5
43:15,19 44:9	66:19 94:3	32:6 39:3	50:2 52:4	contact 40:11
44:14,16,22	commence 110:5	41:10 90:4,10	71:12,12 75:6	contain 77:8
45:9,12,12	commenced 84:19 85:4	90:17,21 109:1	102:11 113:20	contemporane... 83:22
52:22 53:1,2,3	109:5	concentrations 18:20 94:5	consideration 59:17 93:6	content 60:7
53:6,9,11 54:1	comment 71:20 72:20 81:14	96:20 98:13	considered 18:13 49:22	63:9,18 110:12
54:2,9,15 55:7	94:21 106:12	concept 30:21	54:17 73:13	111:22 112:8
55:8,10,14	118:13 119:8	Conceptually 31:18	75:17 76:2	118:20
56:14 57:18	comments 8:21 36:7 50:8	concern 71:9,14	79:3 83:10	contention 53:8
58:15,16 60:18	63:14 66:8	75:12 88:13	104:8 116:10	contiguous 79:6
61:13,14,22	73:3 76:6	concerning 11:3 114:2	considering 8:22 116:6	contract 10:6,7 14:19
62:4 63:13,17	78:19 81:20	conclude 24:9 46:9	consistent 15:18 38:1 121:20	contractor 108:6
63:18 64:1,3,5	84:3,11 85:16		consists 25:22	contradict 47:18
64:14,16,17,18	94:22 95:12,21		constant 113:12	contribute 41:1 106:8
64:20,22 65:4	107:17 111:5			contributing 20:18
65:19 72:6,12				
72:15,17,22				
74:2,17 75:20				
76:9,9,20 77:6				
78:1,2,16				
79:21 80:4				

contribution 38:20	115:1,11	44:19 45:2,4	117:1	110:14,16
control 11:9 60:19 87:2 89:9 113:12,13	critical 35:14	47:16 49:17	deliveries 7:18	111:1,7,8
CONT'D 3:1	crossed 99:9	64:18 72:21	11:16 43:21	112:3,17
conveyed 23:8	cross-references 27:9	104:20 118:13	56:5 102:15	113:10,11
conveyor 48:13 80:3 106:17	cubic 33:9 39:6	118:15 119:15	delivering 101:3	114:1,5,15
convincing 22:9 24:4	curiosity 98:2	119:15	delivery 8:11,18	115:3 118:3,22 124:7
core 88:16	currency 91:17 93:7	de 39:2	12:14 51:13	DEQ's 10:22
corner 46:2	current 91:13 92:5,6 98:10	deal 14:3 103:16	55:15 64:14,17	11:1 70:2
correct 23:15,17 37:12 67:15	104:17	110:17 117:8	66:8 72:13	77:20 78:6,14
72:1 77:21	currently 108:20 108:21	dealt 108:12	119:4	95:13 111:10
107:9 113:17	currentness 97:18	117:9	delta 32:16	116:3,20
116:14 118:21	cursor 96:1,2	debatable 71:7	delve 42:10	derived 89:13
119:14 123:12	C-10 26:13 109:13	decided 62:20 99:8	demonstrate 40:22 42:8	describing 52:1
correctly 116:8 122:20	D	decides 113:20	45:14 47:22	design 11:17,20
corresponds 38:5	D 2:9 4:1	deciding 18:6	demonstrated 42:15 92:12	12:6,9,18
cost 108:14 123:15,18,20	daily 14:3	decision 4:19 9:20 11:5 13:1	demonstrates 49:9	13:19 14:18
counsel 2:6 5:13 6:4,5,7 61:20 79:8	dark 115:17	14:15,22 74:7	demonstration 42:12	15:5 44:3,17
count 29:20	data 16:2,13,16 16:20 17:1,7,9	78:21 79:13	denominated 48:4	52:20 75:22
counted 29:20 29:21 35:4	18:13,16 20:12	122:15,21	deny 96:1	77:8,11 89:7
counting 29:18	27:5,6,11	decreases 110:9 121:13	department 2:8 2:11 4:17 5:22	designates 13:3
counts 35:6	28:18,19 83:22	dedicated 100:17	42:4 63:4 68:2	designed 15:12
County 92:17 115:7	84:6 91:6,8,13	deducible 57:13	71:21 72:2,3	14:19
couple 121:2	92:15 93:16	deep 8:18	depend 9:17	detail 85:20 95:18
course 85:11 111:20	94:19 97:10	deeply 88:10	depending 8:14 12:14 91:1,4	detailed 36:8 91:18
court 14:21 42:20 75:2	98:21 109:18	defending 4:19	DEQ 7:15 9:2 10:19 12:22	details 100:14
cover 123:4	110:6 115:6,17	defer 61:20	17:7,9 18:22	determination 7:14 15:1 49:5 124:4
co-online 79:6	118:4	deference 93:11	20:3 27:16	determinations 22:19 123:19
credence 117:4	date 22:6 23:3 34:1 70:7,9	deficient 9:7	42:16 45:16	determine 8:16
credit 93:2	81:13 82:11	defined 27:8 30:21 31:6	47:16 49:15,21	determined 19:14 27:20 98:6
criteria 95:19 98:6 114:7,10 114:12,13	83:8 85:5	109:3,9	50:6,7 63:21	determining 90:17 99:16
	110:8 120:7,12	definition 27:10 28:1 31:9	67:18 73:8	diagram 46:16 46:22 51:11
	121:6,9,14	109:11 120:9	75:5 76:7,12	77:3,17 90:16
	David 3:3 5:18	definitions 27:12 28:2	82:17 83:16	diagraming 47:4
	day 54:19 66:9 100:11,12	Dehlin 2:6 6:5	90:14 91:9,13	difference 27:17 27:19 60:2 61:5 81:6
	days 7:22 8:1,2,2 8:3,4,13 11:21 15:17 43:8,9	deliver 76:21 112:12,14	92:3,19 93:15	
		delivered 12:11 12:12,12,13	93:16 95:14	
		64:21 66:1	96:11,22 97:14	
		74:9 76:9 78:3	98:22 99:14	
			107:16 108:17	

<p>different 9:11 14:8,20 18:12 37:16 51:19 61:8 68:14 72:8,10 90:19 95:9 112:19 116:10 122:15</p> <p>differentiation 45:5 53:2</p> <p>difficult 7:18 8:11 69:18 102:15,16,20 112:12,13</p> <p>difficulties 22:20,20 65:1 103:11,12,13</p> <p>dioxide 7:9</p> <p>direction 10:15 10:18</p> <p>directions 94:7 98:16</p> <p>Director 3:6</p> <p>dirty 7:12 15:8 64:5</p> <p>dirtiest 13:17</p> <p>dirty 10:8 13:13 71:4 105:18</p> <p>disagree 42:3</p> <p>discussed 9:19 10:7 85:11 110:1 114:14</p> <p>discussing 110:22</p> <p>discussion 10:8 12:1 28:4 60:17,20 70:21 100:1 112:10 113:10 115:2 120:20 121:3,7</p> <p>dispersion 106:6</p> <p>dispute 7:5 91:12</p> <p>disrupted 43:22 57:1</p> <p>disruptions 56:12 72:13 119:4</p>	<p>distance 17:15 17:22 21:6 38:15 56:7,9 90:11 107:3 108:11 114:8 114:20</p> <p>distances 20:2 57:3 90:22 91:3</p> <p>distinction 10:2 14:16 55:18 110:4</p> <p>distinguish 27:4</p> <p>dividing 36:20</p> <p>Division 2:12 68:3</p> <p>document 19:4,9 19:9 44:3 58:8 67:21 68:13 70:1,4,11 91:19 92:8 100:14</p> <p>documentation 122:17</p> <p>documents 110:13</p> <p>doing 33:19 52:11 60:9 63:7 69:10 71:4 75:12</p> <p>double 29:18 37:3 39:13</p> <p>doubt 20:4 105:14 114:16 114:19</p> <p>draft 116:14 117:15 118:10 118:12</p> <p>dramatically 63:19</p> <p>drive 60:11 105:16,18</p> <p>driven 119:12</p> <p>driving 61:11 85:12</p> <p>due 116:12</p> <p>Durr 3:10 4:2</p>	<p>d'etre 79:16 80:13</p> <p>D.C 1:2,8,14</p> <p style="text-align: center;">E</p> <p>E 1:17 4:1,1 26:5</p> <p>earlier 43:7 77:8 85:11 89:20 114:14</p> <p>early 10:22 70:5</p> <p>easily 57:12</p> <p>East 2:4</p> <p>economic 122:2 122:4 124:8</p> <p>economically 75:19</p> <p>economics 122:7 122:22 123:1 124:5</p> <p>Ed 4:8</p> <p>EDWARD 1:17</p> <p>effect 53:5 103:3</p> <p>effective 21:16 21:19 22:6 23:2 70:7,9 109:1</p> <p>effectively 110:9</p> <p>effectiveness 108:14 123:15 123:18</p> <p>efficiency 87:3 89:9</p> <p>efforts 73:17,22</p> <p>eight 43:9</p> <p>either 28:4 38:2 53:13 85:9 108:13 112:8 115:12 118:1</p> <p>either/or 20:14</p> <p>elected 61:10</p> <p>Electric 53:13 81:16</p> <p>element 62:21</p> <p>embrace 79:10</p> <p>emergency 9:1 118:2</p> <p>emission 7:9</p>	<p>26:14 36:12,16 37:3 43:16 53:18 61:11 63:16 64:4 69:4,11 82:1 89:3,12 109:14 113:13 117:9</p> <p>emissions 6:19 26:10,11,18,19 27:8,13,20 28:2 29:1,6,6 30:3,4,6,18 32:2,16 33:3 36:18 81:9,11 81:12,21 82:2 82:3,19 83:7 83:15 84:4,8 84:18 85:1,18 88:2 89:6 109:3,6,7,8 110:7 120:2,4 120:9 121:8</p> <p>emit 27:14</p> <p>emitted 28:13</p> <p>emphasis 73:11</p> <p>emphasized 79:22</p> <p>employing 11:11</p> <p>empty 46:1</p> <p>encompass 30:17</p> <p>endeavored 47:2</p> <p>enforceable 36:22 37:8 38:3,4 86:20</p> <p>ensure 32:17</p> <p>entail 76:17 78:17</p> <p>entertained 5:10</p> <p>entire 39:21 41:12 80:2 109:10 120:3</p> <p>entities 27:21</p> <p>envelope 73:18</p> <p>Environment 2:11</p> <p>Environmental</p>	<p>1:1,1,13 2:8 4:2,3,18 6:1 42:4 68:2</p> <p>EPA 18:10,11,12 39:8 121:20</p> <p>equating 79:10</p> <p>equipment 85:19</p> <p>equivalent 24:1 24:19</p> <p>equivalents 24:22</p> <p>error 42:9,13 48:1 50:15 83:11 97:11 122:12,18</p> <p>Escanaba 17:10 17:18 18:2 93:21</p> <p>especially 11:2 116:2</p> <p>ESQUIRE 2:3,6 2:9 3:3</p> <p>essence 62:22</p> <p>essentially 16:5 84:16 85:5</p> <p>establish 32:14</p> <p>established 7:10 7:20,20 14:6 15:14 28:20 33:7</p> <p>establishing 7:16 116:10,20</p> <p>et 69:20</p> <p>Eurika 3:10</p> <p>evaluation 53:22 54:17 58:8</p> <p>events 31:4,5</p> <p>everybody 104:12</p> <p>evidence 8:17 17:6</p> <p>evidently 47:8</p> <p>exactly 98:22</p> <p>examine 74:1</p> <p>examined 47:16 58:20</p>
---	---	--	---	---

example 14:5 28:8 33:8 34:6 35:22 36:19 37:14,18 69:5 74:1,16,17 86:1 93:21 94:19 109:21 114:13	24:13 87:13 102:13 e-mail 90:5 F fabric 88:7 89:8 facilities 59:7,19 67:14 69:10 111:18 facility 12:17 16:4 17:3 18:14 19:6,12 28:9 32:20 43:16,19 44:3 44:4 48:14,15 49:16 50:1 51:5,8 71:15 74:9,15 76:22 77:5,9 79:7,20 80:2 81:4 87:5 109:10 113:5 120:5,6 fact 10:10 12:1 14:21 15:12 17:7 32:20 33:3 42:13 43:6 50:10 51:5,17 52:9 57:12 59:8 72:18 75:5 79:5 84:6 89:14,16 95:4 98:14 99:16 100:13 101:15 101:21 102:15 102:22 118:3 118:11 119:16 factors 43:17 93:6,7,8 100:16 facts 47:9 95:9 102:8 104:22 107:12,14,19 factually 57:22 failed 75:5 fair 46:9 fairly 44:8	fait 55:3 fall 23:19 28:1,3 109:19 familiar 5:11 67:19 far 14:13 15:9 21:22 38:10 68:14 90:11 91:1,4 100:8 113:2 fashion 75:21 79:21 96:1,3 favorable 18:22 feasibility 52:14 76:15 108:13 feasible 75:19 76:19,20 February 123:5 fed 76:11 federal 40:11,19 87:11 feed 48:15 51:8 51:15 103:12 feeding 80:4,7 figure 26:21 34:17 86:21 figures 58:19 file 99:13 filter 88:7 89:8 filterable 25:14 final 10:12 69:13 Finally 5:5 122:10 find 42:11 48:22 67:2 78:10,13 115:7 fine 42:21 74:20 114:6 finger 87:6 Finto 2:3 6:2,3 99:20,21 102:12,21 103:4,19 104:9 105:2,21 107:9 120:22 121:1 123:1,12 first 4:22 7:14	21:2 43:1 55:5 58:11 69:9 99:22 111:10 113:14 114:12 five 20:8 21:5 five-step 68:16 69:15,16 70:18 76:15 flagged 58:12 flat 18:14 19:17 flexibility 13:9 13:10,11,18,22 13:22 14:2,5 14:10,13 106:1 floor 2:12 51:20 fluctuations 14:7 focus 6:21 35:9 54:5,7 60:12 focused 35:16 follow 59:2 followed 5:16 83:21 following 62:15 108:22 follow-up 122:3 footnote 39:19 86:6,18 88:10 forcing 62:21 foreseeable 40:8 105:10 forest 12:15 form 53:22 54:17 58:8 59:22 forms 82:1 forth 51:21 56:2 68:12 70:19 87:4 found 75:19 79:3 foundation 91:22 four 58:9 fraction 25:18 25:20 26:1 framework 93:4	frankly 46:8 48:17 51:3 77:5 83:3,15 117:22 120:19 front 6:9 65:14 99:12 fuel 7:12 8:18 9:1,3,10,12,21 10:4,5,7,18,21 11:22 12:4,4 12:10,11,19 13:8,9,11,13 13:17 14:8 15:8,8,12,13 37:5 43:5,19 43:21 45:1,2,4 46:22 51:6,7,8 51:18 52:5 56:5,19 59:12 64:12,17 71:10 72:13 73:13,19 74:8 87:14 99:22 100:21 101:7,16 102:5 103:18 104:12 104:14,19 105:18 106:1 108:11 111:13 112:12,14 113:1 116:2 119:4 124:6 fuels 6:22 7:4,8 10:20 11:21 13:19 14:20 15:3,19 47:16 52:10,15 63:9 73:15,18 104:8 106:11 116:6 116:19,20 122:1 full-blown 97:4 function 122:5,6 fundamental 12:6,9 further 26:3 furthest 19:19
---	--	---	---	--

<p style="text-align: center;">G</p> <p>G 2:12 4:1 Garvey 3:3 Gary 3:10 gas 6:19 9:1 gases 5:9 gate 17:3 65:14 66:18 general 2:6,10 2:11 6:5 42:22 43:5 79:21 84:2 87:7,9,17 generally 5:11 36:4 44:12 83:19 111:18 generate 34:11 generating 34:12 getting 53:16 64:1 67:3 82:21 85:13 106:13 113:1 117:16 give 18:6 47:10 84:7 93:5,11 93:19 given 52:7 55:11 55:22 107:3 117:4 giving 20:3 114:15,18 go 5:3 31:12 34:7 35:20 45:22 46:18 57:11 61:12 67:10 85:10 95:18 122:12 goes 11:14 38:11 69:15 100:12 going 10:15,18 42:19 51:8 53:11 56:10,15 60:12 61:16 64:1,9 65:9 78:10 79:15 82:22 87:6 89:19 94:9</p>	<p>96:1 97:21 98:16 100:18 101:9 105:7,7 111:3 good 4:12 5:17 5:21 6:2,11 41:18,19 59:20 99:21 Gordon 2:9 5:21 5:22 41:17,18 41:20 43:14 44:6,18 45:6 46:8,14,20 47:13 48:8 49:7,14,21 50:6,17 51:1 52:6 53:7 54:7 54:21 55:5 56:3 57:1,5,8 57:19 58:4 59:2,5 60:2,16 61:6,15 62:10 63:3,20 64:7 64:20 65:3,7 65:21 66:7,13 67:7,16,22 68:4,18 69:22 70:3,9,15 71:17 72:9 73:6,20 75:3 76:5 77:2,13 78:9,13 79:12 80:21 81:11 82:16 84:1 86:10,14,17 87:1 88:21 90:13 91:7 92:1 93:13 94:15 95:8 96:8,14,18 98:8 99:6,11 116:8 117:14 118:9 119:14 119:21 122:16 124:3,7 gotten 101:8 grandfathered</p>	<p>21:15 grant 13:16 great 38:15 104:21 greatly 101:20 Green 17:12 93:22 greenhouse 5:9 6:19 grid 19:10 89:22 90:1,15 100:19 ground 47:10 103:17 grounds 51:9 grow 26:12 guess 11:13 38:12 guidance 22:8 23:8,21,21 40:18 68:9,10 70:3 guideline 18:9 19:16 guidelines 18:11 20:1,13 21:4 114:10,11 guides 68:7 guiding 67:13</p> <hr/> <p style="text-align: center;">H</p> <p>half 39:14 56:6 hand 96:5,6 101:12 handle 113:5 handling 12:19 44:13 happen 97:12,14 happened 70:12 89:16 92:12 93:9 105:3 happening 95:10 100:10 happens 29:17 31:19 118:2,3 happy 7:1 harsh 100:19 102:14</p>	<p>headroom 14:6 hear 55:19 heard 111:14 113:15 122:20 hearing 62:21 63:2 heart 67:4 Heating 4:6,14 46:2 47:1 77:14 heavy 116:22 help 60:10 66:4 88:14 high 39:12 98:13 higher 61:9,10 61:14 94:5 98:14 123:17 highest 112:7 highlights 25:15 hold 35:19 honest 46:10 67:17 Honor 5:17,21 9:10 17:5 22:2 27:3 34:14 37:13 39:17 40:15 105:3 107:11 Honorable 4:7 Honors 6:12,14 42:1 hopper 44:14 host 42:18 hour 36:11,14 37:3,15 86:1,5 88:3,4 89:5,11 hourly 36:15 85:13,14,18 89:18 hours 36:5 Hunton 2:3</p> <hr/> <p style="text-align: center;">I</p> <p>idea 16:6 identified 55:1 108:1,8 112:17 112:18 118:13</p>	<p>identifies 25:9 33:11,13 34:19 42:1 identify 34:17 75:13 110:16 112:2,22 113:2 113:3 identifying 35:13 110:21 ignore 84:17 85:6 ignored 111:1 ignoring 120:13 immediately 11:15 immune 13:3 impact 19:13 20:8,16,19,20 21:1 38:16,16 39:9 97:3 99:17 impacts 7:1 19:14 impedes 64:13 implications 116:5 implicit 92:11 94:16 95:2 107:15 important 13:5 42:5 79:19 85:2 100:5 121:12 impossible 77:11 112:13 inaccurate 57:22 incapability 14:17 incapable 9:11 9:21 include 28:22 31:6 40:6 57:16 83:21 121:5,8 included 29:1,8 29:9 30:16 34:2 35:1,7</p>
--	---	--	---	--

37:18 39:18 81:17,18 108:22 121:10 121:15 123:16 includes 111:12 including 8:2 33:21 44:12 inclusive 33:21 incorrect 63:1 increase 29:12 81:7 109:2 increases 26:14 109:8,14,18,22 110:8 121:13 increment 7:1 26:4,4,10,12 26:15,20,22 27:2,11,22 28:14,22 29:10 30:3,10 31:15 31:21,22 32:5 32:9,14,18 33:2,7,18 34:4 34:20 35:4,7 35:10,16 36:2 36:6 38:1,7 39:7,21 40:16 40:20 41:1,2,7 41:8,12,13 80:20 81:1,7 85:14 87:22 88:16 90:18 96:21 97:4 108:16 109:15 110:7 121:3,17 121:22 increments 26:8 30:8 39:11 increment-con... 29:21 32:2,4,8 33:14,15,20 39:22 40:7 82:6 83:10 84:5,22 120:5 incumbent 50:11 independent	49:19 50:4,5 65:8 66:1,19 indicate 45:10 46:6,6 52:21 65:17 112:15 indicated 4:20 43:8 56:22 57:3 77:7 116:8 indicates 10:19 45:7 65:15 106:5 indicating 47:5 indication 65:12 106:6 112:16 individual 42:11 indulgence 124:3 industrial 113:4 inference 93:14 inform 5:1 information 41:4 49:15,20 51:1,3 57:13 69:5 85:17 90:14 91:10 92:20,21 93:17 93:21 94:1 96:19 97:1,9 99:14 111:7 115:5 122:14 123:3,8 inherent 12:6 13:10,19 14:18 initial 69:9 106:6 initially 76:2 inquiry 54:2 inside 66:17 instance 75:20 instances 100:11 intend 6:20 intended 10:5 66:15 68:21 110:2 113:8 intends 7:6 intention 43:2	43:11 Internet 57:11 118:4 interpret 85:9 interpretation 15:18 113:17 interpretations 116:3 interpreted 85:8 interrupting 64:12 investments 16:8 involve 80:1 Isle 27:21 40:12 41:5 53:13 54:2,19 56:7 57:4 60:5 61:3 61:3 62:4 74:11 81:16 83:7 108:17 issuance 49:13 49:14 issue 7:4 8:22 12:19 15:21 25:1 26:3 38:7 42:15 43:10 47:17 53:17 58:6 73:5 78:15 80:20 82:18 83:5,11 83:17,22 84:2 84:10 89:20 97:13 103:10 105:8 108:16 113:22 116:12 116:13,17,19 119:5,7,9 120:1 124:5,8 issuer 4:18 49:2 issues 6:15,17,20 6:21 7:3 21:17 42:2,6,11,18 48:16 72:10 78:12 94:18,20 95:1 99:22 107:18 116:2	is.4 60:18 it'd 9:10 17:15 22:17 34:5 <hr/> J J 2:3 January 71:16 81:13 job 112:2 Judge 4:12 6:7 8:7 9:5,13 10:10 11:10 12:5 13:21 14:12 16:10,22 17:18 18:5 19:3,11 20:7 21:7,10 22:11 22:22 23:10 24:9 25:1 26:2 28:5,21 29:7 29:15,17 30:12 31:11,13 32:12 34:7,22 35:9 35:18 37:9 38:6,9 39:14 40:9 41:3,16 41:19 42:22 44:1 45:3,17 46:12,17 47:6 48:2,19 49:11 49:18 50:2,16 50:19 51:19 52:19 53:19 54:10 55:2,16 56:21 57:2,7 57:14 58:2,5 59:4,6 60:8 61:1,7 62:7,15 62:16 63:11 64:3,9,22 65:5 65:11 66:4,12 67:4,10,20 68:1,5 69:13 70:1,7,13 71:6 71:8 72:2 73:4 73:10 74:19 75:7,9 77:1,7	78:5,11,20 80:19,22 82:7 83:19 85:10 86:12,15,18 88:9 89:19 90:20 91:15 93:2 94:12,17 96:4,12,16 98:2 99:2,7,20 102:7,19 103:2 103:9,15 104:5 104:18 105:16 107:6,10 109:12 111:4 111:14 116:7 116:16 117:13 119:11,19 120:22 122:19 123:9,13 124:2 124:2,9,10 Judges 4:7 July 8:3 21:17 21:18,19 23:3 23:6 72:7 June 8:2 71:16 justification 7:15 8:5 114:22 justified 23:22 justify 7:19 114:3 just-in-time 11:12 <hr/> K keep 95:9 Kevin 2:3 6:2 kilometer 18:19 19:5,15 20:6 20:16,17 115:15 kilometers 17:11 17:12,13,14,21 18:4,18 19:2 19:20 20:3,5,9 20:10,15,21 91:2 114:15,19
---	---	--	--	--

kind 13:13 53:3 53:6 54:2 70:18 80:6,10 95:2	lawful 23:22	63:15 64:4	long-term 88:13	31:7 32:10,10
knew 92:15 111:15	lawmakers 106:10	69:4,11 72:17 72:21 89:3,11 89:12 116:20	look 16:5 37:13 42:13 45:18 50:13 54:3 71:1 75:9 77:2 82:18 84:2,6 89:14 91:1 97:2 100:6 104:10,14,19 105:6,9 118:15 123:22	33:22,22 81:12 83:8 84:18,19 85:1,3,4 109:4 109:20 110:5,6 120:6,11
know 9:9 17:8 35:15 37:1 41:8,13,15 45:9 46:8 48:8 48:9 50:16 52:6,13 54:10 55:6 57:5,13 57:21 69:22 72:3 75:15 76:13,21 84:14 87:7 89:4 93:20 94:12,21 97:1,12 105:3 110:1,3,14,15 111:17,19,21 114:8,13 115:12,16 120:1 123:22	lay 70:19 95:18	limitations 104:3	71:1 75:9 77:2 82:18 84:2,6 89:14 91:1 97:2 100:6 104:10,14,19 105:6,9 118:15 123:22	109:20 110:5,6 120:6,11
knowing 77:10	laying 92:8	limited 43:18 85:18 101:3	looked 35:15 47:17 50:14,21 55:19 56:4 67:1 83:1 92:3 92:8 105:6	majority 25:17
knowledge 65:11	layout 89:22 90:16	limits 6:18 13:16 14:5 36:1,1,3 36:12 37:7,7 37:19 43:17 59:21 61:11 62:18 63:17 71:13,16 85:13 85:14 88:11,22 116:10 117:10 117:18	67:1 83:1 92:3 92:8 105:6	making 14:16 33:19 55:18 57:15 68:8 73:21 83:4
knows 115:3,3,4	lays 70:16 91:15 98:8,22	line 18:6 99:4,9 108:5	looking 17:19 23:20 55:7,9 55:13 61:18 63:6 65:12 75:10 86:2 87:22 88:9 95:2,6 105:4 105:22 106:2	manager 40:19
Kucera 44:2 45:19 58:7	lead 91:2	lines 58:11	95:2,6 105:4 105:22 106:2	managers 40:11 41:5
L	leap 16:5	list 32:1,4 33:20	looks 90:2 93:3 93:8	mandate 104:7
LAER 75:14,14	ledger 33:1,4,5	liter 33:9	lot 32:19 44:16 45:18,20,22,22 47:11,20 100:22 101:9 101:10 112:20 113:4,4	Mannen 2:12
laid 72:20 98:9	left 44:10 45:19 45:20 58:20 82:14 115:16	little 25:20 44:10 96:4 99:13	105:22 106:2	manual 16:18 18:9 26:7,13 26:14 38:2,9 39:15,18,19,19 68:12,15 69:17 69:18,21 85:9 91:5,15 95:20 109:13,14 110:2 111:8 113:9
Lake 19:22 100:8	legal 43:10	live 71:15 100:11	lots 47:3,5	manual's 16:11 28:4
land 40:11,19 41:5	legislative 22:4	LLP 2:3	45:18,20,22,22 47:11,20 100:22 101:9 101:10 112:20 113:4,4	map 33:11,12 45:9 46:6 100:6,21
language 27:7 110:4 121:4	length 69:14	local 12:16,17 74:10 103:7	lower 39:4 58:14 58:16 59:12 61:12 94:9 110:10,11	MapQuest 57:11
Lansing 2:14	letter 97:15 114:5 122:4 123:4,7	located 17:10 18:14,17	lowest 53:18 58:10	margins 46:10 58:20
large 44:8 45:21 46:4,9	letters 98:3,5	18:14,17		Marquette 17:9 19:21 40:3 52:22 53:15 54:1,9,18 56:9 57:4 61:2,4 62:1 66:17 74:12 90:18 92:17,18 94:3 94:6,8,10 98:15,17 103:1 115:7
larger 44:14 45:11 79:2 94:4	let's 5:13 45:17 53:19 71:3	locations 18:12 98:12 101:9,10 104:1 106:20	M	mass 37:22
Lastly 38:6	level 79:14 97:6 97:11	logging 65:9 66:10,14	macro 79:14	material 113:6
	levels 39:9 97:3 99:17	long 11:14 15:6 37:3	Madison 3:4,7	
	life 14:3	longer 24:4,7 36:5	Maer's 84:9	
	lifeline 106:14 106:22		Main 3:4	
	light 53:15 56:10 62:1 67:9,13 74:12		major 27:4,6,10	
	limestone 86:8			
	limit 7:9,16,19 7:20 8:4,13 11:8 14:7 15:14 25:15,19 25:19,20 36:15 36:18,19,21,21 37:10,11,15,15 37:16,20,20,21 37:21 38:4,4 38:10,13 49:4 53:18 58:15 59:11 61:11			

matter 1:11 4:13 69:10 76:14,16 101:16 122:17	Memorandum 67:6,12	mine 80:4	22:21 89:20	necessary 14:1 15:7 20:12 76:18
max 32:17	memorized 113:19	mine-mouth 79:17	90:7 95:14,15 97:19 99:3	need 40:16 51:12,13,14 52:17 62:3 100:14
maximizing 116:19	memos 22:8,19 23:8,21 24:2,3	minimis 39:2	114:4,6,9,18 115:6,17,18	needed 72:15 92:16 93:10 97:5 99:9
maximum 18:19 19:14 20:8,9 20:16,18,20,22 36:15 38:2,3 61:18 89:5 109:2	mentioned 9:6 17:20 52:3 59:17 102:1,22	mining 40:3 106:18	monitors 16:21 17:10 18:22 20:5 98:18,19 98:20 114:9,22 115:4,9,12,13	needs 38:14 73:13 97:17,18 97:18 98:4 100:2 101:12
McGillivray 3:3	mentions 120:10	minor 27:5,7 110:8 121:14	month 8:1,13 43:8 64:19 104:20	Neil 2:9 5:22
McNeil 3:3	mercy 106:21	minutes 4:21 5:2 5:4,6 6:13 35:19 41:21,21	months 8:10 28:17 43:4,21 62:1 81:4,5 112:19,20 119:3,5,13	netting 121:17
MDEQ 5:3,16 19:13 90:6 116:9 123:2 124:4	merely 9:22 73:16	mix 43:15 72:22 119:1 122:21	morning 4:12 5:17,21 6:2,11 41:18,19 99:21	never 9:6 22:12 52:2 76:1 78:7 79:5 83:15
mean 13:11 20:9 40:6 48:5,11 48:20 51:10 52:14 55:9 66:14 74:20 75:10 79:4,14 83:5 84:15 92:5 96:5,14 97:12	meter 39:6	model 20:2 37:21 38:2 39:5 41:9,11 41:15 96:19 106:7	move 80:19	new 16:4,8,18 17:15,16,22 18:8 32:15,20 32:21 87:4 107:12 111:8
meaning 86:22	method 25:10,13 25:14,15	modeled 19:13 32:3 33:12 39:4	moved 32:22	Nilles 3:6 5:19
means 74:14	metric 39:10,13	modeling 19:10 22:21 31:1,20 31:21 33:16,17 34:3 35:20 85:11 89:5,13 93:16 96:21 97:2 99:13 121:22	moving 33:4	NMU 4:18 5:5 5:16 20:4 21:4 36:7 57:4 58:15,21 59:8 59:10,14,16,21 60:1,11 62:19 62:19 73:17 90:3,6,12 104:6 111:16 114:15
meant 68:18	Michigan 1:4 2:2,7,8,10,14 4:5,14,17 5:22 6:3 7:5,15 9:2 11:3,6 12:21 17:9,10 19:21 24:20 25:9,10 40:3 42:3 61:21 68:1 75:11 81:22 99:15 111:1 112:11 115:8 115:10 121:19	modification 28:11,22 30:5 31:6,16 32:11 32:21 109:7 120:6	MPI 53:1	NMU's 90:22
measurable 20:11	Michigan's 121:19	modified 31:8 32:9,10 33:22 34:1	multiple 18:16	nonresponsive 85:19
measure 26:17	microns 33:9,18 34:5 39:5	modifications 33:22 81:15,19	M-a-e-r 84:9	north 54:13 100:9
meet 85:14 87:20 113:18 114:10,22 115:11	mid 70:6	monitor 17:16 18:17 19:1,19 21:6 34:6 91:6 98:11	N	Northern 1:4 2:2,7 4:5,13 6:3 7:5 11:2,6 12:21 24:20 25:8,10 40:5 61:20 99:15 111:1,18
meets 69:12 114:7,12	mile 56:7,8 101:6 107:4	monitoring 6:22 15:22 16:2 18:9 19:16 20:1 21:3	N 4:1	
megawatt 58:13 101:11	miles 56:15 65:16 66:5,5		NAAQS 36:2,5 85:14 88:16 96:22 106:8	
megawatts 59:13	million 36:19		nailed 26:9	
memo 22:16 23:12,12,21 67:17 69:1,14 70:22 75:11	Millstein 3:10		names 5:14	
	Milwaukee 17:13 18:4 91:3 93:22		National 3:6	
	mind 33:1 38:14 39:16		nationally 116:5	
			natural 2:11 8:22 14:7 30:15	
			NDEQ 21:5	
			near 44:6	
			nearby 17:4 60:12 101:13 103:1	
			necessarily 43:10	

112:11 note 8:20 19:21 31:19 39:18 noticing 67:8 November 101:18 NOX 99:3 NSPS 25:13 87:20 113:16 113:18,19 NSR 16:10 26:7 38:1,9 39:15 39:18,19,19 68:12,15 69:15 69:16,17,18,21 91:5 109:14 110:2 113:9 number 4:7 32:6 34:11 35:13 41:12 98:19 103:9 107:12 108:1,7 110:19 115:22 118:13 118:14 numbers 91:21 106:5 123:17 numerical 58:19 numerous 40:1 40:2 NW 1:14	occurring 26:15 109:15 October 1:9 4:15 odor 103:21 offer 14:13 offered 90:3 97:22 offering 17:20 Office 2:13 offline 26:11 106:18 oh 71:3 okay 41:16 61:7 70:9 85:10 86:16 90:20 124:9 once 66:9 ones 58:22 one-hour 88:15 88:20 one-page 91:19 on-site 52:21 operate 43:3 88:6 104:16 operating 88:8 89:8 operational 67:5 67:12,17 69:1 70:22 operations 37:5 40:4 opportunity 71:22 73:8 opposed 55:21 82:19 83:14 opposing 4:17 option 21:2 38:21 52:5 60:19,22 78:17 options 19:17 20:15 58:12 107:2,4 111:12 oral 1:12 4:4 96:13 124:14 order 4:15,20 5:8 6:17 42:20	64:15 69:9 75:4 78:15 original 10:11 28:16 29:2,4,8 29:19 63:12 64:5 123:5 originally 6:14 or.5 60:18 or.9 58:15 Ottawa 2:13 outset 5:1 outside 17:16 20:6,10 30:7 54:3 66:18,20 118:4 overcome 47:22 overlap 72:10	25:14 parties 4:16 6:18 parts 116:11 path 68:15 Peninsula 54:14 66:21 110:21 people 100:11 percent 7:21 9:14 10:12,14 15:16 25:20,21 39:7,10,20 41:11 43:3 58:16 60:3,3,7 60:18 61:3,4 63:8,13,15 72:12 86:7,19 86:21 87:1,18 89:9 113:13 118:20 perfect 14:1 perform 52:11 52:17 67:18 performance 87:4,15 performed 71:2 100:2 period 36:22 37:1,4 38:5 71:20 72:20 81:10 82:10,12 82:20 83:14 94:21 118:13 119:8 periods 35:22 36:3,4,6 85:15 117:5 permit 1:6 4:6 4:17,18,19 8:8 9:5 10:11,13 14:5,7 19:4 21:17 23:11,18 24:8 25:11 33:9,10 34:15 36:1,1,4 37:13 40:21 43:7 44:20 45:6 49:2,10,13,14	50:8 51:4 53:21 59:11,12 60:6 62:11 63:5,12,16 65:21 66:2 68:6,19 70:2 70:14,16 72:11 76:7 86:11,12 86:20 87:16 88:6 89:15 90:1 93:15 95:17,17 99:11 104:19 105:5 107:21 111:9 112:1,2 113:18 116:1,14 117:15,18 118:11,12 122:2,7,15 123:5,10 permittee 4:19 87:8 permitted 16:9 permitting 13:14,15 31:20 37:17,17 97:21 105:11 116:5 petition 6:15 7:3 71:18 83:6,16 84:12 petitioner 3:2 4:16 42:1 50:12 73:1 81:14 83:4 Petitioners 118:16 Petitioner's 120:8 petroleum 14:11 phones 4:10 phrase 85:3,6 physical 14:17 38:3 52:7,8 80:15 physically 9:21 80:1 pick 99:22
O 4:1 O 4:1 obligation 49:19 104:15 111:9 111:10 obtain 16:1 40:21 57:18 obvious 71:9 obviously 43:9 75:14 occur 31:5 66:9 74:8 109:18 121:13 occurred 21:17 22:13 114:3 120:11	P P 4:1 page 26:13 43:1 65:22 66:3,8 68:5 86:2,6,13 88:11 95:12 109:13 papers 45:3 paragraph 58:10,18 paragraphs 58:9 59:18 69:14 123:14 parking 100:22 113:4 part 35:11 48:20 50:5 52:3 57:14 79:19 103:5 110:13 119:13 122:22 participation 124:12 particular 60:5 72:5 82:11 93:4 118:19 119:1 120:14 particularly 75:10 particulate			

picture 77:9	99:3	post-baseline 26:20 29:10 82:6	premises 86:18	104:14,19
place 55:13 76:3 79:22 81:19	point 20:19,20 23:4 28:15 30:18 31:15 32:13 56:16 58:20 60:8,11 73:2 82:21 88:2 91:5 95:1 95:3 97:7 108:5 111:4 112:1 118:3,17 118:18 119:6	post-establish... 31:16	prepared 57:19	principally 6:20 7:9,16
places 54:18 55:10 85:21 117:12	pointed 79:9 85:21	post-mod 81:5	Preque 27:21	principle 18:5,7 23:14 27:2
plain 27:7 110:3	points 102:22 103:10 120:17 120:18 121:2	post-modificat... 82:4	presence 7:17	printed 58:7
plan 11:7,8 13:3	policy 21:11,15 21:19 22:5,7 22:14,17,18 23:4,5,12 24:5	post-1975 28:15	present 3:9 4:21 42:19 94:6	prior 81:12 109:20 119:7
plans 15:5	pollutant 94:5 98:13	pot 26:12	presentation 78:15	problem 8:8 11:18 40:13 64:16 112:18 117:16
plant 1:5 4:6,14 7:21 9:20 10:2 10:5 12:11,16 12:18 13:10,20 14:9 15:5,7,11 19:13 20:20 22:5 26:22 27:21 39:5,5 46:2 47:1 48:12 53:14 56:7,8,9 58:13 60:5 62:5 71:15 74:4,11 76:10,11 77:14 77:15 78:3 79:4,15,16,17 80:16 81:16 83:8 89:7 92:18 100:18 101:10,11 102:2 104:11 104:16 106:3,7 106:14,18,19 117:7 120:3	pollutants 18:3 94:7	potential 27:14 32:15 47:19 110:19 124:6	preserve 15:19	problems 7:13 56:11,16 115:22
plants 40:1,2,5 54:4,13 108:2 112:6,8	pollution 28:10 28:13 29:8	potentially 111:11	preserved 73:7 84:13 119:9	procedural 115:22
pleadings 90:4	pollution-cont... 111:12	Powder 74:2,16 75:20 76:8,10 78:2,16	presiding 4:9	proceed 4:22 5:5 6:8 75:21
please 4:10,11 42:19	portion 81:7 84:17 120:9	power 1:5 40:1,2 40:5 53:13,15 56:8,10 60:5 62:2,4 74:11 74:12 79:4 81:16 83:7 108:2 112:6	Presque 52:22 53:13 54:1,19 56:7 57:4 60:5 61:3,3 62:4 74:11 81:16 83:7 108:17	proceeding 24:11 119:12
plus 20:17 59:17	position 10:22 11:1,3 22:2,15 22:17 51:21 61:16 78:21 95:6 117:2 118:5 119:9	practical 40:10	presumably 14:1	process 10:22 68:16 69:15,16 76:15 117:3 121:18,19
PM 21:12,12 23:14,22 24:1 24:11,14,15,18 25:2,4,7,8,15 25:16,17,17,19 25:21,21 35:22 36:3 37:13	Posner 103:15	Prairie 9:19 10:3 12:10,19 12:22 14:15,18 14:22 15:10 74:7 78:21 79:3 102:1 106:12,16	presume 86:8 90:6 123:10	processor 12:16
	possibilities 49:3 49:5 60:10 108:7 113:3 114:18	preamble 59:6	presuming 15:16	proclamation 43:11
	possibility 8:19	preceding 82:10	pretty 40:20 41:11 59:8,20	produced 75:1
	possible 13:17 27:12 73:19 108:2,10	precisely 52:2 71:13	prevailing 94:6 98:15	product 68:3
	Post 2:13	preference 9:22 105:13	pre-constructi... 6:22 15:22 95:15 114:4	production 25:18
		preferred 13:3	prevent 117:1	prohibits 38:19
		preliminary 69:3,8 97:6 99:18	prevents 117:6	project 12:7 100:3
			previous 60:17	prompt 96:11
			previously 120:20	proper 88:8 108:12 117:7
			pre-baseline 26:19 32:22	properly 73:5,9
			pre-mod 81:3,5	proposed 10:21 39:8 63:13 69:4,11 100:4 104:10 117:18 121:21
			primarily 7:6,11 15:13 22:21 51:3	protection 1:1,1 1:13 4:4 37:6
			primary 43:5	provide 15:1

22:19 41:4 59:20 85:16 provided 55:1 55:10,14 91:8 91:13 92:21 99:14 102:8 provides 96:22 providing 97:10 provision 16:5 84:21 109:21 120:14 121:16 provisions 31:2 provisos 31:3 proximity 65:4 PSD 1:4,6 4:6 9:7 18:9 19:16 20:1,13 21:3 27:2,4 31:20 33:13,14,19 34:3 96:21 106:3 114:9,18 public 71:14,20 72:19,20 73:2 115:16 118:12 119:8 pull 12:15 32:20 73:19 pulling 28:16 purely 122:5 purpose 90:19 purposes 80:17 89:13 pursuant 4:15 push 73:18 105:1 put 44:2 51:21 58:7 60:19 72:19 77:22 78:6 103:15 121:5 122:16 puts 16:19 putting 63:5 87:6 p.m 124:14	quality 2:8 4:18 6:1 14:8 16:3,6 17:8,17 20:12 30:22 31:2 42:4 68:2,2 91:6,17 92:17 93:1,7 94:3 98:21 115:3,19 121:5,5 quarter 56:6 question 9:11 15:11 21:11 26:5 30:9,12 33:7 38:22 43:1 44:19 45:13 47:7 48:18 49:8 51:20 52:7,16 52:19 67:2 68:7 71:9 73:22 116:7,9 118:10 122:12 122:13,22 124:4 questions 7:2 26:3 44:5 100:9,22 110:11 120:16 121:2 122:10 quick 71:3 quick-hit 11:16 quite 28:6,6 59:15 quoting 69:14	railroads 77:3 raise 73:2 75:11 97:7 116:17 120:17 raised 8:22 71:18,19 83:16 94:20 95:11,20 100:9 107:13 116:13,18 119:6 120:19 raises 47:7 raison 79:16 80:13 random 93:3,20 range 13:19 21:1 42:2 55:17,21 84:7 rate 82:9 88:5,20 89:12,18 113:13 rates 37:3 117:10 rationale 119:20 reached 50:22 122:16 reaching 117:7 react 117:14 read 47:3 73:15 reading 79:1,2 82:8 120:8 reads 30:4 reaffirmed 73:14 real 35:2,3 91:12 realities 14:3 103:17 reality 37:10 40:10 43:12,20 86:22 88:5 really 8:17 47:8 47:9 48:21 62:11,13 85:16 90:16 107:1 118:2,10 reason 55:9 59:21 72:5 reasonable	15:18 93:14 reasonably 105:10 reasoning 72:7 rebuttal 5:3,5,7 6:10,13 41:22 107:7 120:19 recalculate 31:14,17 recall 70:4 117:20 receive 10:4 62:4 receiving 60:4 80:7 receptor 89:22 90:15 recitation 50:21 recollection 68:22 69:7 119:22 reconfiguration 79:10 80:2,10 80:15 reconfiguratio... 79:8 reconfigure 78:3 reconfiguring 48:12 record 5:14 8:17 12:2 45:14 46:18 47:14,21 48:17 49:9 50:5,20 51:2 51:17 53:4 57:2,9,16 61:8 62:8,11 65:7 65:12,13,15,16 66:22 74:21 78:7,14,18 85:21 92:2 94:13 99:8 101:15 102:9,9 102:11,13 103:3,14,21 112:14 113:7 117:21 118:4	122:11 record's 83:1 recycled 98:7 redefine 74:6 redefining 76:17 redesign 73:11 77:4 79:2,11 80:15 103:10 redesigning 78:18 reducing 37:5 reduction 86:7,8 86:19,21 87:1 87:3,19 refer 53:1 124:1 reference 69:16 referenced 18:8 18:10 19:2 110:3,13 references 66:21 referencing 19:9 referred 54:16 70:13 86:9 referring 29:5 86:10 123:9 reflect 72:17 93:5 reflected 26:7 44:17 reflective 82:2 reflects 36:12 51:11 62:8 122:14 regard 12:5 44:2 48:1 94:17 regarding 56:11 84:4 98:18 110:10 region 54:16 regional 115:9 regs 16:14 80:22 82:7,8,13 83:20 regulation 23:20 30:1,4 108:20 110:4 regulations 30:6
Q qualifies 32:11	R R 4:1 race 11:13 RACT/BACT/... 69:6 radius 19:5,15 20:6 89:22 rail 74:13,17 76:21 108:5 railroad 74:18 77:10,16,17 78:11			

33:8 40:18 106:4 regulator 108:19 regulatory 27:9 Reich 1:17 4:8 24:9 34:7,22 35:9 41:16,19 48:19 49:11,18 50:2,16,19 51:19 62:15 71:8 72:2 73:4 94:17 96:4,12 96:16 98:2 116:7,16 117:13 119:11 119:19 120:22 122:19 124:2,9 reinforce 62:13 relates 48:21 relative 24:14 94:19 relevance 19:6 relevant 28:18 28:19 37:22 39:7,10 relied 24:5 84:9 rely 22:7 24:1 56:5 74:6 78:20 relying 89:17 90:8,13 120:15 124:5,8 remaining 6:20 remand 97:13 97:20 114:3 remark 114:2 remember 42:5 removed 15:9 renewable 104:12 repeat 67:8 123:17 repeated 43:4 report 84:10 reported 81:12 81:21 reporting 82:1	represent 5:15 57:20 representation 46:21 47:14 57:15 77:19 representations 107:20 representative 16:2 17:1,7 18:13,16 20:2 20:12 25:16 31:1 77:15 82:3,11 83:13 92:16,22 93:15 93:18 94:1 95:5 98:11 115:5,18 representative... 94:18 represented 45:16 46:15 53:10 representing 57:10 60:21 represents 20:11 46:22 repudiation 69:21 request 91:7 92:14 97:9 requested 95:16 97:16 requesting 96:19 requests 113:21 require 38:17 95:3,15 118:19 118:21 required 73:17 80:16 87:2,8 87:19 requirement 16:12 90:7 requirements 83:20 87:11,14 91:16,18 92:15 92:21 106:9 requires 16:1	23:3 25:11 87:17 88:6 120:13 requiring 118:22 research 28:3 reserve 5:2,4,7 6:12 41:20 reserving 6:9 resource 109:17 Resources 2:11 resource-inten... 69:20 respect 8:9 100:15 103:20 106:11 122:1 respectfully 113:21 respond 10:16 71:21 response 8:21 9:2 36:7 50:8 62:12 63:14 66:7 78:19 85:16 94:22 95:12,21 96:9 107:12 112:15 112:16 116:21 117:22 118:5,7 responses 62:17 rest 46:13 restate 62:13 97:22 result 33:17,17 34:4 72:8 reversed 61:5 review 9:19 13:4 16:18 18:8 28:4 42:7 50:9 63:8 71:19 79:12 83:6,17 84:12 110:13 111:8 reviewed 49:21 50:7,7 67:16 92:19 reviewing 69:5	reviews 93:17 rewrite 84:21 85:7 108:18 re-affirmed 21:13 rhetorically 68:9 104:21 Richmond 2:4 right 11:15 12:15 17:3 19:11 23:16 35:5,9,12 39:17 44:13 46:2,3 73:6 78:14 79:13 80:5 92:1 107:8 119:19 rigorous 68:11 Ripley 1:5 4:6 4:14 46:1,22 65:15 77:14 rises 97:11 risk 102:5 River 74:2,16 75:20 76:8,10 78:2,16 Rivers 17:11 93:22 rolling 88:12 89:1,4,14 room 49:22 50:3 52:21 53:5,8 77:22 78:1 roughly 56:6,8 routes 66:10,13 Royale 40:12 41:5 rubber 63:5 rule 21:13,18,20 21:21 22:3 23:3,3 27:4 39:9 84:17 rulemaking 22:4 22:12 rules 104:15 rule-making 21:14,16	run 33:16 40:17 41:10,15 56:10 102:4 running 7:8 58:19 101:17 runs 34:3 rural 100:17 S S 4:1 sake 117:4 satisfied 50:10 97:5 satisfies 69:4 satisfy 87:16 90:6 91:5,17 106:9 saw 57:7 61:7 78:7 100:21 103:13 saying 13:9 16:14 23:10,18 27:15 31:13,17 34:22 37:10 41:3,6 55:19 62:16 63:2 71:3 73:4 74:7 75:2 92:3 94:14 97:1,17 103:5 114:6 117:13 says 11:4,7 21:21 26:14 27:7 30:1,6 38:2 50:9 66:8 68:6,10 70:22 75:7 84:18 87:8,9 88:22 89:1 92:4 95:14 104:20 109:8 121:7,12 scenario 105:5 105:10,17 schematic 45:10 46:15 51:10 scheme 26:6 52:20
--	---	--	--	--

scope 91:4	62:18,18 68:12	102:7,19 103:2	35:5	74:13 77:18
screening 41:10	87:4	103:9 104:5,18	significant 7:13	somewhat 95:22
69:3	sets 18:11 38:9	105:16 107:6	16:7 39:9	96:2
scrubber 58:22	39:15	107:10 109:12	41:12 97:3	sorry 23:7 29:4
scrubbers 59:10	seven 6:15 29:7	111:4,14 123:9	99:17 116:1,4	67:7
search 111:11	29:9,12,19	123:13 124:10	SIL 99:4	sort 32:21 42:22
seated 4:11	43:9	Sheehan's 124:2	sil 44:7,9,10,12	62:13 69:8
second 5:3 15:21	severe 72:16	sheet 43:6 72:18	45:11,12,12	79:15 80:12
85:3,6 88:10	Sheehan 1:18	90:5,21 91:10	silos 45:7 51:12	96:16 106:13
section 21:3 59:7	4:8,12 6:7 8:7	118:11 119:16	55:13 104:1	106:21
70:20 73:12	9:13 10:10	shipped 55:8	similar 9:18	sound 55:3
83:20 109:4,20	11:10 12:5	shore 100:8	106:16 117:8	60:13 113:17
109:22 113:19	13:21 14:12	short 36:5	Similarly 92:7	sounds 55:3
see 34:13 43:7	16:10,22 17:18	short-term	simple 110:10	62:17 74:20
44:7 54:11	18:5 19:3,11	36:12 37:8	simply 42:15	85:19 104:21
55:19 57:12	20:7 21:7,10	shove 105:1	48:6 81:8	105:19
58:11 65:12	22:11,22 25:1	show 47:3,11,22	97:21 102:4	source 16:17,18
69:4,10 75:22	26:2 28:5,21	60:9 75:4	single 27:18,19	18:8,18 20:17
91:10 95:6	29:7,15,17	showed 41:11	sit 113:16	27:5,5,10 30:5
97:2 100:7	30:12 31:11	122:4	site 44:22 90:3	30:7 31:7,7
seeing 13:6 63:7	35:18 37:9	showing 19:5	situation 15:10	32:4,9,10 34:2
Seitz 21:11	38:6,9 39:14	shown 42:14	59:16 106:2	37:1 38:15
23:12	40:9 41:3	shows 19:10	situations 16:19	74:6 76:17
select 93:19	42:22 44:1	50:7 51:17	16:20	78:18 81:13
selected 93:20	45:3,17 46:12	65:7 90:22	Sixth 2:12	83:8 84:18,20
111:16	46:17 47:6	97:2 99:8	Sixty-five 17:21	85:1,3,5 87:4
selects 93:17	48:2 52:19	103:3 106:7	size 59:13 85:18	87:15 104:15
sending 94:7,8	53:19 54:10	123:16	skipping 58:18	108:3 109:4,9
Seney 40:11	55:2,16 56:21	shut-downs	slide 45:20,21	109:9,20 110:6
41:5	57:2,7,14 58:2	117:9	slip 100:20	110:8 111:8
sense 63:7	58:5 59:4,6	side 33:1,4,5	small 100:20	115:20 120:7
106:16 119:11	60:8 61:1,7	Sierra 3:6 4:16	113:22	120:12 121:14
sent 90:6,14	62:16 63:11	4:20 5:15,18	SMC 99:4	sources 16:8
sentence 88:10	64:3,9,22 65:5	5:20 6:12,16	smooth 88:14	18:16 20:18
88:22 89:10	65:11 66:4,12	8:21,21 22:15	snow 8:10 64:13	25:18 27:6,7
separate 33:16	67:4,10,20	25:6 48:22	72:4,4,7	32:1,8 33:11
89:3	68:1,5 69:13	49:9 51:21	snowfall 7:17	33:12,14,15,20
separately 40:17	70:1,7,13 71:6	71:18 72:11	8:2,17 112:11	33:21,22 34:3
45:1,4	73:10 74:19	73:1,14,21	112:17,19,21	35:7 37:17
September	75:7 77:7 78:5	76:6 85:12	117:6	39:22 40:7
123:11	78:11 80:19,22	87:21 88:12	snowfalls 116:22	53:11,12 54:15
series 11:16	82:7 85:10	89:21 103:15	sn 11:14	55:9,20 56:5
session 4:4	86:12,15,18	107:13 108:17	64:11 71:16	57:17 75:16,17
set 9:16 10:3	88:9 89:19	113:14,21	116:12	101:13 109:19
26:6,8,8,16	90:20 91:15	116:17,18	solid 9:3 12:10	110:5,20 111:5
28:10 29:1,13	93:2 94:12	significance	somebody 93:9	111:15
37:19 56:2	99:2,7,20	34:8,11 35:2,3	someplace 48:9	source's 20:16

source-specific 16:14	starting 75:14	store 11:14	Superior 19:22	51:7,14,16
southern 100:7	start-ups 117:8	44:16 51:14	100:8	52:22 81:8
SOX 36:3	state 2:10 5:14	100:21 113:5	suppliers 65:8	83:12 86:1
so-called 11:11	8:11 9:20 10:3	storing 80:7	65:14,17 66:2	114:12
90:5	12:10,20,22	straight 80:4	66:19 74:11	taken 27:17,19
SO2 18:1 33:8	13:14 14:15,18	stream 10:4,5,7	supplies 54:8,14	32:21 36:17
35:22 36:19	14:22 15:10	Street 2:4,13 3:4	54:22 55:7,14	82:14 108:6
37:14 39:6	17:1 40:10	strict 16:12	56:20 61:17	111:20 116:4
43:16 53:17	41:4,7 44:4	91:16	64:12 65:4,6,8	takes 68:15
86:1 113:12,14	63:14 67:13	strikes 78:22	supply 45:1,2,4	talk 45:17 53:19
space 12:2 77:5	74:7 78:21	stringency 58:6	45:8,9 56:12	70:21 102:14
100:20 101:3	79:4 102:1	stringent 46:5	56:14,19 101:7	talked 64:11
speaking 39:1	106:12,16	49:4 75:12	101:11 106:22	talking 49:11,12
89:21	statement 53:4	76:4	support 72:8	55:7 77:13
special 117:11	53:20 68:8	strong 73:11	75:2 93:12	78:12 79:7
specific 16:16	88:18 109:13	structure 47:5	115:6 118:5	104:11 123:14
42:6 74:3 84:2	123:22	study 90:9,10	supportive 68:9	talks 95:13
100:16 107:17	states 1:1 4:3	stuff 55:13 93:19	suppose 47:19	120:10
specifically 10:1	13:6 108:22	subjected 76:8	48:8	technical 22:20
72:21 107:18	stating 99:1	submit 96:10	supposed 62:22	technological
110:1 116:17	stationary 85:1	submittal 122:9	85:8 102:10	52:12,13 76:14
119:15	109:4	submitted 9:6	sure 61:8 64:7	108:13
speculate 48:9	stayed 63:17	44:3,20 81:14	67:10 88:21	technologically
spikes 88:15,15	stays 32:18	92:14 123:3	122:20 123:6	76:19,20
spoke 63:21 65:2	steer 88:14	subsequent	surmise 47:19	technologies
spreadsheet	step 34:7 108:8	122:7 123:7	surmount 65:1	75:16
123:16	110:17 113:7	substantial 80:1	surrogacy 24:6	technology 11:9
spur 74:18 77:10	steps 108:15	80:14	24:10	62:21 73:16
77:16,22 78:6	stockpile 66:17	subtracted 31:4	surrogate 21:11	teed 119:7
78:8	77:6 78:1	sufficient 98:21	21:19 22:4,7	tell 21:22 94:13
square 43:10,11	101:19 103:12	99:19 107:22	22:13,17 23:4	telling 13:14
44:11	stockpiled 76:10	suggest 20:1	23:5,12 25:5	Ten 20:15
stage 49:12,13	stockpiles	suggested	94:20	tension 105:20
49:14	103:22 111:21	108:17	surrounding	105:22
stages 75:18	stockpiling	Suite 3:4,7	65:10	term 11:6 13:8
staging 101:1	104:4	sulfur 7:9 10:12	sustainable 95:7	68:19
stamp 63:5	stop 101:17,18	10:14 53:18	switched 15:14	termed 7:6
standard 36:2,6	storage 11:22	58:15,16 59:11	switches 15:7	terminals
39:11,20 42:7	12:3,17 43:18	59:12 60:3,4,6	system 11:12	111:20
85:15 87:4	44:2,11,15,21	60:7,18 61:3	12:14 14:1	terms 48:11,12
113:16	45:12,16 46:4	61:11,13,14	S.C 3:3	52:5 53:16
standards 87:15	47:11,15 48:3	63:9,13,15,16		59:11 60:19
88:17 91:5	48:4,6,14,21	63:18 110:10	T	85:12 90:11
standpoint 9:8	49:1,3,16 50:1	110:11 111:21	table 6:4 80:17	101:6 117:15
start 56:4,10	51:6,7,15,18	112:7 118:20	86:15	terrain 18:14
119:8	53:2 55:12	summer 8:12	tailor 71:13	19:18
	113:3	91:8 119:2,5	take 15:2 35:21	test 18:21 25:9

25:13,14,14 thank 6:7,11 35:17 38:6 41:16 58:8 86:14,17 99:20 107:11 116:6 118:8 120:21 120:22 122:18 124:11 then-available 32:15 theoretical 36:16 theory 13:1 14:13 27:1 they'd 30:2 84:20 The.103 59:4 the.2 36:18 thing 32:12 70:10 things 17:5 31:3 74:22 98:9 101:3,14 108:1 108:7,11 think 8:15 9:17 10:6,19 11:1,5 11:20,21,22 14:4,8,14,15 23:16 24:18,20 28:18 30:8 33:6 34:8,14 35:12,18 37:18 38:11,19,20 39:3,12 40:14 42:5,10 43:14 44:18 45:13 46:10,20 47:2 47:13,14 48:18 49:7 50:6,11 51:1,11,17 52:6,15,16 53:7,9 54:7,21 56:3 57:8,9 60:2,16,20 62:10 63:3,6 63:20 65:3	66:2,11,14 68:18,20,22 70:3 71:6 72:9 73:20 74:5 75:3 77:21 78:14 79:8,12 79:18 80:8 82:20 83:17 84:1,7,10 89:6 89:9,15 90:19 91:11 92:10 93:13,14 94:16 95:8,11 96:12 96:15 97:8,8 97:10 98:8 99:13 100:5,10 100:13 102:12 102:21 103:19 104:9,13 105:2 105:3,21 106:1 107:6,19,21 112:3 114:1 115:11 120:7 120:12,18 121:12 123:13 thinking 101:6 thinks 25:10 93:18 third 5:5 thorough 120:19 thought 43:5 60:9 74:21,22 92:22 99:21 111:14 thread 62:16 three 6:21 11:21 20:14,15 28:12 28:12 29:11 45:1,4 47:16 49:16 59:18 91:9 95:19 114:17 three-day 44:22 45:8,8,15 48:3 three-hour 88:15 threshold 20:8	34:5 69:12 76:13,16 97:6 thrown 93:8 throws 91:21 tied 100:18 tight 90:2 time 5:2 6:9 15:17 26:11 30:14 34:13 36:6 69:19 96:13 107:6,7 113:14 times 21:5 61:22 62:3 71:11 82:9 88:7 117:11 timing 23:11 today 6:21 35:14 60:21 99:1 107:13,20 112:3 113:16 114:14 told 103:2 tons 26:21 66:9 top 45:19 46:2,3 top-down 8:16 13:4 24:18 25:7 52:11,17 68:16 75:13 108:9,12 110:17 113:7 117:3 total 4:21 8:3 25:21 32:3 town 108:3 113:3 track 95:9 transfer 108:5 transport 75:20 103:11 treated 24:22 96:17 trigger 38:10 triggered 99:5 trouble 32:13,19 87:6 truck 12:12,12	12:13 55:14 56:5 66:1 74:9 74:10 108:4,10 trucked 55:11 55:17,21 trucks 65:10 66:11,14 101:2 117:6,7 true 47:9 48:3 57:12 68:13 86:4 89:2 99:2 107:20 109:17 try 17:16 23:17 47:3 trying 59:2 95:9 tune 64:15 85:22 turn 4:10 21:7 26:3 44:1 101:2 turned 43:6 turning 38:7 73:10 90:21 Twenty-four 81:4 86:14 twice 29:22 two 7:13 17:5,11 19:16 22:8 27:12 40:2 43:17,20 45:7 48:10,14,15 53:6,11,12,12 54:4,6,8,8,13 54:20,22 55:10 55:17 56:4 57:17,21 60:12 61:2,7,17 66:21 72:9 74:10 93:21 102:3 106:19 108:2 111:2,16 112:5,8,19 two-hour 88:15 type 53:9 types 18:12 <hr/> U <hr/> ultimate 58:15	63:16 64:4 unacceptable 39:16 unavailability 119:13 124:6 uncontrolled 88:1,5 undergirding 93:4 underlying 23:13 understand 19:8 34:8,15 55:18 65:18 103:4,5 understanding 29:4 36:17 62:2 100:12 103:6 123:2 understood 116:8 unit 109:9 United 1:1 4:3 units 28:9,12,15 29:7,9 40:2 universe 60:10 university 1:4 2:2,7 4:5,14 6:4,6 7:5 11:6 11:10 12:21 25:10 44:20 46:21 47:8 53:9 56:18 60:4 71:2 92:14 99:15 101:20 105:14 university's 11:3 24:20 25:9 61:16 unlawful 22:18 23:15 38:13 unusual 18:15 upper 54:13 66:20 110:20 urban 94:4 use 16:12 23:4 25:5 43:12 61:2,10 68:10
---	---	--	---	--

69:9 93:16 96:20 uses 11:6 using 4 58:15 usual 100:6 106:15 utilities 101:5,16 101:21 102:3 103:1,7 106:21 utility 53:14 106:15	1:8,14 3:7 17:17 wasn't 8:12 21:16,18 23:5 73:6 96:2 99:4 117:2 118:6 waste 103:20 water 19:22 way 12:9 30:3 30:20 33:2 34:14 42:16 47:7 52:2 61:6 62:9 63:1 72:4 75:9 76:21 85:7,9 104:6 117:8 119:12 ways 61:8 weather 8:14 56:17 64:9,12 64:16 65:1,19 71:10 72:16 100:10 101:14 102:14 118:1,4 122:6 Wednesday 1:9 weekends 66:10 weight 19:6 22:8 60:7 went 10:13 29:19 42:17 63:15,21 67:9 76:12 85:20 118:11 WEPCO-PIPP 26:22 81:4 weren't 48:6 59:22 103:2 West 2:13 3:4,7 we'll 28:6 67:10 71:4 123:22 we're 13:6 15:9 21:5 23:20 27:15 53:16 55:7,9,13 58:5 60:11,16 105:7 105:11 106:2 we've 91:18	104:3 whatsoever 65:13 Williams 2:3,12 wind 94:6 98:15 winter 8:10 43:21 56:11,17 62:1 72:16 117:17 119:13 wintertime 55:15 72:14 100:20 101:13 101:19 102:16 Wisconsin 3:4,7 17:11,12,13 40:5 53:13 81:16 111:19 wishes 5:1 withdrew 6:16 with.022 58:13 Wolcast 1:17 4:8 9:5 23:10 31:13 32:12 62:7 75:9 77:1 78:20 83:19 wood 7:18 8:12 9:4,7,10,12,14 11:22 12:13,16 14:10 15:13 37:6 43:3,6,8 43:12,15,19,20 44:7,10,11,13 44:16,22 45:2 45:8,11 48:14 49:17 52:3,4 56:19 64:14,16 64:19 65:6,8,9 65:13,22 66:9 66:16 67:3 72:6,12,14,16 72:22 101:8 102:17 103:20 103:22 104:4 104:12,21 105:7,14 112:12 116:12 117:1,6,16	118:14,22 119:1,4,13,15 119:17 122:21 wood-fire 7:7 word 53:20 78:7 work 64:6 works 27:2 workshop 85:8 workspace 105:10 world 27:2 worry 67:11 worst 105:8 worst-case 105:4 105:17 wouldn't 30:8,9 30:11 35:2 75:17 79:15 94:12 write 97:14 98:3 114:5 writing 96:10 97:17 98:22 written 70:4 92:2,4,7 95:16 96:8 108:21,21 wrong 13:21 16:22 34:16 36:13 50:13 84:6 Wyoming 55:8	York 17:15,16 17:22 Z Z 50:14,14 0 0 72:12 0.42 39:5 07 112:20 116:21 123:11 08 112:20 116:22 08-02 1:4 4:7 1 1 7:1 18:19 20:16,17 34:6 38:7,11,16,17 41:13 61:3 86:18 88:10 108:8 110:17 113:7 1-hour 36:21,22 37:10 1-microgram 38:10 1-micron 39:20 1.5 10:14 60:7 61:4 63:15 118:20 10 5:2,6 6:13 18:17 19:19 20:3,4,6 21:12 23:14 24:1,11 24:14,15 25:2 25:4,7,8,15,19 26:13 28:15 29:15,16 101:11 114:15 114:19 115:15 10:00 1:12 100 7:21 43:3 56:15 72:12 101 3:4 11 21:22 12 66:8
V vacant 46:4,10 113:4 vaguely 67:19 various 100:14 vast 46:1 vaster 90:11 verify 49:19 versus 10:8 72:6 76:1 82:5,14 122:21 viable 75:1 view 11:19 22:13 91:5 violated 41:9,14 violation 38:20 41:2 106:8 Virginia 2:4 vitality 21:21	W Wait 53:19 waive 40:19 waived 96:17 waiver 95:16 96:6,7,8,13 want 13:12 16:6 57:21 69:2 97:7 103:22 wanted 62:20 67:2 104:1 121:1 122:19 wanting 84:16 wants 14:9 Washington 1:2	W Wait 53:19 waive 40:19 waived 96:17 waiver 95:16 96:6,7,8,13 want 13:12 16:6 57:21 69:2 97:7 103:22 wanted 62:20 67:2 104:1 121:1 122:19 wanting 84:16 wants 14:9 Washington 1:2	X x 1:3,6 50:13,14 Y Y 50:14,14 year 8:4,8 21:15 21:17 27:18,19 71:11 82:10,14 82:14 116:11 117:5 years 13:7 22:1 91:9 year-round 8:12 yellow 67:8 yep 97:17	

12:04 124:14	64:18 72:21	48909 2:14	804 2:5
1201 1:13	104:20 119:15		82 17:11 19:2
122 3:7	227 17:12	5	830 3:7
15 95:12	23219-4074 2:4	5 5:4,6 19:5,15	87 18:10 36:11
16 23:19	24 28:17 36:17	20:10,21 33:8	36:14 85:22
16,000 26:21	36:20 81:5	33:18 34:5	86:5 88:2
169 73:12	86:2,6,13	41:20 123:5	87.8 89:11
19 45:18,22	88:11	5-kilometer	88 86:1,5
1970 28:9	24-hour 33:8	89:22 90:9	
1973 27:18 81:8	36:17,18,21	50 56:14	9
81:11	37:1,2,4,11,15	500-and-some...	9 70:8
1975 28:10	37:20 39:6,20	88:4	90s 70:6
30:19 35:14	58:14	517 2:14	92 86:7,19,21
81:13	24-month 27:13	52(21)(b) 109:10	87:1,18 89:8
1997 21:13	81:2,10 82:10	52.21 83:20	113:13
1999 81:19	82:12,20 83:12	52.21(b)(13)(i)	951 2:4
	83:13	121:4	
2	255 17:11	52.21(b)(13)(i)...	
2 4:15 66:5	256-1003 3:5	121:7	
2.5 21:8,12	257-4994 3:8	52.21(b)(13)(i)...	
23:14 24:1,16	267 8:3	121:11	
25:5,16,17,17	270 58:13	52.21(b)(13)(2...	
25:21,22		109:22	
20 25:20,21	3	525 2:13	
39:20 67:6,12	3 28:15	53703 3:4,7	
67:17	3-hour 37:16,21		
200 66:5	3-to-1 64:15	6	
2003 91:11	3.5 10:12 63:13	6 81:13	
98:10	30 5:3 7:22	60-07 1:6 4:6	
2004 91:11	15:17 41:21	608 3:5,8	
98:10	30-day 37:14,20	634 3:4	
2005 21:13 70:7	58:13 88:12,18	65 91:2	
70:8 91:11	89:1,4,13		
98:11	300 65:16	7	
2006 27:19	30755 2:13	7 28:9,16	
59:14 81:8,22	316 91:2	7th 9:18 10:1,6,8	
82:19 83:2,14	33 68:5	14:14,15,22	
84:5,9 90:5,15	373-7540 2:14	73:14 79:3,9	
91:8	387 17:13 18:4	80:8	
2007 123:5		73 15:16 29:5	
2008 1:9 4:16	4	75 29:6 31:8	
23:19 24:7	4 39:10 65:22	56:14	
21 90:5	66:3	775 26:9	
21(b)(13) 80:22	4.4-1 86:16	788-8568 2:5	
22 1:9 7:22 8:1,2	40 4:21 66:9		
8:2,3,12 15:17	44 59:13	8	
43:8 45:20,22	45 59:12 110:12	8 39:7 41:11	
		87:9 119:15	