

BEFORE THE ENVIRONMENTAL PROTECTION APPEALS BOARD
UNITED STATES ENVIRONMENTAL PROTECTION AGENCY
WASHINGTON, D.C.

-----X
In re: :
 :
NORTHERN MICHIGAN UNIVERSITY, : PSD Appeal No. 08-02
RIPLEY POWER PLANT, :
 :
PSD PERMIT 60-07 :
-----X

COPY

ENVIRONMENTAL PROTECTION AGENCY
APPEALS BOARD
OCT 23 10 31 AM '08

RECEIVED
EPA

Washington, D.C.

Wednesday, October 22, 2008

The above-entitled matter came on
for ORAL ARGUMENT at approximately 10:00 a.m.
at the Environmental Protection Agency, 1201
Constitution Avenue, NW, Washington, D.C.

BEFORE:

- ANNA WOLGAST
- EDWARD E. REICH
- CHARLES SHEEHAN

APPEARANCES:

On behalf of Northern Michigan University:

KEVIN J. FINTO, ESQUIRE

Hunton & Williams, LLP

951 East Byrd Street

Richmond, Virginia 23219-4074

(804) 788-8568

CATHERINE DEHLIN, ESQUIRE

General Counsel

Northern Michigan University

On behalf of Michigan Department of Environmental
Quality:

NEIL D. GORDON, ESQUIRE

Assistant Attorney General

State of Michigan

Department of Attorney General

Environment, Natural Resources and

Agriculture Division

G. Mannen Williams Building - Sixth Floor

525 West Ottawa Street

Post Office Box 30755

Lansing, Michigan 48909

(517) 373-7540

1 APPEARANCES (CONT'D):

2 On behalf of Petitioner:

3 DAVID C. BENDER, ESQUIRE
Garvey McNeil & McGillivray, S.C.
4 634 West Main Street, Suite 101
Madison, Wisconsin 53703
5 (608) 256-1003

6 BRUCE NILLES
Director Sierra Club National Coal Campaign
7 122 West Washington Avenue, Suite 830
Madison, Wisconsin 53703
8 (608) 257-4994

9 ALSO PRESENT:

10 Eurika Durr
Gary Millstein

11
12
13
14
15
16
17
18
19
20
21
22

* * * * *

P R O C E E D I N G S

1
2 MS. DURR: The Environmental Appeals
3 Board of the United States Environmental
4 Protection Agency is now in session for oral
5 argument in re: Northern Michigan University,
6 Ripley Heating Plant, Permit No. 60-07, PSD
7 Appeal Number 08-02, the Honorable Judges Anna
8 Wolgast, Charles Sheehan, and Ed Reich
9 presiding.

10 Please turn off all cell phones,
11 and please be seated.

12 JUDGE SHEEHAN: Good morning. We are
13 here for argument in the matter of Northern
14 Michigan University, Ripley Heating Plant,
15 pursuant to the Board's order of October 2,
16 2008. The parties are Sierra Club, petitioner,
17 opposing the permit; Michigan Department of
18 Environmental Quality, permit issuer; and NMU,
19 the permittee, defending the permit decision.

20 As our order indicated, the Sierra
21 Club has a total of 40 minutes to present its
22 argument and will proceed first. At the

1 outset, it will inform us if it wishes to
2 reserve up to 10 minutes of time for
3 rebuttal. MDEQ will go second with 30
4 minutes, 5 of which it may reserve for
5 rebuttal. Finally, NMU will proceed third,
6 and that's 10 minutes, 5 of which it may
7 reserve for rebuttal.

8 As we said in our order, the BACT
9 arguments on greenhouse gases will not be
10 entertained here, and you may assume that the
11 Board is generally familiar with all the
12 briefs.

13 Let's begin by asking counsel to
14 state their names for the record and whom
15 they represent, beginning with the Sierra
16 Club, followed by MDEQ, and then NMU.

17 MR. BENDER: Good morning, Your Honor.
18 David Bender on behalf of the Sierra Club in
19 this case, and with me is Bruce Nilles of the
20 Sierra Club.

21 MR. GORDON: Good morning, Your Honor.
22 Neil Gordon on behalf of the Michigan Department

1 of Environmental Quality.

2 MR. FINTO: Good morning. Kevin
3 Finto, on behalf of Northern Michigan
4 University. At counsel table with me is
5 Catherine Dehlin, general counsel for the
6 university.

7 JUDGE SHEEHAN: Thank you, Counsel.

8 Mr. Bender, you may proceed and
9 advise us up front of your reserving time for
10 rebuttal or not.

11 MR. BENDER: Thank you. Good morning,
12 Your Honors. Sierra Club would like to reserve
13 10 minutes for rebuttal.

14 Your Honors, there were originally
15 seven issues in the petition in this case.
16 After briefing, Sierra Club withdrew one of
17 the issues and at the Board's order, asked
18 the parties not to address the BACT limits
19 for greenhouse gas emissions. Of the
20 remaining issues, I intend to principally
21 focus on three issues here today: BACT for
22 clean fuels, pre-construction monitoring, and

1 Class 1 increment impacts. I'm happy to
2 address any of the questions the Board has on
3 other issues in the petition as well.

4 The issue of clean fuels, there's
5 no dispute that Northern Michigan University
6 intends to build what's termed primarily a
7 wood-fire boiler. The boiler is capable of
8 running some back-up fuels, but the BACT
9 emission limit for principally sulfur dioxide
10 is established based on an assumption that
11 the boiler will burn primarily coal, a
12 dirtier fuel.

13 There are two significant problems
14 with that determination. First, the only
15 justification that Michigan DEQ gave for
16 establishing a BACT limit principally on coal
17 was presence of snowfall, which could make
18 wood deliveries difficult. However, this
19 basis does not justify the BACT limit
20 established. The BACT limit established
21 assumes that the plant would burn 100 percent
22 coal during 22 out of every 30 days.

1 That's 22 days of every month for
2 snowfall, including 22 days in June, 22 days
3 in July, 22 days in August. A total of 267
4 days a year that the BACT limit assumes coal
5 will be burned. And the only justification
6 for burning any coal is as a backup.

7 JUDGE SHEEHAN: Would you have any
8 problem with a permit that bifurcated the year
9 in some respect? So maybe that coal-burning
10 during the winter months when snow makes
11 delivery difficult, according to the state, and
12 wood in the summer, so it wasn't a year-round 22
13 days per month coal limit, but something broken
14 up, depending on weather conditions.

15 MR. BENDER: I think if there was a
16 top-down analysis to determine -- and there was
17 evidence in the record that snowfall really was
18 too deep for a clean fuel delivery, then that
19 would be a possibility.

20 I also note that in the
21 response -- in Sierra Club's comments, Sierra
22 Club raised the issue of considering natural

1 gas as a backup emergency fuel as well. In
2 response, Michigan DEQ said that the boiler
3 would be a solid fuel boiler and would burn
4 coal or wood.

5 JUDGE WOLGAST: If the permit had been
6 submitted as coal only and had never mentioned
7 wood, would that have been deficient from a PSD
8 and BACT standpoint --

9 MR. BENDER: It would because we know
10 they can burn wood fuel, Your Honor. It'd be a
11 different question if it was incapable of
12 burning wood fuel.

13 JUDGE SHEEHAN: But it can only burn,
14 what percent can only burn wood -- excuse me,
15 only burn coal?

16 MR. BENDER: If it was set up to only
17 burn coal, then I think it would depend on an
18 analysis similar to what the 7th Circuit
19 discussed in its review of the Board's Prairie
20 State decision, which is, is the plant
21 physically incapable of burning clean fuel, or
22 is it merely a preference by the applicant to

1 burn coal? What the 7th Circuit specifically
2 said was it made a distinction between a plant,
3 like Prairie State, that was set up only to burn
4 one fuel stream and could not receive any other
5 fuel stream, with a plant that was intended to
6 burn, by contract -- I think the 7th Circuit
7 discussed by contract one fuel stream. The
8 dirty versus clean discussion that the 7th
9 Circuit had was on coal.

10 JUDGE SHEEHAN: What about the fact
11 that the original permit application had
12 3.5 percent sulfur coal, and then the final
13 permit after the addendum went down to
14 1.5 percent sulfur coal? That seems like it's
15 going in the direction for which you're arguing.

16 How do you respond to that?

17 MR. BENDER: Well, I agree that it's
18 going in the direction of cleaner fuel, and I
19 think it indicates that DEQ agrees that there is
20 some ability to consider clean fuels other than
21 the fuel proposed by the applicant. At least
22 early in the process that's what DEQ's position

1 was. I think it's that DEQ's position now
2 before the Board, and especially Northern
3 Michigan University's position concerning in
4 that it says that anything other than the
5 applicant's business decision -- or I think
6 Northern Michigan University uses the term
7 "business plan," and says anything that would
8 change the business plan is off limit for best
9 available control technology and now it's --

10 JUDGE SHEEHAN: Well, the university
11 argues that they are employing a so-called
12 just-in-time system whereby apparently you've
13 just got to race the coal in there, I guess to
14 beat the snows, don't store it for long, it goes
15 right into the boiler and is almost immediately
16 consumed. So a series of quick-hit deliveries.
17 That's the design they say they had used here.
18 What's the problem, if any, with that in your
19 view?

20 MR. BENDER: I think that's the design
21 for all fuels. I think that there's three days
22 of fuel storage for wood or biomass. I think

1 that the fact -- there's no discussion in the
2 record on whether or not there's space available
3 elsewhere on the campus for storage of clean
4 fuel, biomass fuel.

5 JUDGE SHEEHAN: Do you regard that
6 design as a fundamental or inherent aspect of
7 the project?

8 MR. BENDER: I don't believe that it's
9 fundamental to the design in the same way that
10 Prairie State was, because any fuel, any solid
11 fuel that's delivered to the plant gets
12 delivered by truck. Coal is delivered by truck
13 and wood is delivered by truck, and nothing
14 would change in that delivery system, depending
15 on if they pull it right out of the forest and
16 into the plant from a local wood processor or a
17 local storage facility and bring it into the
18 plant. Nothing changes in the design of the
19 fuel handling, which was the issue in Prairie
20 State.

21 Again, Northern Michigan University
22 and DEQ cite the Board's Prairie State

1 decision for a theory in this case that any
2 change other than what the applicant itself
3 designates as its preferred plan is immune
4 from review in a top-down BACT analysis. And
5 this is important because it's something that
6 we're seeing in other states where applicants
7 are coming in in recent years and several
8 very recently, using the term "fuel
9 flexibility," and saying that fuel
10 flexibility is inherent to their plant.

11 And by fuel flexibility they mean
12 they want the ability to be able to burn any
13 kind of fuel, from very clean to very dirty,
14 and telling state permitting agencies that
15 they have to because their permitting agency
16 has to grant BACT limits based on the
17 dirtiest possible fuel because of the
18 flexibility -- the desire to be able to burn
19 a range of fuels is inherent to the design of
20 the plant.

21 JUDGE SHEEHAN: But what's wrong with
22 flexibility if conditions make flexibility

1 necessary? No system, presumably, is perfect,
2 and there must be some flexibility allowed to
3 deal with the realities of daily life.

4 MR. BENDER: And I think that there's
5 flexibility in, for example, how permit limits
6 are established for having some headroom above a
7 permit limit to allow the natural fluctuations
8 in fuel quality. I think it's different to say
9 that the plant wants to burn -- or had the
10 flexibility to burn anything from wood to
11 petroleum coke.

12 JUDGE SHEEHAN: What authority would
13 you offer as far as your flexibility theory?

14 MR. BENDER: I think the 7th Circuit's
15 decision in Prairie State -- I think the 7th
16 Circuit was clear in making a distinction,
17 again, between the physical incapability at
18 Prairie State that was inherent to the design
19 and the applicant's desire or contract to burn
20 different fuels.

21 In fact, the Court said in the
22 Prairie State decision -- the 7th Circuit

1 said that a BACT determination has to provide
2 for or take into account cleaner -- the
3 ability to burn cleaner fuels even when
4 there'd be some change to the applicant's
5 plans, or even the applicant's plant design,
6 as long as that change was no more than would
7 be necessary whenever a plant switches from a
8 dirtier fuel to a clean fuel.

9 In this case, we're far removed
10 from a Prairie State situation. There's no
11 question that the plant can burn a clean
12 fuel. In fact, it's designed to burn
13 primarily a wood fuel. It's just that the
14 BACT limit was established and switched it
15 around from having coal as a backup to
16 presuming coal is burned 73 percent of the
17 time, 22 out of every 30 days. That's not
18 consistent with any reasonable interpretation
19 of BACT, that we preserve the clean fuels
20 analysis.

21 Brings us to the second issue,
22 pre-construction monitoring. The Clean Air

1 Act requires an applicant to obtain
2 monitoring data representative of what
3 ambient air quality is in the area that'll be
4 affected by the new facility. It's
5 essentially a look before you leap provision.
6 We want some idea of what the air quality is
7 in the area before significant capital
8 investments, before new sources are
9 permitted.

10 JUDGE SHEEHAN: But what about the NSR
11 manual's allowance of exemptions from perhaps
12 the strict requirement that you cite to use
13 existing ambient data that might not be as
14 source-specific as the regs might be saying?

15 MR. BENDER: The Clean Air Act appears
16 to be specific in that the data should be from
17 the area that will be affected by the source.
18 The New Source Review Manual does say "in
19 certain situations," and it puts boundaries
20 around the situations where up data from other
21 monitors can be used.

22 JUDGE SHEEHAN: So what's wrong with

1 what the state did here for representative data,
2 they claim anyhow, that might not have been
3 right out the gate of the facility, but still in
4 the nearby area?

5 MR. BENDER: Two things, Your Honor.
6 There's no evidence and no analysis that the
7 data that DEQ used is in fact representative, so
8 you don't know what the air quality is in
9 Marquette, Michigan. DEQ used data from
10 existing monitors located in Escanaba, Michigan,
11 82 kilometers away; Two Rivers, Wisconsin, 255
12 kilometers away; Green Bay, Wisconsin, 227
13 kilometers away; and Milwaukee, Wisconsin, 387
14 kilometers away. That's approximately the
15 distance from here to New York. It'd be like
16 using a monitor outside New York to try to
17 assess what air quality is in Washington.

18 JUDGE SHEEHAN: Well, Escanaba, I'm
19 looking at their background concentration
20 offering that they mentioned in their brief.
21 Sixty-five kilometers out, that doesn't seem
22 like it's the distance from here to New York.

1 That's for SO2.

2 MR. BENDER: That's for Escanaba, but
3 some of the other pollutants are, like I said,
4 Milwaukee is 387 kilometers away. The --

5 JUDGE SHEEHAN: What principle would
6 you give us for deciding where that line is?

7 MR. BENDER: One principle and the one
8 that's referenced in the New Source Review
9 Manual is the PSD monitoring guideline, where
10 EPA -- and that's what's referenced, '87
11 guidelines. EPA sets some categories of
12 different types of locations and what EPA
13 considered to be representative data. For a
14 facility located in flat terrain, there's no
15 unusual atmospheric conditions. Where there's
16 multiple sources, the representative data has to
17 be from a monitor that's located no less than 10
18 kilometers from the source, or at a location
19 that's within 1 kilometer of maximum
20 concentrations.

21 That's the test that's most
22 favorable to DEQ. And again, the monitors

1 here, even the closest monitor that you
2 referenced is 82 kilometers away.

3 JUDGE SHEEHAN: What about the
4 document, the Appendix C to the permit
5 application showing a 5 kilometer radius area
6 out from the facility? What relevance or weight
7 does that have?

8 MR. BENDER: If I understand the
9 document you're referencing, it's a document
10 that shows the Cartesian modeling grid.

11 JUDGE SHEEHAN: Right.

12 MR. BENDER: And so the facility and
13 MDEQ modeled the impact from the plant and
14 determined the maximum impacts from this boiler
15 would be within that 5 kilometer radius. And so
16 under the PSD monitoring guideline, the two
17 options -- again, assuming that this was a flat
18 terrain area with no atmospheric conditions, the
19 furthest out that the monitor could be was 10
20 kilometers.

21 I note that Marquette, Michigan is
22 on Lake Superior, which is on a water body

1 which the PSD monitoring guidelines suggest
2 the distances to a representative model are
3 even less than 10 kilometers. But giving DEQ
4 and NMU the benefit of the doubt that it's 10
5 kilometers, all the monitors are again well
6 outside that 10 kilometer radius.

7 JUDGE SHEEHAN: But is it the area of
8 maximum impact that's the threshold here? Five
9 kilometers may be maximum, but that doesn't mean
10 that anything outside of 5 kilometers isn't
11 still measurable and represents the ambient
12 representative air quality data necessary.

13 MR. BENDER: Under the PSD guidelines,
14 it's an either/or. And it's actually three,
15 three options. Ten kilometers within
16 1 kilometer of the source's maximum impact, or
17 within 1 kilometer of the source, plus other
18 contributing sources in the area's maximum
19 impact. And we don't have that point. We have
20 the point of maximum impact in this plant, and
21 that's within 5 kilometers.

22 It's likely that the maximum

1 combined impact area is in that range as
2 well. And so again, that's the first option
3 under that section of the PSD monitoring
4 guidelines is the most beneficial for NMU,
5 NDEQ, and again, we're five times that
6 distance at the closest monitor.

7 JUDGE SHEEHAN: Can we turn to your
8 BACT 2.5 argument?

9 MR. BENDER: Yes.

10 JUDGE SHEEHAN: Let me begin with a
11 question, if I may. The Seitz surrogate policy,
12 PM 10 from PM 2.5, has been in existence since
13 1997, was re-affirmed by rule in 2005. Your
14 argument seems to be that the May rule-making
15 this year that grandfathered in the policy,
16 because that rule-making wasn't effective until
17 July of this year and the permit issues occurred
18 here before July, because the rule wasn't
19 effective until July, the surrogate policy
20 somehow doesn't exist until the rule -- this
21 rule says it does, even though it's been vitally
22 used as far as we can tell for the last 11

1 years.

2 MR. BENDER: Your Honor, our position
3 is that the rule does not apply. There's no
4 legislative rulemaking that allows the surrogate
5 policy to be used because the plant comes before
6 the effective date. Instead, to the extent that
7 the surrogate policy would apply, it has to rely
8 on the two guidance memos and the weight of that
9 authority and the -- how convincing that
10 argument is made --

11 JUDGE SHEEHAN: So if the May
12 rulemaking didn't exist at all, it never
13 occurred, would your view be that the surrogate
14 policy existed or did not exist?

15 MR. BENDER: Sierra Club's position
16 would be that the memo certainly existed and a
17 surrogate policy existed, it'd be our position
18 that that policy is unlawful as applied to BACT
19 determinations. And the memos provide as their
20 basis difficulties -- technical difficulties in
21 modeling and monitoring primarily. And --

22 JUDGE SHEEHAN: That doesn't seem to

1 me what you argued in your brief. You seem to
2 say in your brief that because the effective
3 date of the rule is July, and the rule requires
4 the use of a surrogate policy until that point,
5 that the surrogate policy wasn't even applicable
6 until July.

7 MR. BENDER: I'm sorry if that's what
8 we conveyed. And the guidance memos clearly
9 existed to the extent that that constitutes --

10 JUDGE WOLGAST: You're not saying that
11 this permit is not within the timing ambit of
12 the surrogate policy memo and the Seitz memo.
13 You're just arguing that the underlying
14 principle of conflating PM 10 and the 2.5 is
15 unlawful. Is that correct?

16 MR. BENDER: Right. I think that's
17 correct, and let me try to clarify.

18 We are saying that the permit here
19 does not fall within the May 16, 2008
20 regulation. So we're looking only at the
21 guidance memo. And if the guidance memos are
22 lawful and if they are justified using a PM

1 2.5, PM 10 equivalent, then we'd have to rely
2 on those memos.

3 Then we also said that those memos
4 are no longer convincing maybe, because what
5 they relied on as the basis, the policy, it's
6 the actual basis for using that surrogacy
7 approach no longer exists in May of 2008,
8 when this permit was --

9 JUDGE REICH: If we were to conclude
10 that this surrogacy was appropriate, have you in
11 this proceeding or below challenged the PM 10
12 BACT analysis in and of itself, or have you
13 accepted that to the extent that there was an
14 analysis relative to PM 10, that that was an
15 acceptable BACT analysis for PM 10 -- there
16 should have been one for 2.5?

17 MR. BENDER: We have not challenged
18 the PM top-down BACT analysis. We think that
19 they're not equivalent. And actually in
20 Northern Michigan University's brief I think is
21 one of the best examples of why they shouldn't
22 be treated as equivalents here.

1 JUDGE SHEEHAN: If the only issue
2 before us was whether the PM 10 BACT analysis
3 was acceptably done, you would not challenge
4 that the PM 10 analysis was acceptably done,
5 only its use as a surrogate for 2.5.

6 MR. BENDER: Sierra Club does not
7 challenge in this case the PM 10 top-down BACT
8 analysis for PM 10. But again, the Northern
9 Michigan University's brief identifies the test
10 method which Northern Michigan University thinks
11 that the permit requires. And again, we say it,
12 albeit if it's not clear, that this is the case.
13 But if it is that the test method is that NSPS
14 test method, a filterable only particulate test
15 method, it highlights why PM 10 BACT limit in
16 this case is not representative of PM 2.5 BACT.
17 Because PM 2.5 is a majority of -- PM 2.5 from
18 production sources is condensable fraction. And
19 so the BACT limit, the PM 10 BACT limit, would
20 limit a fraction, 20 percent, a little bit more
21 than 20 percent of the total PM 2.5. Because PM
22 2.5 is -- consists mostly of a condensable