

ORIGINAL

RECEIVED
U.S. E.P.A.

12 ed
2004 SEP 22 PM 1:16

elw

1

ENVIR. APPEALS BOARD
ENVIRONMENTAL APPEALS BOARD

UNITED STATES ENVIRONMENTAL PROTECTION AGENCY
WASHINGTON, D.C.

----- x
 :
 In Re: :
 :
 USGEN NEW ENGLAND, INC. : NPDES Appeal No. 03-12
 BRAYTON POINT STATION :
 NPDES PERMIT NO. 0003654 :
 :
 ----- x

Thursday, September 9, 2004

EPA East Building
1201 Constitution Avenue, N.W.
Courtroom 1152
Washington, D.C.

The above-entitled matter came on for
hearing, pursuant to notice, at 10:02 a.m.

BEFORE:

JUDGE EDWARD E. REICH (Presiding)
JUDGE SCOTT C. FULTON
JUDGE KATHIE A. STEIN

APPEARANCES:

On behalf of the Petitioner,
USGen New England, Inc.:

JOHN STEVENS, ESQ.

On behalf of the Respondent, USEPA, Region I:

MARK A. STEIN, ESQ.

On behalf of the State of Massachusetts:

RICHARD LEHAN, ESQ.

On behalf of the State of Rhode Island:

BRIAN A. WAGNER, ESQ.

On behalf of the Utility Water Action Group:

JIM CHRISTMAN, ESQ.

On behalf of the Conservation Law Foundation:

CAROL LEE RAWN, ESQ.

On behalf of the Kickamuit River Council:

JEAN McCABE
DANIEL MORRILL

elw

3

C O N T E N T S

<u>ARGUMENT BY</u>	<u>PAGE</u>
Mr. Stevens	7
Rebuttal	106
Mr. Stein	30
Mr. Lehan	68
Mr. Wagner	76
Mr. Christman	84
Ms. Rawn	94
Ms. McCabe	101
Mr. Morrill	104

P R O C E E D I N G S

1
2 THE CLERK: United States Environmental
3 Protection Agency, Environmental Appeals Board, is
4 now in session for hearing oral argument in the
5 matter of USGen New England, Brayton Point Station,
6 Docket No. MA-003654, Appeal No. NPDES 03-12, the
7 Honorable Judges Scott Fulton, Ed Reich, Kathy
8 Stein, presiding. Please be seated.

9 JUDGE REICH: Welcome. Argument this
10 morning will proceed in accordance with the Board's
11 orders of July 23, 2004 and August 17, 2004. To
12 briefly review how we will proceed, USGen as
13 Petitioner will proceed first. They have 30
14 minutes and may reserve up to five minutes for
15 rebuttal at the end. Then the Region will proceed
16 for up to 30 minutes.

17 After that we're going to take a short,
18 10-minute break, and after the break argument will
19 proceed with the intervenor amicus parties,
20 Massachusetts, Rhode Island, the Utility Water Act
21 Group, and the Conservation Law Foundation, each of
22 whom will have 10 minutes, and the Kickamuit River

1 Council which will have 5 minutes. And, finally,
2 if USGen reserved time, then they may present a
3 rebuttal for up to 5 minutes.

4 Given the multiplicity of parties, I think
5 we'll let the participants identify themselves when
6 it comes time for them to speak, rather than have
7 appearances of all the parties up front.

8 Before we get to USGen's argument, I would
9 like to touch on two points relative to the scope
10 of the argument. First, as we noted in our July
11 23rd order, we recognize that there are disputes as
12 to what is in the administrative record for the
13 proceeding, and there are motions to supplement the
14 record as well as oppositions thereto. The Board,
15 as you know, has not ruled on those motions, and
16 wants to review record-related arguments in the
17 context of its review of the substantive issues
18 they relate to, which we have not yet done.

19 Therefore, consistent with the Board's
20 July 23rd order, participants may reference
21 materials that they believe are already in the
22 administrative record or that were submitted in a

1 motion to supplement, but if the Board ultimately
2 determines that those materials are not and should
3 not be part of the administrative record, it will
4 treat any references to such materials during this
5 argument as stricken.

6 Second and similarly, the Board recognizes
7 that there are issues raised on all sides as to
8 whether certain arguments have been preserved for
9 Board review or are properly within the scope of
10 USGen's petition, which does define the issues
11 properly before the Board. The Board has not ruled
12 on those issues, and parties are free to make their
13 arguments even though others have objected to such
14 arguments as not properly before the Board, and
15 nobody feel an obligation to object in the course
16 of these proceedings. We will assume all
17 outstanding objections carried forward to this
18 proceeding as well.

19 However, the Board's allowing such
20 arguments is without prejudice to its later
21 determination that such arguments were either
22 outside the scope of this proceeding or not

1 preserved for review, in which case they will not
2 be considered in the Board's determination.

3 So, with that, let me invite counsel for
4 USGen to approach the podium, identify himself, and
5 proceed, and if you would, advise the Board if you
6 are reserving time for rebuttal.

7 MR. STEVENS: May it please the Board,
8 John Stevens on behalf of USGen New England, and we
9 will accept the Board's invitation to reserve 5
10 minutes for rebuttal. May I proceed?

11 JUDGE REICH: Please do.

12 MR. STEVENS: It is a fundamental
13 principle of our legal order that like cases ought
14 to be decided in a like manner. Brayton Point
15 Station is one of 450 existing large generating
16 stations. Of that number, it may be derived from
17 the new Phase II rule that 30 to 40 are located on
18 estuaries or tidal rivers. None of those other 30
19 to 40 plants so located have been or, it would
20 appear, will be required to retrofit with closed
21 cycle cooling.

22 Although nothing in the vast

1 administrative record that underlies this permit
2 suggests that Brayton Point Station is different in
3 any material respect from those 30 to 40 other
4 plants, the Region is imposing closed cycle cooling
5 on Brayton Point Station, both to control its
6 thermal discharge and its cooling water intake.
7 That imposition is a departure from consistent
8 agency practice.

9 And under the Shaw Supermarket decision
10 cited in our brief, a 1st Circuit decision, such a
11 departure must be reversed unless it is explained.
12 And in order for it to be explained, it must be
13 recognized as a departure and there must be a
14 showing as to why this particular instance is
15 different from all others, or why changed views or
16 circumstances are going to make the general rule
17 different in the future.

18 In the thousands of pages that Region I
19 has generated in this record, it does not once
20 recognize that it is departing from practice, and
21 it makes no attempt to distinguish Brayton Point
22 Station from these other apparently similarly

1 situated cases. Nor, in the face of the Supreme
2 Court's decision in Chemical Manufacturers v. NRDC,
3 that Congress intended uniformity in technical
4 standards, in the face of its own regulations that
5 in reaching such a standard for a permit, the
6 Region ought to look to the technology for the
7 class or category of point sources of which the
8 applicant is a member.

9 JUDGE REICH: Can I ask you, is your
10 argument about disparate treatment limited to
11 316(b), or does it go to 316(a) as well?

12 MR. STEVENS: It goes to both of them. It
13 is unprecedented for a control for thermal
14 discharges as well as cooling water intakes.

15 JUDGE REICH: Can you meet the 316 thermal
16 discharge standard with open cycle cooling?

17 MR. STEVENS: What thermal discharge
18 standard?

19 JUDGE REICH: The one that's in the
20 current variance. I mean, one of the things the
21 Region says in its brief is that you and they agree
22 that you would most likely meet the 316(a) standard

1 with closed cycle cooling, even if it were not for
2 316(b).

3 MR. STEVENS: Both, the conditions for
4 both thermal discharge and cooling water intake
5 absolutely require closed cycle cooling. There is
6 no other way we can meet them.

7 JUDGE REICH: So if there were not a
8 316(b) standard, but there was still the 316(a)
9 limit as it is in the current permit, you would
10 still be required to go to closed cycle cooling?

11 MR. STEVENS: Yes. It would still treat
12 us uniquely.

13 The unexplained departure from prior
14 practice, the failure to consider the class or
15 category, are both in and of themselves fundamental
16 errors of law that require a remand of this permit.
17 But since they are only the first of a whole series
18 of fundamental errors, it is important that the
19 remand or appropriate report to the Administrator
20 be carefully conditioned by the Board, and I will
21 turn next specifically to the thermal discharge.

22 JUDGE STEIN: Counsel, let me ask you a

1 question before you do that. To what extent are
2 the records relating to these other plants that you
3 claim the conditions for USGen are a departure from
4 reflected in the record of this proceeding?

5 MR. STEVENS: The region was asked to
6 point to similar instances, and they were able to
7 point to none.

8 JUDGE STEIN: In what context? During the
9 course of the comment period, or during the course
10 of the appeal?

11 MR. STEVENS: I believe they were asked at
12 all stages. I have seen no response in their
13 papers filed before the Board.

14 As to the thermal discharge, there is one
15 overridingly important factor, and that is that
16 USGen applied for a variance under Section 316(a)
17 and the Region ruled it was entitled to that
18 variance. The Region ruled that USGen had carried
19 its burden of showing that the chosen technology
20 standard was more stringent than necessary to
21 protect the balanced, indigenous population of
22 fish, shellfish, and wildlife.

1 Now, what are the consequences of USGen
2 having carried that burden? The Region would say
3 none whatsoever. Its position is that once it has
4 rejected the applicant's proposed permit variance
5 limits, as it did here, it is then free to impose
6 any standard that is sufficiently protective of the
7 pertinent biota, standards which of course would
8 include the very standards from which they have
9 granted a variance.

10 And that is precisely what the Region did
11 here. It supposedly granted a variance from a
12 standard that would have required closed cycle
13 cooling for all 8,760 hours of the year, and then
14 it required closed cycle cooling for 8,638 hours
15 each year. There is no material difference. What
16 the Region did was to say that Brayton Point
17 Station was entitled to a variance and then deny it
18 a variance.

19 That this result is in error is shown not
20 just by logic but by authority. Shortly after the
21 enactment of the 1972 amendments to the Act, the
22 Agency's General Counsel was asked for an opinion

1 whether it was permissible to do exactly what the
2 Region has done here: to find someone entitled to
3 a variance from a certain standard, and then to
4 apply that standard in the permit.

5 And the answer was, neither the Region nor
6 a State could do that, and that answer was
7 reaffirmed in a more formal--in our brief we refer
8 to that first answer as the Zener memorandum. It
9 was ratified and accepted in a more formal opinion
10 thereafter, General Counsel Opinion 76-12. Now--

11 JUDGE STEIN: Let me interrupt for a
12 second. Given that the statute uses the permissive
13 language "may" impose an effluent limitation
14 different from otherwise applicable, is it your
15 position that the Agency, assuming that USGen met
16 its burden of proof, has no discretion but to grant
17 that variance?

18 MR. STEVENS: Yes.

19 JUDGE STEIN: And in that regard, how do
20 you deal with the permissive language of the
21 statute, or the apparently permissive, the word
22 "may"?

1 MR. STEVENS: Well, it has not been
2 raised. The Region has never quarreled that once
3 it has found a variance, once it has found an
4 entitlement, it has an obligation to grant that
5 variance. And in fact we say that if it cannot
6 merely--it has been said it may not--the opinion of
7 the General Counsel that I have just referred to is
8 that it may not, once it has found entitlement to a
9 variance, simply apply the standard that would
10 result in a denial of a variance. The opinion of
11 the General Counsel is, a variance must be granted.

12 And if the Region must grant a variance,
13 it cannot impose just any standard that's a
14 sufficiently protective limit, because the
15 applicant is entitled to a variance from that
16 standard. Based on the compromise that Congress
17 made in 316(a) between our society's need for
18 reliable, affordable energy and our desire to
19 protect fish, shellfish and wildlife, the Region
20 must impose, once it has found entitlement to a
21 variance, variance limits that permit the greatest
22 thermal discharge consistent with the protection of

1 the balanced, indigenous population, because the
2 applicant would be entitled to a variance from any
3 more stringent standard.

4 Now, the Region not only--

5 JUDGE REICH: Are you arguing that in
6 316(a) the obligation of the permitted to
7 demonstrate goes only to the demonstration of a
8 need for a variance, and not to the justification
9 of the adequacy of the terms of the variance in
10 terms of BIP, or do you assume that you have that
11 burden as well?

12 MR. STEVENS: We assume the only burden
13 that is exactly placed on us is to demonstrate the
14 entitlement. It then becomes the Region's task to
15 identify the limit that permits the maximum thermal
16 discharge consistent with protection of the
17 balanced biota.

18 The Region in its brief not only admits it
19 failed to do that, it says it wasn't required to do
20 that. And that failure, that disavowal, is its
21 second fundamental error of law. It then
22 compounded that error by, in attempting to set the

1 standards, by not looking at the information that
2 its own regulations say is the pertinent
3 information on which the variance limits should be
4 based.

5 What evidence is that? According to the
6 Agency's guidance, draft technical guidance, it is
7 the evidence from observation or modeling of the
8 effect of Brayton Point Station's thermal discharge
9 on the biological functions of the pertinent
10 population in Mount Hope Bay. There is no evidence
11 in the record that the discharge, existing
12 discharge or that proposed by USGen, would harm the
13 biological functions of any of that population, and
14 the Region didn't even look for it.

15 They required USGen to perform studies
16 costing millions and millions of dollars. None of
17 these studies that were commissioned looked at the
18 effects on biological functions. They all were
19 merely designed to show the physical, the
20 physically detectable extent of the thermal plume.
21 USGen kept saying, "These are not the studies you
22 should be doing. You're not looking at the right

1 factors." But the Region never changed.

2 And when they got the right information,
3 they ignored it. USGen, on its own, commissioned
4 careful, elaborate, tremendously expensive studies
5 by nationwide experts, professors from Rhode
6 Island, experts on Mount Hope Bay, worldwide
7 fisheries experts, showing the lack of effect on
8 the biological functions of the pertinent biota.
9 The Region just dismissed it.

10 It did the same thing not only with
11 studies commissioned by USGen but by scientists
12 they otherwise credited, and here I am referring to
13 a document that is not yet in the record. It is
14 the most important one that we ask you to require
15 to be admitted in the record. It is a report by
16 Mark Gibson in 2001. We didn't know it existed
17 until after the permit had been issued.

18 In this study, Mr. Gibson proposed limits
19 almost identical to those proposed by USGen. Rhode
20 Island admits in its administrative brief it sent
21 this report to the Region, but the Region did not
22 include it in the record. It must be included in

1 the record.

2 Instead of looking for the pertinent
3 evidence, looking at it when it got it, the Region
4 just looked at types of evidence that could not
5 possibly produce rational permit conditions. This
6 evidence was remote. Maybe fish will be more
7 predative. Maybe shrimp will be more predative of
8 larvae.

9 There were irrelevant worries about
10 eelgrass, which disappeared from Mount Hope Bay
11 decades before Brayton Point Station even began
12 operations. Trivial, a statement that "some
13 percentage" of fish developed lymphocysts when they
14 wintered over near the thermal discharge. That
15 percentage was 0.16; it was one fish.

16 They talked about a supposed coincidence,
17 and we put these figures in our brief, a supposed
18 coincidence between increased operations at the
19 plant and declines of fish. There was no
20 coincidence. We have shown them in the brief. The
21 fish had declined 80 percent before there was any
22 increase in the plant's thermal discharge.

1 And if you appropriately line up the
2 intake effects with the population, there is no
3 effect, there is no coincidence there. And in that
4 regard, we had not realized at the time we lagged
5 that second chart in our brief that the new Phase
6 II rule, in the new Phase II rule the Agency says
7 that's exactly what you have to do, because it
8 takes years for intake changes to be reflected in
9 the pertinent population. And the cite on that,
10 since we just had it, it's not in our brief, is 69
11 Fed. Reg. 41,658.

12 Now, as would be expected, when the Region
13 applied the wrong standard, it didn't look at the
14 right evidence, it ended up with permit limits that
15 are entirely arbitrary. And I am referring to the
16 limits, the thermal limits that drive the permit,
17 which were not more than 24 degrees, 10 percent, 5
18 days. Not more than 10 percent of the bottom of
19 the bay should be raised to more than 24 degrees on
20 more than 5 consecutive days.

21 Now, it's very frustrating to find out
22 what the real basis for these conditions was,

1 because if you look at all of the Region's briefs,
2 they cite their response to comments. You look at
3 the response to comments, they cite their
4 determination. You've got to follow a long trail
5 to find that there is precious little in the end in
6 support. But here we are sufficiently specific
7 that we force them to drag out what there was, so
8 let's look at what there is to support these
9 limits.

10 Five days, they said in their brief. It
11 seemed like a good idea to some people sitting
12 around the table, and it happened to be the largest
13 number of days they asked USGen to model. There is
14 no rational basis.

15 Ten percent, they said the basis for that
16 was a circle drawn on a map. Well, according to
17 the reference contained on the map, that map didn't
18 even exist at the time the Region adopted the 10
19 percent standard. If it did exist, why didn't they
20 put it in their determination, if it was the basis
21 for an important permit limit. If it was so
22 important, why, when they put it in their response

1 to comments, was it just a hanging, unexplained
2 exhibit with no reference in the text whatsoever?
3 Totally arbitrary.

4 Twenty-four degrees. In their brief, the
5 Region concedes that the only relevant protective
6 summer situation for their poster species, winter
7 flounder, is juvenile winter flounder that have
8 experienced the gradual warming of waters. August
9 does not follow directly after March in Mount Hope
10 Bay, like in the rest of the world. Yet the only,
11 the only avoidance behavior they can identify at
12 temperatures below 24.9 degrees relates to an
13 irrelevant life form, adult winter flounder, or to
14 juvenile winter flounder that have been taken from
15 March, 14 degree waters, and suddenly plunged into
16 August. There is no rational support for any
17 number other than 24.9.

18 The Board should remand or report on
19 thermal discharge issues, requiring new permit
20 conditions that permit the maximum thermal
21 discharge consistent with protection of the biota,
22 that are based on effects on biological functions

1 of the species existing there, and that do not
2 contain a maximum summer temperature lower than
3 24.9 degrees.

4 JUDGE REICH: Mr. Stevens, before we run
5 out of time, we really have not talked at all yet
6 about 316(b), and--

7 MR. STEVENS: I was just going to turn to
8 it.

9 JUDGE REICH: I assumed you probably were,
10 but let me ask a couple of questions initially to
11 make sure I understand the scope of your argument.

12 I believe in your initial petition you
13 argued that 316(b) did not cover intake limitations
14 but was only focused on physical aspects of the
15 CWIS. Is that still your position, and is that an
16 issue that was addressed in Riverkeeper?

17 MR. STEVENS: We are arguing that these
18 volume limitations are impermissible volume
19 limitations.

20 JUDGE REICH: You are not arguing that
21 volume limitations are per se--

22 MR. STEVENS: We haven't weighed that

1 argument. We are not urging it. We haven't urged
2 it in our briefs and we are not urging it in this
3 argument.

4 JUDGE REICH: And what is your position
5 relative to the applicability of water quality
6 standards in the context of 316(b), and
7 particularly in light of language which seems to
8 suggest to me, in Riverkeeper, that there is an
9 acceptance of the idea that water quality standards
10 does have relevance in 316(b)?

11 MR. STEVENS: That was the first question
12 I was going to ask.

13 JUDGE REICH: Okay.

14 MR. STEVENS: May the Region, as it is
15 attempting to do after the fact, defend the cooling
16 water intake limitations in the permit on the basis
17 that they are necessary to assure compliance with
18 the water quality standards of Massachusetts and
19 Rhode Island?

20 The answer in this case, and this is the
21 only case the Board has to decide, is no. The
22 reasons leading to that answer differ for the two

1 States involved. I will first deal with
2 Massachusetts.

3 JUDGE REICH: So you're saying it's an
4 artifact of the particular State water quality
5 standards, rather than a generic issue as to--

6 MR. STEVENS: Exactly, in this instance.
7 That's all you have to reach.

8 JUDGE REICH: Okay.

9 MR. STEVENS: Massachusetts, the State in
10 which Brayton Point Station's discharge originates,
11 therefore of course it has the right to file a
12 certification, it has the right clearly to insist
13 that its water quality standards affected by the
14 discharge be required to be complied with.

15 Under the Supreme Court case, which the
16 Region would give much additional weight, but under
17 that case, PUD No. 1, if it is authorized to do so
18 by State law--and we believe there are very
19 substantial doubts as to whether Massachusetts is
20 authorized to do so by State law--but if it is
21 authorized to do so by State law, it may impose
22 limitations on activities other than the discharge,

1 but it hasn't done so here.

2 In its certification, it said only that
3 the limits in the permit were sufficient to protect
4 Massachusetts water quality standards. And then,
5 very significantly, there is a parallel State
6 appeal that would have determined State law.
7 Massachusetts was determined to, wished to void
8 that appeal and to stay it, so it insisted that
9 everything in the Federal and State permits was
10 determined by Federal law.

11 Specifically it said, at page 5 of its
12 brief, which is Exhibit I to our reply brief, that
13 the cooling water intake limits were based not on
14 State law but on Federal law. And then it went on
15 in the next page to say that if on this appeal
16 which brings us here this morning, if on this
17 appeal those federally-determined cooling water
18 intake limits were made considerably less
19 stringent, then Massachusetts would have to
20 consider whether those less stringent limits were
21 sufficient to meet its water quality standards.

22 Perforce, necessarily, if it hadn't

1 determined that lesser limits were not sufficient
2 to meet its water quality standards, it could not
3 have determined that the stringent limits in this
4 permit are necessary to meet its water quality
5 standards. And once the Massachusetts Department
6 of Environmental Protection had made that
7 interpretation, when it had not interpreted State
8 law to require these limitations, the Region has no
9 standing for creating State law. It must defer to
10 that interpretation.

11 As to Rhode Island--

12 JUDGE REICH: If we read Massachusetts'
13 briefs in conjunction with the certification to
14 conclude that Massachusetts was in fact saying that
15 these limits are necessary to protect water quality
16 standards in Massachusetts, then we would be
17 compelled, would we not, to look to those limits as
18 being attributable to State certification and not
19 look behind them?

20 MR. STEVENS: In that event, there should
21 be a deferral to the State appeal, because there
22 are substantial issues of entitlement under State

1 law which there were not in PUD No. 1. In that
2 event, you should stay your own consideration of
3 that issue and let the State proceed. But we--

4 JUDGE STEIN: To what extent are documents
5 pertaining to the State appeal in the record of
6 this proceeding? To what extent are documents
7 pertaining to the State appeal in the record of
8 this proceeding, you know, other than as Attachment
9 E to your brief?

10 MR. STEVENS: I believe you are entitled
11 to notice what the State is saying as to what it
12 has done to interpret State law to an
13 administrative hearing officer who is charged with
14 determining what State law is. I believe that is a
15 binding admission on the State.

16 JUDGE STEIN: But you don't have a final
17 determination on the Massachusetts permit appeal at
18 this point. Is that correct?

19 MR. STEVENS: We do not. It has been
20 stayed, because the State convinced the hearing
21 officer that there are no State issues in the
22 permit, that the State water quality standards have

1 nothing to do with it. We are being whipsawed.
2 They say one thing to the State and another thing
3 to--they say to each that the other is
4 determinative.

5 Very quickly with respect to Rhode Island,
6 because my time is almost up, and because the
7 considerations there are different. Rhode Island,
8 of course, plays a subsidiary role. It's not the
9 State where the discharge originates. Its only
10 right, expressly granted by the Act, is to claim
11 that it is affected by the discharge and the
12 discharge will harm its waters in a way that
13 violates its water quality standards. Neither the
14 Act nor the PUD give Rhode Island any specific
15 right to exercise any control, even through a
16 request to the Region, over activities other than
17 the discharge, particularly those activities
18 occurring wholly in another State.

19 JUDGE REICH: Apart from 401, if we looked
20 at 301, does that, does EPA's obligation under 301
21 require us to consider the effect on Rhode Island
22 standards as well as Massachusetts standards?

1 MR. STEVENS: Can't, for the intake. Rhode
2 Island's claim is essentially a claim that the
3 intake at Brayton Point Station, by harming fish
4 that do or otherwise would spend a portion of
5 their--

6 JUDGE REICH: I guess I was asking, as a
7 legal question, are you saying that we are not
8 legally allowed to, or that the nature of the Rhode
9 Island standard is such that it wouldn't make sense
10 to do it?

11 MR. STEVENS: I'm saying that Rhode Island
12 cannot legally apply these standards, and therefore
13 EPA may not legally apply them on behalf of Rhode
14 Island. Rhode Island's claim is essentially, in
15 substance, that an out-of-State activity is causing
16 a nuisance in the State waters.

17 International Paper v. Ouellette long ago
18 ruled that Rhode Island is foreclosed from doing
19 that. Rhode Island cannot, the agency cannot adopt
20 a regulation that says the operation of the Brayton
21 Point intake is a nuisance. It surely cannot
22 accomplish the same result by changing the title of

1 that ordinance from nuisance to water quality
2 standard.

3 It's therefore no surprise, no surprise
4 that on their face, the Rhode Island water quality
5 standards do not purport and cannot be read to
6 reach wholly out-of-state activities. The purpose
7 section, which the Region does not attach to its
8 brief--we do attach it as Exhibit M to our brief--
9 says the purpose is to provide for the protection
10 of the waters of Rhode Island from pollutants.
11 Pollutants are what come out of a discharge. The
12 section referred to by Rhode Island in its
13 comments, refers to anthropogenic activities.

14 JUDGE REICH: I think we are out of time.
15 Do the judges have any other questions?

16 Okay. Thank you.

17 MR. STEVENS: Thank you very much.

18 JUDGE REICH: The Region?

19 MR. STEIN: Thank you, Your Honor. May it
20 please the Court, my name is Mark Stein. I'm
21 Senior Assistant Regional Counsel with EPA Region I
22 in Boston. Sitting with me at counsel table are

1 Carol Ann Siciliano and James Curtin of the Office
2 of General Counsel at EPA Headquarters here in
3 Washington.

4 First I would like to address the
5 environmental setting of the Brayton Point NPDES
6 permit. Then I'll turn to issues related to
7 316(a), and then after that 316(b), including water
8 quality standards. This discussion will
9 demonstrate that the Region's permit has a rational
10 basis, is consistent with applicable law, and it
11 should be upheld.

12 The permit for Brayton Point Station is of
13 great environmental importance. The water quality
14 and fishery resources of the Mount Hope Bay estuary
15 are at stake. These waters provide critical
16 habitat for marine life, including crucial spawning
17 and nursery habitat. They are also an important
18 part of the Narragansett Bay estuary, one of the
19 first estuaries designated as an estuary of
20 national significance under the Clean Water Act
21 National Estuary Program. And these waters have
22 also been given the highest water quality

1 classifications by two States, and as such they are
2 supposed to provide excellent quality fish habitat
3 and a recreational fishing resource.

4 This permit addresses one of the biggest
5 influences on the Mount Hope Bay ecosystem, the
6 once-through cooling system of the Brayton Point
7 Station power plant. This plant discharges a huge
8 quantity of heat into the shallow Mount Hope Bay
9 estuary. The thermal plume can cover the entire
10 bay, an area of 14 square miles, and reach out into
11 Narragansett Bay on an outgoing tide, and this
12 plume drastically alters the thermal regime of the
13 bay and harms marine life.

14 In addition, the plant's cooling system
15 ingests approximately 1 billion gallons of water a
16 day from the bay. It's an amount equivalent to the
17 entire volume of the bay going through the plant
18 seven times a year. In the process, it entrains
19 and impinges billions of fish eggs, fish larvae,
20 juvenile and adult fish, and trillions of
21 invertebrates, and Mount Hope Bay's fish
22 populations are in a state of collapse.

1 JUDGE REICH: In considering either the
2 thermal discharge limit under 316(a) or the intake
3 limit under 316(b), did you feel you had any
4 obligation to look at other facilities and what had
5 been done with other facilities? And if so, is
6 there in the record any analysis that shows the
7 environmental impacts from Brayton Point as
8 compared to the environmental impacts from the
9 other facilities you looked at?

10 MR. STEIN: I'll have to answer that
11 question in parts.

12 JUDGE REICH: Okay.

13 MR. STEIN: Under 316(b) we did feel it
14 was appropriate to look at other facilities because
15 we're looking at a technology standard, and we
16 needed to look at what technologies would be
17 feasible and what might constitute the best
18 technology for minimizing adverse impact based on
19 what had been accomplished at other facilities. So
20 we did look at other facilities, and what we found
21 was that there were other facilities that had been
22 converted from entirely once-through systems to

1 entirely closed cycle systems using cooling towers,
2 the technology that we looked at for Brayton Point.

3 On the 316(a) side, we did look at other
4 facilities in response to comments because the
5 company commented on that, and you'll see
6 discussion of other facilities in the
7 administrative record, in fact, in certain
8 attachments that we had to our last brief. But the
9 analysis under 316(a) is a case-by-case analysis,
10 and as the Administrator said, in I think it was
11 the Wabash permit appeal, the 316(a) analysis is
12 necessarily unique. It turns on the facts of each
13 specific case, so we focused on the environmental
14 impacts at Brayton Point, and that's what drove our
15 decision. So I would like to turn to Section
16 316(a).

17 Heat is a pollutant, and as such,
18 discharges of heat have to comply with whatever is
19 more stringent between technology-based standards
20 or water quality-based standards, except that
21 316(a) provides for a variance from these otherwise
22 applicable limits if a thermal discharge limit, an

1 alternative limit, can be identified that would be
2 sufficient to assure the protection and propagation
3 of the balanced, indigenous population in the
4 receiving water, also commonly referred to as the
5 BIP. 316(a) limits are based on biological
6 criteria, not economic or technological criteria.

7 JUDGE REICH: Going back to the question
8 that Judge Stein asked, has the Agency approached
9 316(a) as permissive, or has the Agency approached
10 it as something that it felt an obligation to grant
11 if a proper showing were made?

12 MR. STEIN: I believe the Agency has
13 approached it that if a proper showing was made,
14 the Agency would grant a variance unless there was
15 some other reason to prevent it. Namely, for
16 example, if a thermal discharge would be allowed
17 that would cause violations of dissolved oxygen
18 criteria in the water, there might be a water
19 quality standards obstacle.

20 But I think it's fair to say that despite
21 the permissive language in the statute--in other
22 words, I haven't seen a case where the Agency said,

1 "Even though they have made a showing, we're not
2 going to provide for a variance, because the
3 language says 'may'." Now, we did discuss in the
4 permit record the fact that the language says
5 "may," and it seems to leave some discretion there,
6 but that didn't drive the permit decision that we
7 made.

8 JUDGE STEIN: If I understand it
9 correctly, you determined that a variance was
10 appropriate but you didn't grant the variance that
11 the company sought. In other cases where the
12 Agency has applied 316(a), are there other
13 circumstances where the agency has determined that
14 a variance was appropriate but not the variance
15 that in fact was sought by the company?

16 MR. STEIN: I don't exactly know the
17 answer to the question, to be honest. I don't know
18 whether there is another permit where it unfolded
19 just that way. My assumption, and that's all it
20 is, is that there would be such cases; that if the
21 Region in question does an analysis and finds that
22 a company has asked for a variance and has not met

1 its burden to show that the limits it proposes will
2 satisfy the 316(a) standard, that that limit that
3 was proposed could get modified in the course of a
4 decision. And the permittee is not in a position
5 to complain that, "Oh, the limits should have been
6 made even more stringent by applying the more
7 stringent technology of a water quality-based
8 standard that would apply in the absence of a
9 variance.

10 JUDGE STEIN: So I take it you then
11 disagree with the statement by counsel for USGen
12 that they in fact met their burden?

13 MR. STEIN: Absolutely. The Petitioner
14 did not meet its burden. The Petitioner's burden
15 was to show that the alternative limits that it
16 proposed would be adequate to protect the balanced,
17 indigenous population in Mount Hope Bay, and they
18 did not meet that burden. And I would like to
19 speak about that and explain why.

20 The statute doesn't dictate exactly how a
21 316(a) analysis should be done, and so the Region
22 is in a position to use reasonable scientific

1 judgment in developing that analysis, and we did
2 that in this case, using the 1997 draft EPA 316(a)
3 guidance document which is still the standing
4 guidance document in the field.

5 A key part of our analysis was what we
6 refer to as an area impacted analysis, where we
7 looked a key habitat areas in the bay and we looked
8 at the key representative species of fish that
9 reside in the bay and other types of organisms, and
10 what the temperatures are that would cause adverse
11 thermal effects to these species. We found that
12 the most sensitive species in question here were
13 juvenile winter flounder in the summer, and winter
14 flounder eggs and larvae in the winter season.

15 Protecting these organisms was necessary,
16 in our view, because the winter flounder is a
17 critical species within the context of the
18 balanced, indigenous population of Mount Hope Bay,
19 and that by protecting these species we would
20 protect the other species within the balanced,
21 indigenous population.

22 JUDGE REICH: In reaching the thermal

1 discharge limits you ultimately reached, I know
2 there is argument back and forth in the briefs
3 about the extent to which the limits were based on
4 the Massachusetts mixing zone proposal, and it has
5 been asserted that it was. It has been, I think,
6 denied by you, denied by Massachusetts. And I know
7 Massachusetts has also said that in totality the
8 mixing zone proposal would have been more
9 restrictive.

10 But the numerical criteria, the 10
11 percent, the 5 days, the 24 degrees, were they
12 also, do you know, in the Massachusetts mixing zone
13 proposal? And if so, how does it come to be that
14 you come up with the same numerical criteria?

15 MR. STEIN: My understanding is that some
16 of the same criteria were used when Massachusetts
17 assessed the mixing zone, which isn't surprising
18 because they were looking to protect high quality,
19 excellent quality fish habitat under the standards
20 and protect zones of passage and other kinds of
21 biological functions in the receiving water,
22 whereas under 316(a) we are looking to ensure the

1 protection and propagation of the balanced,
2 indigenous population, sort of similar standards.

3 But my understanding of the Massachusetts
4 mixing zone is it does not command the same limits
5 or use exactly the same criteria in the same way
6 that we did. The limits that they derived to meet
7 the various State requirements would have been more
8 stringent in totality, as you say. It would have
9 required actually no discharge during certain parts
10 of the year, to protect zones of passage and other
11 factors, whereas the 316(a) variance limit that we
12 put forth has a monthly thermal discharge limit
13 which we then apply across the 12 months to get an
14 annual limit. The facility can discharge, you
15 know, throughout the year, rather than having to
16 shut down at certain times.

17 So the analyses have some similarities but
18 they are not the same analysis, and our 316(a)
19 analysis is not based on the State mixing zone
20 criteria.

21 JUDGE REICH: Okay. Thank you.

22 MR. STEIN: Now, what we did do is, we

1 looked at the key nursery and spawning areas in
2 Mount Hope Bay, and we found that they are
3 clustered in the shallow waters close to the
4 discharge point, where the rivers come down and
5 into the bay.

6 And as a result, we determined that the
7 thermal discharge should not exceed critical
8 temperatures in those areas that would affect the
9 functions of these areas. They shouldn't exceed
10 critical temperatures that would cause juvenile
11 winter flounder to avoid the nursery habitat where
12 they need to be to grow and thrive, and they
13 shouldn't exceed critical temperatures in the
14 spawning areas where eggs hatch and where larvae
15 develop.

16 And we found that to avoid those key
17 areas, which happen to be near the discharge point,
18 the critical temperature should only be exceeded in
19 no more than 10 percent of the area of the bay.
20 The Petitioner says that we came up with that
21 analysis after the fact, that they only saw that in
22 our most recent brief.

1 That is not so. We explain that analysis
2 in the record for the draft permit. It is
3 explained in the text, and I can give you the
4 reference, Exhibit 4, page 6-56 to 6-57. It is
5 further explained in our responses to comments at
6 Exhibit 2, pages III-30 to 31, in a number of
7 figures that are cited and reference in those
8 pages.

9 In fact, the figure that Petitioner
10 complains about, that they say we created after the
11 draft permit, is a figure that is actually drawn
12 from a figure from one of Petitioner's own reports.
13 The only thing we added to it was, we drew a
14 semicircle to show where the 10 percent area was
15 that we had already described in the text of our
16 analysis. Petitioner has had the information on
17 where the key areas were. We explained what our
18 analysis was based on, and there is no record
19 problem there, we would submit.

20 Now, we turned to look at the 316(a)
21 analysis really in two ways. A petitioner or an
22 applicant can try to obtain a 316(a) variance by

1 making what has been referred to as a retrospective
2 showing, where they try to show that the discharge
3 has not caused, has not interfered with the
4 protection and propagation of the BIP in the past.
5 It's a retrospective showing.

6 We evaluated the showing that the
7 Petitioner attempted to make, and we felt that they
8 did not carry their burden in that regard. We
9 found that with the existing thermal discharge, 75
10 percent of the bay would exceed the critical
11 temperatures that I just described, and those
12 critical temperatures would be exceeded in all the
13 key spawning and nursery habitat.

14 Moreover, on top of that, we found that
15 the thermal plume interferes with normal migration
16 of various species of fish such as striped bass and
17 menhaden. We found that the thermal discharge
18 appears to be promoting the appearance of nuisance
19 species that favor warm waters in Mount Hope Bay.
20 And we saw numerous other types of problems.

21 Furthermore, as we said, the data shows
22 that fish populations had collapsed in Mount Hope

1 Bay by the mid-eighties, following increases in
2 thermal discharge by Brayton Point Station as a
3 result of increased generation operations by the
4 plant and the conversion of Unit 4, which actually
5 had been originally required to operate in a closed
6 cycle fashion, by converting that to open cycle.
7 And the Region believed that, although this
8 coincidence in time does not prove cause and
9 effect, we felt that it added to the weight of the
10 evidence that the existing thermal discharge had
11 been contributing to the serious problem with the
12 fish populations in Mount Hope Bay.

13 JUDGE STEIN: Counsel, there has been a
14 fair amount of discussion in the briefs and
15 somewhat during the argument about the nature of
16 the burden, and I guess I would like to get a
17 clearer understanding of what you believe
18 Petitioner's burden was. Was it simply to
19 establish that the effluent limitations were more
20 stringent than necessary to assure propagation of a
21 balanced, indigenous population, or was there some
22 further burden, in the Region's view?

1 MR. STEIN: In our view, the Petitioner
2 had the burden not only to show that the limits
3 that otherwise applied were more stringent than
4 necessary, but they had the burden to show that the
5 limits that they were proposing, the alternative
6 limits, would be adequate to ensure the protection
7 and propagation of the BIP. We feel that that's
8 their burden.

9 JUDGE STEIN: How do you get to that from
10 the language of the statute?

11 MR. STEIN: We get to it because when you
12 look at the language of the statute as well as the
13 language of the regulations, it's clear that the
14 way the Agency has interpreted 316(a) is that the
15 Petitioner is supposed to come forward and make a
16 demonstration that there are alternative limits
17 that will be adequate to protect the balanced,
18 indigenous population. What the statute says is
19 that the Agency may allow such a variance. We may
20 do that if a petitioner has come forward with an
21 adequate showing.

22 Now, we feel that we have a burden, too.

1 If we find that the Petitioner has not carried its
2 burden, we have to show that that finding is not
3 arbitrary and capricious. If we decide to grant a
4 variance, then we take on the burden of showing
5 that the limits that we are imposing will in fact
6 be adequate to ensure the protection and
7 propagation of the BIP, and that they are not
8 otherwise, again, arbitrary and capricious.

9 JUDGE REICH: But going back to the
10 wording of 316(a), is it not true, though, that the
11 language that talks about "the applicant can
12 demonstrate" relates to the initial finding that
13 the standards that would otherwise be imposed are
14 more restrictive than necessary to protect BIP?
15 And then, having gotten to the end of that clause,
16 it talks about "the Administrator may impose."
17 Doesn't it suggest that, having made that finding,
18 the burden shifts to the Administrator, since it's
19 the Administrator who has to determine what to
20 impose?

21 MR. STEIN: Again, I think that the
22 Administrator would take on the burden of showing

1 that the limits that were imposed are adequate to
2 assure the protection and propagation of the BIP.
3 I agree with that.

4 JUDGE REICH: Okay. And what is the
5 effect of, if the Agency fails to do that, what is
6 the effect of that? Is the permittee without a
7 variance?

8 MR. STEIN: We would say yes, indeed.
9 Yes, that's right. If we fail to support the
10 limits that we have imposed, then the permit would
11 have to be remanded for the region to develop new
12 limits, and in the meantime the petitioner would
13 not have variance-based limits, or they would have
14 whatever was in their existing permit if they are
15 an existing discharger. But yes.

16 JUDGE REICH: So does that mean that if we
17 find that a variance was proper but that these
18 limits are not the right limits, that our course
19 would be to remand it back to you to develop
20 appropriate limits?

21 MR. STEIN: If you find that they are
22 appropriate limits, in the sense that we did not

1 carry the burden to show that they are stringent
2 enough to meet the standard of 316(a), then yes,
3 that would be the--you know, then the permit limits
4 wouldn't stand, and we would have to go and redo
5 the permit and develop limits that would stand.

6 JUDGE REICH: But if we conclude that they
7 are overly stringent, then you wouldn't have any
8 burden at that point to show that it can be made
9 less stringent--

10 MR. STEIN: We don't believe--

11 JUDGE REICH: --and still meet the
12 standard of protecting BIP?

13 MR. STEIN: I'm sorry, Your Honor. We
14 don't believe that we have the burden of showing
15 that they are the least stringent possible limits
16 that could be developed and might protect the
17 balanced, indigenous population. If you found that
18 our limits were so stringent that they are
19 arbitrary and capricious, that we don't have a
20 rational basis for the decision that we made to set
21 those limits, then I think you would be--it would
22 then be your role to remand that permit for us to

1 develop new limits that could be supported, or to
2 develop a better basis for the limits that we did
3 impose.

4 I'll say one last thing about 316(a), and
5 I would like to turn to 316(b). As I mentioned,
6 there is a retrospective showing. We also looked
7 at the Petitioner's prospective showing, where an
8 applicant can say "Even if there has been past harm
9 from our discharge, we've got an alternative set of
10 limits that, going forward, won't cause harm."

11 And we did review the Petitioner's
12 proposal to reduce its thermal discharge from a 42
13 trillion Btu's a year discharge to a 28 trillion
14 Btu discharge. But what we found was, under that
15 condition, still 62 percent of the bay would exceed
16 the critical temperatures that we identified
17 before, and again, all of the critical nursery and
18 spawning habitat up near the discharge point would
19 exceed the temperature. So we found again that the
20 Petitioner had not carried its burden to justify
21 those limits.

22 What we then asked ourselves was, well,

1 what would be a set of thermal limits that would
2 meet the critical temperatures in the area outside
3 that 10 percent zone, and we then did the
4 calculations to figure out how many Btu's they
5 could discharge and still meet that standard. And
6 I'll say most of the time, virtually all the time--
7 of course, conditions can change in the bay based
8 on tides and currents, and so the plume moves
9 around--these limits that we impose we felt would
10 principally protect the nursery and spawning
11 habitat, and as a result would satisfy 316(a).

12 And while Petitioner has raised a number
13 of technical disputes with the analysis that we
14 did, we don't think they have shown that the limits
15 were arbitrary and capricious or inconsistent with
16 law. And I would note that several independent
17 experts agreed that the analysis was reasonable,
18 including Massachusetts and Rhode Island but also
19 experts from the Oak Ridge Laboratories. Their
20 analysis is provided at Exhibit 34, and it may be
21 interesting for the Board to focus on that as well.

22 Now I would like to turn to 316(b), and I

1 will address why it was proper that we develop this
2 permit on a BPJ basis, explain why these BPJ limits
3 should be upheld, and address the issue of State
4 water quality requirements.

5 The Region began work on this permit in
6 1997. We issued the draft permit in July of 2002
7 and the final permit in October of 2003.
8 Throughout this time, there were no national
9 applicable technology standards that applied to
10 this facility, and it was the Agency's practice,
11 consistent with the Act, to do BPJ--best
12 professional judgment--case-by-case permitting, and
13 that's what the Region did. The Phase II
14 regulations were not signed until February of 2004,
15 and they only just became effective.

16 JUDGE REICH: Well, let me ask about that.
17 I read the last brief filed by USGen as conceding
18 that the Phase II regulations do not per se apply
19 in this situation, but given that this permit is
20 not final, if there were technical objections--and
21 I'll state this hypothetically so I don't trip into
22 administrative record issues--but hypothetically,

1 if a party made technical objections to some of the
2 aspects of the proposed Phase II rules, and if they
3 made the same technical objections as part of the
4 record of this proceeding, why would it be
5 irrational--that may be too high a standard--for
6 the Board to look at how the Agency dealt with
7 those same issues in the context of the Phase II
8 rulemaking as suggestive of the Agency's latest
9 thoughts on those issues, even if the regs
10 themselves don't apply?

11 MR. STEIN: Well, it's hard to visualize
12 exactly the context in which those other comments
13 would have been made in the national rulemaking and
14 how they would fit with the permit that we
15 developed. The responses that the Agency may have
16 made in the rulemaking are not part of the record
17 for the permit that we developed, and so obviously
18 we couldn't have considered those matters in
19 developing the permit.

20 JUDGE REICH: Yes. My question was
21 deliberately designed to apply only to situations
22 where the same issues were raised as part of this

1 proceeding, because I agree there is no obligation
2 to look at issues that were raised in the Phase II
3 proceeding, that weren't also raised in the context
4 of this proceeding.

5 MR. STEIN: You know, if the Board decided
6 to go afield and outside the record of the permit
7 and to look at the analysis that was done in the
8 rulemaking, you might decide that it gives you some
9 sort of guidance. Still, looking at issues in the
10 context of a national rulemaking is different than
11 in the context of a case-by-case, facility-specific
12 permit, certainly different in many ways, and I
13 can't say that that would provide real guidance for
14 the permit.

15 You know, I think it's worth remembering
16 that the Agency repeatedly told the Regions to
17 continue doing best professional judgment
18 permitting while the rulemaking was ongoing. They
19 said this three times: a December 2000 guidance
20 document; in the proposed Phase II rule; and then
21 again in a February 2003 guidance document.

22 The Agency said Regions should continue

1 doing case-by-case permitting while the rulemaking
2 is ongoing, and in the proposed rule the Agency
3 actually said specifically, "This proposed rule
4 should not be used as guidance in developing the
5 best professional judgment permits," because there
6 are so many options and issues on the table, and
7 that the BPJ permits that get developed could turn
8 out to have limits more stringent than or less
9 stringent than whatever the final rule might
10 provide.

11 So, you know, to sort of go to the Phase
12 II rule as it ultimately turned out, and then use
13 that to go back and revisit the permit somehow, we
14 would submit is inconsistent with what the Agency
15 was directing the Regions to do and would sort of
16 undermine the public's interest in seeing finality
17 at some point to NPDES permits. So we don't think
18 it's advisable.

19 And the Region did a sound best
20 professional judgment analysis in this case.
21 316(b) requires the best technology available for
22 minimizing adverse environmental impacts, and it

1 requires that you apply the--because we do a best
2 professional judgment analysis, it requires that we
3 apply these legal standards to the specific
4 facility at hand and the environmental conditions
5 at hand, and that's what we did here.

6 We reasonably assessed the adverse
7 environmental impacts, and I described them before,
8 the entrainment and impingement of billions of
9 organisms. And we found, again that, the fish
10 populations had collapsed coincident in time with
11 large-scale increases in cooling water withdrawals
12 by Brayton Point Station, suggesting a relationship
13 between the intake and the collapse.

14 And 316(b) requires adverse impacts to be
15 minimized, which the Agency has defined, as is
16 explained in our record, as "reduce as much as
17 possible." And then we looked at technology, and
18 we found that you could convert the open cycle
19 cooling system to closed cycle cooling at all four
20 units at Brayton Point Station, and that would get
21 the largest reductions in adverse environmental
22 impact, thus meeting the standard of minimizing

1 those adverse environmental impacts.

2 In fact, conversion of the whole facility
3 would get a 94 percent reduction, whereas the
4 company proposed to convert one generating unit to
5 closed cycle cooling, which only would achieve a 33
6 percent reduction in flow. We found that such a
7 conversion was technologically and economically
8 practicable, and the Petitioner didn't question
9 that. And we found that it had been accomplished
10 at other facilities, making it generally the best
11 technology within the industry.

12 Now, normally that would end the analysis,
13 except in the Seabrook Public Service Company of
14 New Hampshire permit appeal decision by the
15 Administrator in 1977, the Administrator said that
16 while there is no requirement to do a cost-benefit
17 analysis, it's appropriate to consider cost and to
18 consider the reasonableness of the costs, and to do
19 that by applying a wholly disproportionate cost
20 test. In fact, the Administrator noted that if it
21 was not for that test, perhaps all facilities would
22 be required to convert to cooling towers who could

1 afford to do so. The Administrator said that
2 specifically, because it's understood that that
3 would get the greatest reduction in adverse
4 environmental impact.

5 So the Region went ahead and we looked at
6 costs and we looked at benefits, and while we had
7 significant disagreements with the Petitioner on
8 costs, the issue really here, the material issue is
9 benefits, because we concluded that the costs were
10 not wholly disproportionate to the benefits even if
11 you consider the Petitioner's costs. And we would
12 submit that we did a reasonable assessment of
13 benefits, looking at them from a number of
14 different perspectives.

15 And I would like to quickly turn to water
16 quality standards, because I see I'm running short
17 on time. It is our conclusion that it's necessary
18 --we initially developed 316(b) limits based on the
19 technology standard, but we concluded that it was
20 also necessary to ensure that State water quality
21 standards be satisfied as well.

22 And we found that the standards for

1 Massachusetts and Rhode Island did apply to the
2 impacts of the intake of cooling water, and both
3 States agreed, and you see that in their letters in
4 the record. With respect to Massachusetts, we
5 concluded that we could not make the intake limits
6 significantly less stringent without violating
7 their standards, and that's based on the State
8 certification that said that it was necessary to
9 control entrainment and impingement, and the limits
10 that we imposed would allow the attainment of the
11 designated uses of the State standards.

12 JUDGE REICH: Is that truly what the
13 certification said, or did it say that it
14 adequately addresses entrainment and impingement
15 and would allow for attainment? I don't remember
16 the language of the certification itself using the
17 word "necessary."

18 MR. STEIN: No, it doesn't use the word
19 "necessary." In fact, if I said that, I misspoke.
20 It says exactly what you just said, Your Honor.
21 And so that's why we concluded that the limits
22 could not be made significantly less stringent, and

1 it's why you didn't see us arguing that the permit
2 appeal on 316(b) should be sent to the Commonwealth
3 of Massachusetts because the limits were
4 attributable to State certification. The State
5 certification did not go quite that far. But we
6 concluded, under 301(b)(1)(C), in our analysis of
7 their standards, that we could not make the limits
8 significantly less stringent and still meet the
9 designated uses that apply here.

10 JUDGE REICH: It was interesting to me
11 that in one of your briefs you basically said that
12 while you relied on 301(b)(1)(C), we didn't have to
13 reach that because there was ample authority under
14 316 and 401, but yet you then later seemed to bring
15 301(b)(1)(C) back into the mix. That puzzled me a
16 little bit.

17 Let me ask one question, just for my
18 understanding. The reason you said that we didn't
19 need to reach 301(b)(1)(C) was because there was
20 ample authority under 316 and 401. Does 316(b), in
21 your view, provide authority for regulation, or
22 does 316(b) just provide a gloss on regulations

1 developed under 301 and 306? Because it does talk
2 about any standard established pursuant to 301 and
3 306, which suggests to me that that's where the
4 underlying authority comes from, not 316(b) per se.

5 MR. STEIN: I guess I think that what the
6 Agency's position has been, and I hope I'm not
7 speaking beyond what the Agency has really decided,
8 is that these limits, intake limits, are based on
9 both 316(b) and 301 or 306, as the case may be, and
10 authority derives from both.

11 JUDGE REICH: Okay.

12 MR. STEIN: I guess my time is up.

13 JUDGE REICH: I think there may be some
14 other questions.

15 JUDGE STEIN: Yes. I have a question
16 related to a point you didn't get to, but could you
17 please explain the sort of statutory basis on which
18 you would take Rhode Island's water quality
19 standards into account, and how if at all that
20 differs from what you would do with Massachusetts?

21 MR. STEIN: Yes. Rhode Island's standards
22 come into play via 401(a)(2) as well as

1 301(b)(1)(C). Under 401(a)(2), that relates to--we
2 often refer to them as "downstream affected
3 States." We feel that there has to be a discharge
4 from a facility to trigger the application of
5 401(a)(2).

6 But when you look at the language of
7 401(a)(2), you know, if you're in that world, what
8 it says is that permit limits must reflect
9 requirements or have requirements that will assure
10 the satisfaction of the standards of all affected
11 States. And that's consistent with the language in
12 40 C.F.R. 122.4(d). 301(b)(1)(C) of course also
13 says that permit limits must satisfy applicable
14 State requirements.

15 So we look to Rhode Island's standards
16 because of 401(a)(2) and 301(b)(1)(C), as well as
17 the regulations. Now--

18 JUDGE REICH: Excuse me. Is there a
19 difference in the way discharge is referred to in
20 401(a)(1) and 401(a)(2), in that in 401(a)(1) it
21 talks about an activity which may result in a
22 discharge, whereas in 401(a)(2) it talks about

1 whenever a discharge may affect, which suggests
2 potentially that 401(a)(1) really relates to the
3 existence of a discharge, whereas 401(a)(2) really
4 focuses more specifically on the effect of the
5 discharge?

6 MR. STEIN: We don't think that there is
7 such a difference, and we don't think that it would
8 be--I mean, the way you're talking about the
9 language is correct, but we don't think it has a
10 substantive difference. And we don't think it
11 would make sense for the Act to provide that
12 activities related to a discharge have to satisfy
13 water quality standards in the State where the
14 discharger is located, but related activities could
15 cause standards to be violated in the downstream
16 affected State. We think the purpose of the Act is
17 to ensure that State water quality standards and
18 the standards of all affected States are met.

19 JUDGE FULTON: If we could go back to
20 316(a) for just a moment, as I understand it, USGen
21 seems to be arguing that this permit decision
22 should be seen as occurring somewhere between two

1 important bookends, one bookend being the Agency's
2 prior practice leading up to the issuance of this
3 permit, and the other being the latest thinking on
4 the Agency's part as reflected in the Phase II
5 rulemaking. And USGen's suggestion is that this
6 permit should be viewed as an anomaly or at least
7 as an exception to the general approach. Just tell
8 me once again why we should not see it in that
9 light.

10 MR. STEIN: It shouldn't be seen in that
11 light. Now, are you referring to 316(b) or 316(a)
12 or both?

13 JUDGE FULTON: (a), I believe.

14 MR. STEIN: Well, the Phase II regulations
15 are 316(b).

16 JUDGE FULTON: Okay.

17 MR. STEIN: But in either case, the
18 analysis under 316(a) and under the BPJ, 316(b)
19 permitting is for a case-by-case analysis. Permits
20 to different facilities can lead to different
21 limits, based on the different facts at hand. We
22 cited the case law that establishes and supports

1 that point.

2 At the same time, there is nothing in the
3 history of the Agency's practice in these areas
4 that says that you couldn't have limits that might
5 lead to the requirement for closed cycle cooling.
6 In fact, the record shows, and we described this in
7 our response to comments and in our draft permit
8 record, that there have been other permits issued
9 to facilities that have, at times draft permits
10 that have required closed cycle cooling, though in
11 the final permits different resolutions came about,
12 in some cases requiring the installation of fine
13 mesh screens, in other cases requiring outages at
14 the facilities, such as facilities on the Hudson
15 River and a facility in Florida called the Crystal
16 River plant.

17 So it has been clear that closed cycle
18 cooling under 316(b) is an option on the table.
19 There are many plants out there that have it. It's
20 just that in these other cases, you know, that may
21 not have been the final result of the permit, and
22 it is the final result of this permit. And we

1 don't think there's anything inconsistent about
2 that at all.

3 JUDGE FULTON: And you think what you have
4 just shared here is reflected pretty fully in the
5 response to comments document?

6 MR. STEIN: Absolutely. We went through a
7 discussion of the Brunswick plant in North
8 Carolina, the Crystal River plant in Florida. We
9 mentioned plants on the Hudson River.

10 And again, I guess one other thing I
11 should emphasize, that under 316(a) technology is
12 not--it's not a technological test, so you're not
13 looking to the technology in other facilities.
14 You're simply looking to what's necessary to
15 protect the balanced, indigenous population of that
16 receiving water. So that's 316(a).

17 On the (b) side where you are looking at
18 technology, you know, the issue of what may have
19 happened at other plants comes into play, but only
20 to a limited extent, and we don't think there is
21 anything inconsistent with respect to what we have
22 done in our BPJ permit.

1 JUDGE FULTON: Would you agree that under
2 316(a), in assessing the rationality of the
3 Agency's approach, that it is not inappropriate to
4 consider what the Agency has done in like
5 circumstances?

6 MR. STEIN: Yes, if you found a like
7 circumstance, perhaps it would be. You know, we
8 would submit that what we found here is a collapsed
9 fishery, very important resources at stake, and the
10 analysis that we did on what would protect these
11 specific fish, winter flounder, in this area, led
12 to the permit limits that we imposed. You know, if
13 you look at another facility that has the same
14 issues at hand, presumably the result should be
15 similar.

16 JUDGE FULTON: Thank you.

17 JUDGE STEIN: One final point that I want
18 to be clear on, and hopefully USGen can also
19 address this in their rebuttal. Did I understand
20 you to say that the difference between what the
21 Region imposed versus what USGen proposed was a
22 difference of closed cycle cooling for four towers

1 versus one tower? That USGen in fact imposed the
2 kind of technology you're talking about, but you're
3 just talking about the extent to which that was
4 imposed more broadly at the facility?

5 MR. STEIN: Yes, Your Honor. The proposal
6 that the company made was to reduce its intake flow
7 from approximately 1 billion gallons to
8 approximately 650 million gallons a day, based on
9 converting one of the four units at the facility to
10 closed cycle cooling.

11 JUDGE STEIN: So it's not an objection to
12 closed cycle per se; it's an objection to the
13 magnitude of what this would mean for the facility
14 in economic terms? And I'll give USGen an
15 opportunity to explain.

16 MR. STEIN: Yes. I mean, they'll speak
17 for themselves. My feeling is, what they have
18 argued is an economic argument, but only in the
19 terms of the wholly disproportionate cost test.
20 They have conceded that they can afford to install
21 cooling towers for the entire facility, that it's
22 economically practicable and that it's

1 technologically practicable. But what they have
2 argued is that the benefits don't warrant--or
3 actually the reverse--the costs are wholly
4 disproportionate to the benefits, and we disagree.

5 JUDGE REICH: Okay. Thank you.

6 We are going to take a 10-minute recess.

7 We will reconvene promptly at after the recess.

8 [Recess.]

9 THE CLERK: This session of the oral
10 argument is now in session, the Honorable Judges
11 Scott Fulton, Ed Reich, Kathie Stein, presiding.
12 Please be seated.

13 JUDGE REICH: Okay, thank you. We will
14 now proceed. First argument after this break is
15 the State of Massachusetts.

16 MR. LEHAN: My name is Richard Lehan. I
17 am a Deputy General Counsel with the Massachusetts
18 Department of Environmental Protection. Given my
19 time limit, and in response to your request, I will
20 try to distill the interrelationship between
21 Massachusetts water quality standards and Section
22 316 as applied to the Brayton Point permit.

1 First as to the Section 316(a) variance
2 limits, DEP's water quality certification of the
3 Brayton Point permit documents our concurrence with
4 Region I's establishment of the Section 316(a)
5 variance limits. DEP's certification cites the
6 relevant provisions in the Mass. water quality
7 standards which provide that any determinations
8 concerning the thermal discharge limitations in
9 accordance with Section 316(a) will be considered
10 site-specific limitations in compliance with our
11 water quality standards at 314 C.M.R. 4.
12 Accordingly, because DEP's water quality
13 certification concurred with Region I's
14 determination of the Section 316(a) variance
15 limits, those site-specific limits are, by
16 regulation, deemed to be in compliance with our
17 water quality standards.

18 As to the Section 316(b) cooling water
19 intake limit, the Massachusetts portions of Mount
20 Hope Bay that are severely impacted by Brayton
21 Point's cooling water withdrawals are classified as
22 Class SA or Class SB waters. SA waters, the most

1 protective classification, are designated for use
2 as an excellent habitat for fish, other aquatic
3 life, and wildlife, and for primary and secondary
4 contact recreation.

5 Brayton Point's existing 1 billion gallon
6 per day withdrawals destroy trillions of marine
7 organisms, including billions of fish eggs and
8 larvae. This has resulted in the massive annual
9 loss of a range of important fish species in Mount
10 Hope Bay. DEP concurred with Region I that Brayton
11 Point's activity clearly interferes with the
12 attainment of an excellent or even healthy fish
13 habitat, and with recreational uses such as fishing
14 in Mount Hope Bay.

15 JUDGE REICH: In looking at the 316(b)
16 limits relative the water quality standards, did
17 you look at it from the perspective of whether the
18 limits were adequate, or did you also look at it
19 from the standpoint of whether the limits were
20 potentially overly restrictive? I mean, was there
21 any analysis that showed one way or another, that
22 is part of the record, whether the limits could

1 have been less restrictive and still adequately
2 addressed State water quality standards?

3 MR. LEHAN: I think our focus was, this
4 was a limit that was established by Region I
5 pursuant to the technology standard in Section
6 316(b), and our determination was whether that
7 limit would comply with our water quality
8 standards. And it was predicated on our
9 independent State law authority to apply the
10 designated use components of our water quality
11 standards to an activity like a cooling water
12 withdrawal. That was kind of the underlying
13 foundation for us addressing that in our water
14 quality cert.

15 JUDGE REICH: Can I ask for clarification
16 on what that means? You do cite in your brief
17 various authorities that Massachusetts has, that in
18 your view allow you to address intake. In issuing
19 the joint permit, did you actually rely on and
20 exercise those authorities?

21 MR. LEHAN: Yes. Yes, we did. It's
22 predicated on our interpretation and application of

1 our broad regulatory authority under the
2 Massachusetts Clean Waters Act. Under the
3 Massachusetts Clean Waters Act, in addition to
4 discharges, DEP has authority to regulate other
5 activities that may reasonably result, directly or
6 indirectly, in a discharge of pollutants. Brayton
7 Point's withdrawals are an activity that directly
8 results in a thermal discharge.

9 JUDGE REICH: So you invoked those
10 authorities in the joint--

11 MR. LEHAN: Yes.

12 JUDGE REICH: When you issue a permit, is
13 there any limitation that requires you to establish
14 limits no more restrictive than necessary? Do you
15 do that judgment in the course of issuing a permit?
16 Is there anything that the fact that those are the
17 limits in your permit suggests about whether they
18 could have in fact been made less stringent?

19 MR. LEHAN: I first addressed that in the
20 context of a Section 316 limit that was established
21 in the first instance by EPA, a technology
22 standard. No, in that context we would not try to

1 identify whether there is a less stringent limit.

2 More generally, our water quality
3 standards, in talking about the more traditional
4 effluent discharges, do talk about ensuring a
5 reasonable margin of safety, so it's more framed
6 from that perspective.

7 But again, under the Mass. Clean Waters
8 Act we have authority to regulate other activities
9 that may reasonably result in a discharge. We also
10 have the authority to specify technical controls on
11 treatment works in a manner which DEP deems
12 necessary to safeguard water quality.

13 "Treatment works" is defined very broadly
14 under the Mass. Clean Waters Act to include
15 processes used in the pumping, transmission,
16 recycling and reuse of pollutants such as thermal
17 discharges. From our perspective, we think the
18 Mass. Clean Waters Act provides ample authority for
19 us to regulate an activity like a cooling water
20 discharge.

21 Similarly, under Section 401, the statute
22 and the PUD No. 1 decision, the Riverkeeper

1 decision, make clear that Brayton Point's thermal
2 discharge triggers the application of the State's
3 water quality certification provisions, thereby
4 authorizing DEP to issue a water quality
5 certification that addresses and conditions Brayton
6 Point's activity to ensure compliance with the
7 designated uses in our water quality standards.

8 JUDGE REICH: But do I understand you to
9 say that this certification that you issued was
10 basically a certification that took the limit as it
11 was proposed and said "This will be adequate," and
12 was not intended to suggest one way or another
13 whether a less restrictive limit could be adequate?

14 MR. LEHAN: The certification did not
15 provide that the limit could not be made any less
16 stringent.

17 JUDGE REICH: Right.

18 MR. LEHAN: But the certification was
19 predicated on Region I showing that the limit will
20 ensure compliance with our water quality standards.
21 The cert affirms that Region I provided reasonable
22 assurance to the Department that the 316(b) permit

1 intake limit will not violate our water quality
2 standards.

3 In addition, our action of incorporating
4 the limit in our State permit also evidences our
5 further satisfaction that the intake limit is also
6 appropriate for our permit, because again, first
7 and foremost, it will ensure compliance with our
8 designated uses.

9 JUDGE STEIN: Could you respond to the
10 argument that USGen made about various positions
11 taken by the State of Massachusetts in the State
12 permit appeal, both substantively as well as the
13 extent to which we ought to consider, the Board
14 ought to consider events taking place in that
15 appeal, if you can?

16 MR. LEHAN: Yes. USGen included a motion
17 that the Department filed to stay the appeal of the
18 State permit. We were saying, and I think we have
19 been consistent on this, that the permit is based
20 in the first instance on a determination by
21 Region I pursuant to the technology standard under
22 Section 316(b). But we also made clear in that

1 filing that any lessening of the stringency of that
2 intake limit would require us to determine whether
3 the revised limit would still allow for the
4 attainment of the designated uses.

5 So we, from our perspective, and as Region
6 I had said earlier, we do not regard our
7 certification as saying that the limit cannot be
8 made any less stringent in the sense of being a
9 State-only enforceable condition. We were
10 satisfied that the limit will ensure compliance
11 with our water quality standards, and the limit
12 again was predicated on the application of a BTA
13 technology standard.

14 JUDGE STEIN: Thank you.

15 JUDGE REICH: Thank you very much.

16 Counsel for Rhode Island?

17 MR. WAGNER: Good morning, Your Honors.

18 Brian Wagner, Deputy Chief Legal Counsel for the
19 Rhode Island Department of Environmental Management
20 for the State of Rhode Island.

21 Before I get to the issue of Rhode
22 Island's water quality standards which the EAB did

1 ask us to address, I wanted to very briefly touch
2 on two issues that were raised in previous
3 arguments: first, the Phase II rule as raised by
4 Region I. I wanted to point out that Region I did
5 not mention that the Phase II rule at this point
6 has been challenged by 13 separate entities in I
7 believe seven circuits, including three of the
8 amici here today: Rhode Island, Massachusetts, and
9 the Utility Waters Action Group.

10 There really does not appear to be any
11 likelihood that this Phase II rule is going to be
12 implemented soon, possibly not even in its current
13 condition. So the game of speculating as to
14 whether or not the Phase II rule should apply or
15 should not apply really should be off the table,
16 because it is so overtly speculative that it
17 shouldn't have any application here in this case.

18 The second issue that I wanted to touch on
19 tangentially was USGen's reference to a December
20 2001 report by a DEM employee, Mark Gibson, and how
21 that report was not included in the record. The
22 State of Rhode Island did address this issue

1 thoroughly in its December 22, 2003 brief at pages
2 18 through 23 and Exhibit A.

3 I don't feel the need to repeat what we
4 said in that brief, except to point out that the
5 December 2001 report was put together by a member
6 of the Department's Division of Marine Fisheries.
7 It later received comments from the Department's
8 Division of Water Resources, and was subsequently
9 amended or revised in 2002. That revised report is
10 part of Region I's record and has appropriately
11 been considered. The remainder of that controversy
12 is addressed in our brief.

13 With respect to the State's water quality
14 standards, the State of Rhode Island has argued and
15 stands by its position that Region I did have a
16 mandate or an obligation to consider the State of
17 Rhode Island's narrative water quality standards as
18 a downstream affected State. That obligation can
19 be found in Section 401 of the Clean Water Act. It
20 can be found in Section 301(b)(1)(C) of the Clean
21 Water Act.

22 JUDGE REICH: Mr. Wagner, relative to

1 that, I was not clear what Rhode Island was saying
2 relative to 316(a). Language in your brief, I'll
3 quote it, says "Consideration of a State's numeric
4 water quality standards is not the end of the
5 consideration process for the reviewing agency, in
6 that a State's narrative requirements must also be
7 weighed against the selected technology and any
8 ultimate determination as to whether a variance was
9 available."

10 I wasn't sure whether I should be reading
11 that as suggesting that State water quality
12 standards were part of what we had or what the
13 Agency had to consider in determining BID, or
14 whether they overrode potentially BID, or exactly
15 what the relationship was between water quality
16 standards and BID determination in 316(a).

17 MR. WAGNER: I think that there has always
18 been some discussion as to the role that narrative
19 standards play as opposed to, you know, specific
20 numeric criteria, and I think what we were getting
21 at in that section of our brief, you can't just
22 look at the numeric criteria and do some math and

1 determine whether or not there is compliance with
2 the water quality standards as a whole. The
3 narrative portion of the State's water quality
4 standards do have a very important function in
5 trying to describe the kind of conditions that the
6 State is trying to maintain in a given water body.

7 JUDGE REICH: And does that become an
8 element of what BID is?

9 MR. WAGNER: BID? BIP?

10 JUDGE REICH: BIP.

11 MR. WAGNER: Of course it does. The
12 narrative criteria are intended to describe the
13 balance, the biological balance that should be
14 maintained in water bodies of that particular
15 classification.

16 In this case Mount Hope Bay, the two-
17 thirds of Mount Hope Bay that falls within the
18 State of Rhode Island are designated as SA and SB
19 and are, much like Massachusetts, are required to
20 maintain the highest level of water quality for
21 fisheries habitat. This is what we're trying to
22 protect, and this is what those narrative standards

1 are trying to get at.

2 We believe that EPA had an obligation to
3 consider these standards, and that obligation I
4 think is best exemplified in 410(a)(2). The U.S.
5 Supreme Court's decision in PUD No. 1, although it
6 relates to 401(a)(1), where you actually have a
7 discharge State and not a downstream State, is a
8 good model for how things should happen in the
9 downstream State.

10 As in the upstream State under 401(a)(1),
11 the discharge is a trigger for consideration of the
12 downstream State's water quality standards. Once
13 there is a discharge, there is an obligation to
14 notify us, as a downstream State, that our water
15 quality may be affected. We then look at that to
16 determine if there is an actual effect. If we make
17 that determination, then we have the right to
18 comment on the permit as a whole.

19 JUDGE REICH: But didn't the Court in PUD
20 No. 1 say that if Section 401 consisted solely of
21 subsection (a), which relates to a State's
22 certification that a discharge will comply with

1 certain provisions of the Act, petitioner's
2 assessment of the scope of State certification
3 would have had considerable force, and only then
4 look to 401(b) to determine that the scope is
5 broader than just looking at the effect of the
6 discharge?

7 MR. WAGNER: I agree, but 401(a)(1) and
8 401(a)(2) are not identical. They are not mirror
9 images of each other, intended to apply to the
10 discharge State and the downstream State. There
11 are many elements of 401(b) that are found in
12 401(a)(2), including requirements that or a mandate
13 that those water quality standards be protected for
14 the downstream State.

15 More pragmatically, I think that we also
16 need to look at the fact that even if there is not
17 a formal, affirmative obligation on Region I to
18 make sure that Rhode Island's water quality
19 standards are met, Region I certainly had the
20 discretion to look to Rhode Island's water quality
21 standards and use them as a guidepost.

22 JUDGE REICH: In looking at your brief, if

1 I understood it, I was reading you as saying that
2 the permit would not in fact protect water quality
3 standards, and I think you made reference to Rule
4 8(d)(1). Is that correct? And if that is correct,
5 does that relate to the 316(b) intake limits or the
6 316(a) variance or both?

7 MR. WAGNER: Rhode Island determined that
8 there are elements of the permit as issued that
9 will not comply or are likely not to comply with
10 Rhode Island's water quality standards,
11 specifically the 122 hours of once-through cooling
12 that are allowed under the permit. We believe that
13 in that mode, that the thermal discharge will
14 violate Rhode Island's water quality standards.

15 However, looking at the permit as a whole,
16 the protections to be afforded over the course of
17 the year, we made a decision not to object to the
18 permit because we felt that as a package, overall,
19 that the permit would be protective of Rhode
20 Island's water quality standards.

21 JUDGE REICH: Do you think that the
22 Agency, under 301(b)(1)(C) or under 401, has the

1 same discretion to overlook the alleged violation
2 of Rhode Island's water quality standards?

3 MR. WAGNER: I think based on the fact
4 that Rhode Island has chosen not to raise a formal
5 objection, that yes, that discretion with respect
6 to the State's water quality standards would be
7 passed on the permit writer, in this case Region I.

8 JUDGE REICH: Thank you very much, Mr.
9 Wagner.

10 The Utility Water Act Group.

11 MR. CHRISTMAN: Thank you. May it please
12 the Board, my name is Jim Christman and I am
13 representing the Utility Water Act Group, usually
14 known as UWAG.

15 UWAG doesn't ordinarily involve itself in
16 individual permit proceedings, but this one was
17 important, important because it was so anomalous.
18 As was already said, you have over 25 years of
19 case-by-case interpretation of 316(b), which is our
20 prime concern right now. You also have a proposed
21 rule, before the permit came out, saying that
22 closed cycle cooling is not BTA for 316(b). Now

1 you have a final rule in which EPA says, "We've
2 concluded that closed cycle cooling is not BTA for
3 this category."

4 So whether or not this applies, or whether
5 it could have been used, should have been used, you
6 know what the law is now. You know what BTA is
7 under 316(b). You have to, the courts have to
8 apply the law at the time of decision, absent
9 manifest injustice, and we know what that is.

10 And, moreover, the final rule which says
11 cooling towers are not BTA is simply consistent
12 with more than 25 years of precedent. So you've
13 got one case here. The rule goes into effect two
14 days ago, the new rule. We've got 25 years of
15 precedent plus a final rule saying cooling towers
16 are not BTA, and then we have one case, one case
17 which says cooling towers are BTA under 316(b).
18 What are we to make of it? How are we to interpret
19 the law with that one anomaly out there?

20 Now, you may say even if we applied the
21 Phase II rule to this plant, and it depends under
22 guidance on whether the permit issued before or

1 after this past Monday, and I suppose that the
2 final Agency action will be after this past Monday
3 but you will say that the permit issued before last
4 Monday. In any event in the short term this Phase
5 II rule and the guidance under it calls for BPJ.

6 But BPJ, and this is very important, BPJ
7 doesn't mean all bets are off, there are no rules,
8 we can make our decision based on raw, subjective
9 judgment. The law is pretty clear on this. What
10 BPJ means, if I can use my own words, is you're
11 trying to make your best estimate of what the
12 categorical standards would be if EPA had made
13 them. The law technically says that BPJ doesn't
14 give the decision-maker unlimited discretion; that
15 you have to apply the same statutory standards; and
16 that you have to be as uniform as you can be.

17 Well, in this unusual situation we know
18 what uniform means and we know what the law is
19 today, and this case is inconsistent with it. And
20 that is very important, and it is important to a
21 lot of power plants who will have to be applying
22 this new rule in the short term and using BPJ

1 limits.

2 The other thing is, if you let BPJ impose
3 massive construction requirements in the interim,
4 this rule will apply to all these existing
5 facilities in future permit renewals. If you make
6 them build a cooling tower now, they can't really
7 use the new rule in the future. In this brief
8 window of time, you have prevented the application
9 of this brand-new rule which is EPA's well-
10 considered and best judgment about what BTA is.

11 Now, there is another thing that causes us
12 to want to get involved in this case to the limited
13 extent of being an amicus, and that is this
14 business about State water quality standards. In
15 the case of Rhode Island, you stole my thunder,
16 Judge Reich, a little bit. I was going to cite the
17 business about how, if it weren't for 401(d), the
18 argument that there has to be a discharge would
19 have considerable force.

20 And I've heard, well, let's use 401(d) as
21 a model, let's use it as an analogy for 401(a)(2),
22 but that's not right. It's a different statute and

1 it's different words. And it says the State
2 determines that such discharge in the upstream
3 State will affect the quality of its waters so as
4 to violate a water quality requirement.

5 Now, if you look, you can't see it but I
6 can see the Ohio River up there. The Ohio River
7 runs right south of Illinois, Indiana, Ohio, over
8 into Pennsylvania. There are six States involved,
9 and on the Ohio River there are 47 power
10 facilities. Five of them are hydro facilities; the
11 rest are steam electric plants.

12 The idea that Rhode Island can impose its
13 own water quality standards on an upstream State
14 would mean that all of those five States downstream
15 from Pennsylvania could impose requirements, if
16 only they share some fish, and that just isn't what
17 this Congress intended and it isn't what this
18 statute seems to say to me.

19 JUDGE STEIN: Can I ask a question at this
20 point? Leaving aside what Rhode Island might be
21 able to do, what is your view of the Agency's both
22 obligation and discretion to take Rhode Island's

1 water quality standards into account?

2 MR. CHRISTMAN: Well, if there is a State
3 requirement here, they may have to impose it, but
4 the State tells them that by interpreting State
5 law, and it's not EPA's job to take a narrative
6 standard or a use--and they are about the same
7 thing in many of these cases, the fish--they are
8 not to take a State law, use, or narrative standard
9 and create a Federal requirement out of it. That's
10 not allowed by the statute.

11 Now, you know, the only case I can think
12 of--there aren't very many cases about EPA's
13 interpreting narrative standards--there is a 1980
14 case called, it's a Webco case, not the famous
15 Webco case on the air side that you know about, but
16 it's about water quality standards.

17 There were five or six plants that the
18 power company was applying for permits on, and the
19 State put some chlorine limits in those permits.
20 And the EPA said, "Well, no, we're not going to
21 approve those because you need a harsher limit to
22 meet State water quality standards."

1 So the State dutifully put that into the
2 permits, and that went up on appeal--and this is a
3 State court case, not a Federal court case--and
4 they said you can't do that. You can't just--they
5 didn't do any State process. They didn't make a
6 decision under State law. They just took EPA's
7 word for it, and that wasn't appropriate.

8 Now, that case gets all muddled up in the
9 question of improper rulemaking without rulemaking
10 procedures. Most of the cases about narrative
11 standards end up talking about improper rulemaking,
12 absence of rulemaking procedures, but the idea, the
13 analogy is somewhat close to this situation.

14 I also should point out that
15 122.44(b)(1)(6)--122.44 is one of those that goes
16 on forever like your grandfather's war stories, but
17 if you dig way down into it, it tells you how you
18 can translate a narrative standard, let alone a
19 use, into at least a chemical-specific permit
20 limit. And it says you translate it using one or
21 more of the following means, and one of those means
22 is an explicit State policy or State regulation.

1 But you can't just take a narrative standard or a
2 use and say, "We'll use raw judgment and make up a
3 new Federal requirement."

4 JUDGE REICH: Let me ask, because you
5 indicate in your brief when you're talking about
6 Massachusetts, what you say is, "If the Region
7 disagrees with Massachusetts' interpretation of its
8 own standard, the proper form to address such a
9 disagreement is a rulemaking process with notice
10 and comment. It is entirely inappropriate for the
11 Region to offer its contrary interpretation in an
12 NPDES permit proceeding."

13 If the Region understood Massachusetts'
14 interpretation of its own standard as requiring
15 these limits based on Rhode Island's interpretation
16 of its narrative water quality standards, why would
17 it be equally inappropriate for the Agency to
18 second-guess it in the course of this proceeding?

19 MR. CHRISTMAN: Well, if I understand the
20 question, it's not EPA's job to be making
21 interpretations of State law. Now, if EPA
22 understands that the State wants to interpret its

1 law a certain way, you've got a process problem,
2 because if this is some sort of understanding about
3 what the State really wants, that is not a fair
4 process.

5 If the State has--remember, in the Public
6 Utility Districts case, what happened was, the
7 State had done a study and they said, "We need this
8 minimum flow to meet our water quality standards."
9 There was process and there was a record. And then
10 it went to the Washington Supreme Court, and the
11 Supreme Court said, "Yes, as a matter of State law,
12 we conclude that this is necessary to meet water
13 quality standards."

14 There was no question there was a State
15 law requirement. The statute speaks in terms of a
16 permit having limits as necessary to ensure the
17 compliance with State law requirements. The State
18 has to say what the State law is, and EPA shouldn't
19 be making guesses about what they think the State
20 law is.

21 JUDGE REICH: But if EPA has a proposed
22 limit and goes to the State, and the State comes

1 back and says, "Yes, this is necessary, and in fact
2 you need these few other things if you really want
3 to meet State water quality standards," then really
4 isn't the determination that's going in the final
5 permit reflective of the State's interpretation,
6 not just EPA's interpretation?

7 MR. CHRISTMAN: If the State makes a
8 proper certification and says, "These are the
9 requirements of State law," and bear in mind Public
10 Utility Districts also says that the ability of a
11 State, even for the in-State law, not the
12 downstream State, the ability to impose its
13 requirements is not unlimited. They said, "We're
14 not going to say what kind of limits there are, but
15 limits that are necessary to ensure compliance with
16 water quality standards can be imposed in a proper
17 401 certification."

18 If the State made that judgment as a
19 matter of State law and its proper procedure under
20 State law, then EPA should, would have to put that
21 in the permit, but that isn't what happened here.
22 What the State said was, "Yeah, we go along with

1 the Federal requirements." That's kind of like the
2 Wisconsin case, what the State did there, and they
3 got reversed by their State Supreme Court.

4 Let's see. I believe I want to say one
5 more thing. Oh, I'm out. I'm sorry. I wanted to
6 talk about economic issues and the shabby and
7 unclear use of economic methods in this case, but
8 I'm afraid I'm out of time so I can't talk about
9 it.

10 JUDGE REICH: I think we are. Thank you.

11 MR. CHRISTMAN: Thank you.

12 JUDGE REICH: Conservation Law Foundation?

13 MS. RAWN: Good morning. I'm Carol Lee
14 Rawn with the Conservation Law Foundation.

15 Just before I begin my prepared remarks, I
16 just want to quickly address the issue of the
17 applicability of Phase II. As both EPA and Rhode
18 Island said, there are many reasons that it's not
19 applicable here. Obviously the EPA was expressly
20 directed to apply best professional judgment. It's
21 under legal challenge as we speak. There's no way
22 of knowing what it's going to look like in two

1 years.

2 But the assertion that closed cycle
3 cooling would not be required under Phase II
4 regulations is not correct. In fact, the Phase II
5 regulations expressly say that closed cycle cooling
6 would be deemed to meet performance standards, and
7 expressly talk about utilization of closed cycle
8 cooling in situations like Brayton Point, where it
9 says that closed cycle cooling may be suitable
10 where adverse effects of intake are severe and
11 where screening systems aren't practicable, or
12 where thermal discharge impacts pose serious
13 environmental problems, as in Brayton Point.

14 Mount Hope Bay has historically been an
15 important recreational and commercial fishery, as
16 well as a critical spawning--and it serves today as
17 a critical spawning and nursery area.
18 Unfortunately, due in large part to Brayton Point
19 Station, this important resource has suffered
20 severe environmental degradation and is in crisis
21 today. As documented in the record, as you have
22 heard today, the impacts of Brayton Point have been

1 and continue to be significant and harmful.

2 As we stated in our initial comments, as
3 well as the briefs submitted in this proceeding,
4 CLS has long had concerns that the permit
5 conditions may not be sufficiently stringent to
6 meet the requirements of the Act in this severely
7 stressed estuary. In any event, any relaxation of
8 the limits would clearly be in violation of the
9 Act. In light of the continuing harm caused by the
10 plant with every additional day of delay, we
11 support the permit as issued.

12 I would like to highlight certain facts
13 and legal requirements that support our premise
14 that closed cycle cooling is not only required
15 under the Act in this case, but that it would have
16 been reasonable for EPA to require a more stringent
17 permit.

18 Examination of 316(a) requirements reveals
19 that the permit represents the bare minimum
20 necessary to achieve compliance with the Act.
21 First of all, it's an extremely stringent standard.
22 The legislative history has established that there

1 is a presumption against granting variances, and
2 that this provision should be considered a very
3 limited waiver. EPA has had a longstanding
4 presumption against granting variances in estuaries
5 such as Mount Hope Bay.

6 Second, cumulative impacts must be taken
7 into account. Under Seabrook, the permit must
8 ensure the protection and propagation of the BIP,
9 taking all other considerations into account,
10 including zone intake.

11 And, finally, the permit must ensure the
12 protection of the BIP at a level that would
13 otherwise be present but for past pollution. Mount
14 Hope Bay has experienced severe environmental
15 degradation, including the collapse of 16 species
16 of finfish populations, mass mortalities of blue
17 mussels, disrupted migratory patterns, and blooms
18 of blue-green algae. Given the degradation of
19 Mount Hope Bay, this permit must be more stringent
20 than might be otherwise required in a healthier
21 habitat.

22 Given these three considerations, it's

1 questionable whether the permit goes far enough to
2 comply with the Act. Under the permit,
3 approximately 10 percent of Mount Hope Bay,
4 including preferred juvenile flounder habitat, will
5 experience adverse temperature effects. It's clear
6 that the EPA could have reasonably made the permit
7 more stringent, but certainly not less stringent,
8 in order to comply with Section 316(a).

9 The second independent requirement that
10 EPA had to meet was compliance with Section 316(b),
11 and again, examination of 316(b) and its attendant
12 requirements shows the EPA could have certainly
13 required a more stringent permit, and that a less
14 stringent permit would violate the Act.

15 Rhode Island, as has been stated by EPA
16 and the States, Massachusetts and Rhode Island
17 State water quality standards do apply here. Rhode
18 Island's response is significant, in that it
19 demonstrates how EPA could have reasonably imposed
20 a more stringent permit, but that certainly nothing
21 less would have been in compliance.

22 In a September 18, 2002 letter, Rhode

1 Island suggested several changes to mitigate the
2 impact of the 122-hour exemption, and as you noted,
3 stated that the 122-hour allowance was inconsistent
4 with narrative standards. EPA only adopted one of
5 those, and continued to allow the 122 hours of
6 once-through cooling during summer months, which is
7 problematic for juvenile winter flounder.

8 JUDGE REICH: Can I ask you the same
9 question that I asked Mr. Wagner? Given the
10 posture of this appeal, where Rhode Island chose
11 not to challenge the permit, do you think the
12 Agency has the discretion under 301 and under 401
13 to kind of overlook the concerns that Rhode Island
14 raised about whether these limits do in fact
15 protect Rhode Island's water quality standards?

16 MS. RAWN: Well, as I understand Rhode
17 Island's position, they have concluded that, in
18 all, that it is in compliance with State water
19 quality standards. I think that this is
20 significant because it shows how much more
21 stringent EPA could have made the permit.

22 JUDGE REICH: So your interpretation of

1 what Rhode Island has said is that the permit does
2 protect water quality standards?

3 MS. RAWN: Excuse me?

4 JUDGE REICH: Your interpretation of what
5 Rhode Island says is that the permit does protect
6 water quality standards in Rhode Island?

7 MS. RAWN: Well, I could say Rhode Island
8 is somewhat ambiguous, but--

9 JUDGE REICH: I mean, I only ask that
10 because your brief doesn't seem to be premised on
11 that assumption.

12 MS. RAWN: Right. I mean, they conclude
13 in the--I mean, they do note that there is
14 violation of water quality standards, which we
15 think is significant because it shows they could
16 have been more stringent, but they conclude that in
17 general they comply.

18 JUDGE REICH: Okay.

19 MS. RAWN: I would also like to briefly
20 touch on costs, to put that in context. AP
21 Consultants looked at the production cost at
22 Brayton Point and concluded that even with air

1 control and closed cycle cooling, costs would be
2 \$18 a megawatt hour. The real time market price
3 over the last 12 months has been \$49 a megawatt
4 hour, so clearly Brayton Point could continue to
5 enjoy a considerable profit margin if it went
6 forward and imposed closed cycle cooling.

7 In conclusion, in light of the stringency
8 of the 316(a) standard and the degraded status of
9 Mount Hope Bay and the requirement that the permit
10 comply with State water quality standards, it's
11 clear that it would have been reasonable for EPA to
12 issue a much more stringent permit. In light of
13 the long-term impacts of continued operation of the
14 plant at current levels, we urge that the permit be
15 upheld.

16 JUDGE REICH: Thank you.

17 Kickamuit River Council. I hope I didn't
18 mangle the name too badly. You have only 5
19 minutes.

20 MS. McCABE: Good morning. My name is
21 Jean McCabe. I'm here today to represent the
22 Kickamuit River Council. I'm going to speak for a

1 portion of that 5 minutes, and then allow Daniel
2 Morrill, who also represents Kickamuit River
3 Council, to speak for the remaining time.

4 Kickamuit River Council was formed in
5 1973. It wasn't the first council or the first
6 group of people who formed to protect the Kickamuit
7 River, a Class SA river which leads into and is
8 salt water fed from the Mount Hope Bay, and is in
9 the area that is affected by the Brayton Point
10 power plant.

11 What I would like to bring here today is
12 testimony about the real lives that this has
13 affected, the lives of not only the generations
14 before me but the generations to come. My
15 grandfather raised my father on the Kickamuit
16 River. My parents raised myself. I have raised my
17 children, and now my grandchildren are enjoying the
18 Kickamuit River.

19 And I should say that we're not talking
20 here about a nuisance. We're talking here about a
21 devastation. When I was growing up in the 1960's
22 and the 1970's, we lived on the river, we fed off

1 the river. When I was an early young mom, I went
2 to the river to fish and to blue crab and to
3 quahog, and fed my family from this river.

4 We also went right out into the Mount Hope
5 Bay, because the Kickamuit River leads right out
6 into the Mount Hope Bay. There are real people
7 here. There's 350 families represented with the
8 Kickamuit River Council. We have obtained over 600
9 signatures from the citizens of our area. We have
10 got over 79 letters from the schoolchildren
11 directly abutting, living on the Kickamuit River.

12 It has been a devastating effect. We have
13 watched it to the point where we now go hours, an
14 extreme time. We need you to hear from the people
15 who live there, whose lives this has affected, how
16 we have waited decades.

17 In 1991 we lost our SA Class status. We
18 had had sewerage that caused the closing of our
19 estuary to shellfishing. We took steps and we have
20 taken steps since then, decades worth of steps, to
21 get that river reopened to shellfishing, because we
22 felt it was not only our right, we not only

1 inherited this from our ancestors, we have actually
2 borrowed it from our children.

3 And we have gotten that river reopened.
4 We have fixed storm drain problems. We have put in
5 septic systems. We have tied people to the
6 sewerage. We have prevented overflow. We have
7 prevented the dumping of silt. We have worked
8 decades. And we want you to understand how vitally
9 important upholding this permit is to us, and that
10 the delay in it and the potential delay to go into
11 appeals, to question other things, to rewrite it,
12 is affecting us and it's affecting our children.

13 And I would like to turn this time over to
14 Daniel Morrill so that he can say his statement.

15 MR. MORRILL: Thank you, Your Honor.

16 When I was 13, I found out that day that
17 there was going to be a bus trip to see the Boston
18 Red Socks. I had no money. I got my blue crab
19 net, I went down to the river, I caught 44 blue
20 crabs, went to bar on Charles Street, sold them for
21 \$10 and went to the game.

22 When I was 11 years old, my father took me

1 out to the mouth of the Kickamuit River. It was
2 the best fishing I ever had, because every time we
3 dropped a line in, it was a hand-held line, we
4 caught a fish, winter flounder. I took my nephew
5 last year, two hours, same location, same type of
6 line, same bait, didn't have a bite in two hours.

7 When I was a teenager, we would row out to
8 the mouth of the Kickamuit, to Spar Island which is
9 offshore of the power plant, and by the time we got
10 back to the mouth of the Kickamuit River, having
11 trolled one line, we would have used up all our
12 bait and caught several fish.

13 I took, this year, two nephews and a niece
14 and myself, four lines, from the middle of the
15 Kickamuit River, and we trolled all the way to Spar
16 Island. Then we did a quarter mile loop in the
17 Bay. By the time we got back to the Kickamuit
18 River, we hadn't had one bite, not any fish at all.

19 When I was growing up, if you took a
20 minnow trap, put some mussels in there and threw it
21 offside to the beach in the Kickamuit River, within
22 10 minutes you would have 50 to 100 minnows in

1 there. Now, this summer, if you were to do that,
2 which we did, you would be lucky in three hours to
3 get 25 minnows.

4 And that's all I have to say. Thank you
5 very much.

6 JUDGE REICH: Thank you. Mr. Morrill, I
7 will not hold it against you, but making a Boston
8 Red Sox argument to a New York Yankee fan is not
9 always the best thing to do.

10 [Laughter.]

11 JUDGE REICH: All right. USGen.

12 MR. STEVENS: It is a sad fact that up and
13 down the Atlantic Coast, commercial fishermen have
14 devastated fishing stocks.

15 I would like to address four issues very
16 quickly. As to the new rule, it establishes closed
17 cycle cooling as a safe harbor. Because of the
18 financial limitations on what any one power station
19 can be required to spend, no one can be required to
20 install closed cycle cooling.

21 USGen is not asking to have the
22 substantive, detailed provisions of the new rules

1 applied to its permit, but that does not mean that
2 the new rule has no effect whatsoever on the permit
3 because, based upon considerations virtually
4 identical to those urged and placed in the record
5 in this proceeding by USGen in connection with
6 issuing the permit, the Agency set forth
7 conclusions that the benefits analysis on which
8 this permit was based was invalid, and that in
9 general best technology available for controlling
10 cooling water intake is not closed cycle cooling.

11 That statement in the preamble is the law.
12 It's the responsibility of this Board to ensure
13 that the final Agency action in this proceeding is
14 consistent with the law.

15 And therefore we ask the Board to do what
16 you have done in a variety of cases where a new
17 statement or rule of the law informs the matters at
18 issue, which is either to apply that law yourself
19 or to remand to the Region with a direction to
20 reach a result consistent with the law. We
21 therefore ask you to require that new conditions be
22 issued that do not establish closed cycle cooling

1 as best technology available for controlling
2 cooling water intakes.

3 Second, as to the relationship between the
4 variance limits and the mixing zone, 24, 10, 5,
5 they are identical. Massachusetts so concedes in
6 its submissions. It is utterly implausible that
7 those arbitrary, bright line conditions could have
8 been derived independently, and we can't understand
9 why the Region persists in its denials.

10 As to the burden of proof, USGen had the
11 burden of establishing that the technology and
12 water quality standards were more stringent than
13 necessary. If it wanted the particular permit
14 limit, as we did, it had the burden of establishing
15 that those particular permit limits were sufficient
16 to protect the balanced, indigenous population. If
17 the Region disagreed, the burden shifted, and they
18 had to make a reasoned decision as to what was the
19 maximum thermal discharge that was permitted with
20 that protection.

21 It is agreed that we met our burden on the
22 first issue. Had they looked at the pertinent

1 evidence, they would have found that we met our
2 burden at the second issue, because in 2001 the
3 principal scientist on which the Region and the
4 States relied said, "I have concluded that the
5 limits proposed by USGen are substantially
6 sufficient to protect the balanced, indigenous
7 population."

8 What did the Region do? They hid it.
9 What did Rhode Island do? We have discovered
10 e-mails, through the Public Records Act, to
11 Massachusetts, who was forthright in producing them
12 following the conclusion of the proceeding. They
13 pressured them to take that statement out. His
14 boss told him to take it out, and he did.

15 Instead, you heard from Mr. Stein that
16 they looked at the wrong evidence in deciding that
17 USGen had not met its second burden. You heard him
18 say it from this podium. The reason why they found
19 that USGen had not met the second burden was not
20 because of biological effects. It was because
21 there was a physical extent of the plume over too
22 great a portion of the bay. That's not what their

1 own regulations say they should be looking at.

2 As to whether the Region looked at other
3 plants, we did place evidence in the record saying
4 that we had conducted a comprehensive survey of all
5 other plants, and there was absolutely no precedent
6 for holding closed cycle cooling, whole station
7 closed cycle cooling, to be best available
8 technology for thermal discharge limitation or best
9 technology available for controlling cooling water
10 intakes.

11 At that point, the Region knew that its
12 decision was a departure, and its obligation was to
13 look at the other similarly situated plants, the
14 other 30 to 40 big plants on estuaries, and say why
15 Brayton Point Station was different from them. It
16 didn't do that. It did the exact opposite.

17 It tried to find different stations that
18 it could say were precedents for what it was doing,
19 and came up with four or five very different
20 stations. As we show, not one of them, not one of
21 them--and these are in the footnotes at page 4 to 5
22 to our reply brief--not one of them was a station

1 that was required to go to closed cycle cooling for
2 the entire station, either to limit its thermal
3 discharge or to control its cooling water intake.

4 Our proposal was not one unit closed cycle
5 cooling. Our proposal was a flexible arrangement
6 of cooling towers that could be connected with
7 whatever unit or units were generating the most
8 heat. You got a lot more bang for a smaller buck
9 from that type of creative technology. And we have
10 never conceded, we do not today, that whole station
11 closed cycle cooling is affordable.

12 JUDGE REICH: Thank you, Mr. Stevens.

13 Any questions?

14 Thank you.

15 MR. STEVENS: Thank you.

16 JUDGE REICH: I would like to thank
17 everyone for their participation this morning, and
18 compliment everybody on the quality of their
19 arguments. I know I found it very helpful and
20 enlightening.

21 Before adjourning, I have not done this
22 before, but I would like to make a comment about

1 where we go from here and reasonable expectations,
2 while we have virtually all the interested persons
3 in the room. As was clearly demonstrated this
4 morning, this is an exceptionally complicated case
5 with numerous participants and many, many issues,
6 some of which have significance beyond this
7 particular case. The Board does recognize that
8 participants feel a deep sense of urgency in this
9 matter. The Board also recognizes that it has
10 taken 10 years for this matter to reach the current
11 stage of appeal before the Board. The Board
12 intends to give this matter priority, and I assure
13 you we will issue a decision as quickly as we can
14 reasonably do so, recognizing that there are other
15 matters that the Board has before it. However, I
16 anticipate that this will still take a significant
17 period of time. The Board needs to and will take
18 the time it needs to assure that the issues are
19 dealt with in the most appropriate way. It does no
20 good for the Board to issue a decision that then
21 gets overturned on appeal, and there is no doubt in
22 my mind that whatever the Board does decide, it's

1 going to be judicially challenged by somebody. So
2 what I am suggesting is that you be prepared to
3 exercise some patience and be comforted by knowing
4 that even if you are not hearing from us for a
5 while, you can rest assured that it's not for lack
6 of diligent effort towards issuing our decision.

7 So, with that, this oral argument is
8 adjourned.

9 [Whereupon, at 12:20 p.m., the proceedings
10 were adjourned.]

C E R T I F I C A T E

I, **ELIZABETH L. WASSERMAN**, the Official Court Reporter for Miller Reporting Company, Inc., hereby certify that I recorded the foregoing proceedings; that the proceedings have been reduced to typewriting by me, or under my direction and that the foregoing transcript is a correct and accurate record of the proceedings to the best of my knowledge, ability and belief.

A handwritten signature in cursive script that reads "Elizabeth L. Wasserman". The signature is written in dark ink and is positioned above the printed name.

ELIZABETH L. WASSERMAN