

EXHIBIT C

Hearing Transcript

1 IN THE MATTER OF: )  
2 REVISED AIR POLLUTION )  
3 CONSTRUCTION PERMIT/PSD APPROVAL )  
4 FOR VULCAN CONSTRUCTION MATERIALS )  
5 FOR A LIME PLANT LOCATED ON AN )  
6 EXISTING LIMESTONE QUARRY SOUTH OF )  
7 MANTENO )

8

9

10 TRANSCRIPT OF PROCEEDINGS had at  
11 the hearing of the above-entitled matter, held  
12 at the Manteno High School, Manteno, Illinois, on  
13 the 4th day of June, A.D., 2009, commencing at  
14 7:00 p.m.

15 PRESENT:

16 MR. DEAN STUDER,  
17 Hearing Officer, Illinois  
Environmental Protection Agency;

18 MR. CHRISTOPHER P. ROMAINE,  
19 Manager, Construction Unit,  
Illinois Environmental Protection  
20 Agency;

21 MR. MINESH V. PATEL,  
Environmental Protection Engineer,  
22 Bureau of Air, Illinois  
Environmental Protection Agency.

23

24

1 MR. STUDER: Good evening. My name  
2 is Dean Studer. And I'm the hearing officer for  
3 Illinois EPA. Before we start, I'd like to make  
4 an announcement about cell phones. Please if you  
5 have them with you, put them on silent.

6 I'm the hearing officer for Illinois  
7 EPA. On behalf of Doug Scott, I'd like to  
8 welcome all of you to tonight's hearing. My  
9 purpose tonight is to insure that these  
10 proceedings run properly and according to rules.

07:03PM 11 This is an informal hearing before  
12 the Illinois EPA in the matter of a revised air  
13 pollution construction permit and PSD approval  
14 for Vulcan Construction Materials for a lime  
15 plant located on an existing limestone quarry  
16 south of Manteno.

17 Vulcan has applied for a revised  
18 permit to allow the plant which is currently idle  
19 to resume operation. Vulcan proposes to enhance  
07:03PM 20 the emission control system for the lime kiln at  
21 this plant by installing a dry scrubber system to  
22 control emissions of sulfur dioxide. Vulcan has  
23 also requested other revisions to the original  
24 construction permit for the plant to increase the

1 permitted emissions of particulate matter for  
2 material handling operations.

3 The lime plant is a major source of  
4 sulfur dioxide, particulate matter, nitrogen  
5 oxides and carbon monoxide under the federal  
6 rules for the Prevention of Significant  
7 Deterioration otherwise known as PSD under 40 CFR  
8 section 52.21 as emissions of these pollutants  
9 would be above the significant emission  
10 thresholds established in those federal regulations.

07:04PM

11 Illinois EPA has made a preliminary  
12 determination that the project meets requirements  
13 for obtaining a permit for the project and has  
14 prepared a draft permit for the review.

15 The Illinois EPA is holding this  
16 hearing for the purpose of explaining the draft  
17 permit, responding to questions and accepting  
18 comments from the public on the proposed issuance  
19 of a permit for this project prior to actually  
20 making a decision on the application.

07:05PM

21 The public hearing is being held  
22 under the provisions of Illinois EPA's procedures  
23 for permit and closure plan hearings and these  
24 can be found at 35 Illinois Administrative Code

1 part 166 subpart A.

2 Copies of these procedures can be  
3 obtained from me upon request or they can be  
4 accessed on the website for the Illinois  
5 Pollution Control Board at [www.ipcb.state.il.us](http://www.ipcb.state.il.us).

6 An information public hearing is  
7 simply that. It means that this is strictly an  
8 informational hearing. It is an opportunity for  
9 the Illinois EPA to provide you with information  
10 concerning the permit. There's also an  
11 opportunity for you to provide information to the  
12 Illinois EPA concerning the permit. This is not  
13 a contested case hearing.

14 I'd like to explain to you tonight  
15 how things are going to run. First we will have  
16 the Illinois EPA staff introduce themselves and  
17 identify their responsibilities within the  
18 agency. Then we will have some representatives  
19 from Vulcan Construction Materials introduce  
20 themselves and they'll be making a brief  
21 presentation this evening.

22 Following this overview, I will allow  
23 the public to ask questions and provide comments.  
24 You are not required to provide your comments

1 orally. Written comments are given the same  
2 consideration and may be submitted to the  
3 Illinois EPA at any time during the comment  
4 period which ends at midnight July 6, 2009.

5 All comments submitted by mail must  
6 be postmarked no later than July 6, 2009.

7 Although we will accept comments through that  
8 date, tonight is the only time that we will  
9 accept oral comments.

07:07PM 10 The tentative target date for a final  
11 decision in this matter is early September,  
12 however the actual decision date will depend upon  
13 the number of comments received, the substantive  
14 content of those comments as well as a number of  
15 other factors.

16 Any person who wants to make oral  
17 comment may do so as long as the statements are  
18 relevant to the issues at hand and they have  
19 indicated on the registration card that they  
07:07PM 20 would like to comment.

21 If you have not signed a registration  
22 card, at this point please see Brad Frost who is  
23 sitting back at the registration table back by  
24 the door and he will provide you a comment card.

1           You may also indicate that you would  
2 like to receive a copy of the summary tonight's  
3 hearing. If you have lengthy comments this  
4 evening or lengthy questions, it may be helpful  
5 to submit them to me in writing before the end of  
6 the comment period and I will ensure that they're  
7 included in the record as exhibits.

8           Please keep your comments and  
9 questions relevant to the issues at hand. If  
07:08PM 10 your comments fall outside the scope of this  
11 hearing, I may ask you to proceed to another  
12 issue.

13           All speakers have the option of  
14 directing questions to either the Illinois EPA  
15 panel or they may make general comments or they  
16 can do both.

17           The permit applicant, Vulcan  
18 Construction Materials, LC, is also free to  
19 answer questions if it is willing to do so. But  
07:08PM 20 I am not in a position to require them to answer  
21 questions.

22           Our panel members will make every  
23 attempt to answer the questions presented, but I  
24 will not allow the speakers to argue or to engage

1 in lengthy or prolonged dialogue with our panel.

2 For the purpose of allowing everyone  
3 to have a chance to comment, I'm going to ask  
4 that organizations and associations keep their  
5 questions and comments to no longer than 15  
6 minutes and individuals keep their comments and  
7 questions to five minutes. This should allow  
8 everyone who desires to speak that opportunity.

9 In addition, I'd like to stress that  
07:09PM 10 we want to avoid unnecessary repetition. If  
11 anyone before you has already presented testimony  
12 that is contained in your written or oral  
13 comments, please skip over those issues when you  
14 speak.

15 Please remember all written comments,  
16 whether or not they are said, they will become  
17 part of the official record in this matter and I  
18 will give them due consideration.

19 After everyone has had an opportunity  
07:09PM 20 to speak, and provided the time permits, we will  
21 allow those who ran out of time during their  
22 initial comments -- or excuse me -- we will allow  
23 those that have had -- ran out of time during  
24 their initial comments or who had additional



1 comments, we will allow them to speak at that time.

2 On the registration card, you may ask  
3 to receive a summary of the public hearing. The  
4 Illinois EPA responsiveness summary will attempt  
5 to answer all relevant and significant questions  
6 that were raised at this hearing or were  
7 submitted to me prior to the close of the comment  
8 period.

9 The written record in this matter  
10 will close July 6, 2009. I will accept written  
11 comments as long as they're postmarked no later  
12 than July 6, 2009.

13 While the record is open, all  
14 relevant comments and documents or data will be  
15 placed into the hearing record as exhibits.  
16 Please send all written comments to my attention.  
17 You can send them to Dean Studer, hearing  
18 officer, office of community relations, Illinois  
19 EPA, 1021 North Grand Avenue East, Post Office  
20 Box 19276, Springfield, Illinois 62794.

21 This address is also listed on the  
22 public notice for this hearing tonight.

23 For anyone wishing to make a comment  
24 or ask questions, I would like to remind you that

1 we have a court reporter here who will be taking  
2 a record of these proceedings for the purpose of  
3 putting together our administrative record.

4 Therefore for the benefit of the court reporter,  
5 please keep the general background noise in this  
6 room to a minimum so that we can hear everything  
7 that is said.

8 Please keep in mind that any comments  
9 from someone other than the person who is up  
07:11PM 10 front may not be recorded by the court reporter.  
11 If you speak over someone else, the court  
12 reporter will not be able to take down everyone's  
13 comments.

14 The same rule applies to the members  
15 of the audience as well as to the panel members  
16 here at Illinois EPA and to Vulcan.

17 When it is your turn to speak, please  
18 state your name, and if applicable, any  
19 governmental body, organization or association  
07:11PM 20 that you represent.

21 If you do not represent any  
22 governmental body, organization or association,  
23 simply state that you are a concerned citizen.  
24 For the benefit of the court reporter, we also

1 ask that you spell your last name.

2 People who have requested to speak  
3 will be called upon in the order that I have laid  
4 out based upon the cards that I have before me.  
5 After I have gone through the cards and assuming  
6 that there is time, if anyone else wishes to  
7 comment, he may do so at that time.

8 I have marked the following exhibits.  
9 We have the public hearing notice which is  
07:12PM 10 Exhibit 1. We have the project summary for the  
11 pollution control permit application which is  
12 Exhibit 2. And we have the draft air pollution  
13 control construction permit which is Exhibit 3.  
14 I'll also be adding two more exhibits shortly.

15 I would like to now ask the Illinois  
16 EPA staff here to introduce themselves. And if  
17 they would like to make a short opening  
18 statement, you may do so at this time. Please  
19 after you say your name, would you spell your  
07:12PM 20 last name for the benefit of the court reporter.

21 MR. ROMAINE: Good evening. My name  
22 is Chris Romaine. I am manager of the  
23 construction unit in the air permit section. And  
24 Romaine is spelled R-o-m-a-i-n-e.

1 MR. PATEL: Good evening. My name is  
2 Minesh Patel. The last name is spelled P-a-t-e-l.

3 Good evening, ladies and gentlemen,  
4 and welcome to this evening's hearing. My name  
5 Minesh Patel. And I am a permit engineer with  
6 the bureau of air. I will be giving you a brief  
7 description of the project.

8 Vulcan Material has requested a  
9 revised construction permit for its Manteno lime  
07:13PM 10 plant. While Vulcan Material has been operating  
11 its Manteno limestone quarry, the limestone  
12 plant -- lime plant has not been operating for a  
13 number of years. As part of restarting the lime  
14 plant, Vulcan Material has proposed to enhance  
15 the emission control system for the lime kiln by  
16 installing a spray dryer absorber. Other changes  
17 proposed in the revised permit includes  
18 shortening length of the kiln, new preheater  
19 tower, several new small baghouses replacing  
07:14PM 20 central baghouse and reconfiguring of certain  
21 fugitive dusting units and roadways associated  
22 with the lime plant.

23 Vulcan's Manteno lime plant was  
24 originally subject to federal regulation of

1 Prevention of Significant Deterioration of air  
2 quality, PSD. This is because the emission of  
3 sulfur dioxide, nitrogen oxide and carbon  
4 monoxide were greater than 100 tons per year.

5 The plant was also subject to PSD for  
6 particulate matter emissions as those were more  
7 than significant rates.

8 The issuance of construction permit  
9 for the plant also triggers a need for review of  
07:15PM 10 the BACT determination previously made by -- made  
11 for emissions of pollutants other than sulfur  
12 dioxide.

13 The BACT control technology for  
14 particulate emissions from kiln continues to be a  
15 fabric filter baghouse. This is because they are  
16 still generally considered the most effective  
17 control technology for particulate matter  
18 emissions from the kiln.

19 The BACT control technology for  
07:15PM 20 nitrogen oxide and carbon monoxide emissions from  
21 kiln continues to be combustion controls with  
22 conventional burner technology and good  
23 combustion practices respectively. However,  
24 facility has proposed to upgrade the lime kiln

1 combustion control by the equipment for blending  
2 the coal and coke fuel, fuel pulverizers and  
3 alteration to the kiln burner.

4 The revised draft permit also  
5 appropriately limits the emissions for the lime  
6 plant which may be subject to downward adjustment  
7 as on evaluation of actual operation of the kiln  
8 with improvement.

07:16PM

9 The permit that Illinois EPA is  
10 proposing to issue for the plant would include a  
11 variety of written requirements to ensure that  
12 the lime plant is properly constructed and operated.

13 The proposed permit establishes  
14 appropriate testing, monitoring, recordkeeping  
15 and reporting requirements. It also includes  
16 requirements for continuous emission monitoring  
17 for continuous emissions of sulfur dioxide,  
18 nitrogen oxide, carbon monoxide and opacity.

07:17PM

19 These activities would be overseen by  
20 Illinois EPA which will review the various  
21 reports that the plant must submit and  
22 periodically conduct on-site inspection for the  
23 plant.

24 We look forward to your questions or

1 comments on this proposed permit. And once again  
2 thanks for attending the hearing.

3 MR. STUDER: Thank you, Mr. Patel,  
4 Mr. Romaine.

5 I believe that we have a  
6 representative from Vulcan that is going to make  
7 a short presentation before we start taking  
8 questions and comments.

07:17PM

9 MR. FORSYTH: Good evening. I am  
10 Lamar Forsyth. I'm the director of finance for  
11 Vulcan Materials Midwest Division.  
12 F-o-r-s-y-t-h. And I'm here to talk about our  
13 new plant for Manteno Lime.

14 I would like to recognize some of the  
15 Vulcan employees that are with me tonight. It  
16 includes staff from the plant, from our  
17 engineering and environmental sales and other  
18 operations departments. I appreciate their  
19 attendance.

07:18PM

20 I'd also like to recognize some of  
21 the team members who helped us put this permit  
22 together. Dr. John Richards, air control  
23 techniques, and Ken Schwiegert of Penta  
24 Engineering. Thank you gentlemen for also being

1 here.

2 In early April, we mailed about 5,000  
3 letters to all residents in the Manteno zip code  
4 inviting them to an open house wherein we talked  
5 about our new plant for Manteno Lime. We've also  
6 briefed stakeholders and launched a website on  
7 this project. In fact we requested this  
8 evening's hearing as well with the IEPA.

9 We took these actions to help educate  
07:18PM 10 the community about our new plant for Manteno  
11 Lime.

12 In the next few minutes, I want to  
13 give you a quick overview of our plans. This is  
14 a \$30 million make-over of the projection  
15 facility which will create a state of the art  
16 facility and also be a positive economic engine  
17 for the Kankakee County area.

18 Let's start with the Manteno quarry.  
19 As you can see in this map, if you can see the  
07:19PM 20 map, the green shaded area is the Manteno quarry.  
21 It's located about three miles south of Manteno  
22 just east of Route 50. There's another quarry in  
23 the area. It's shaded in yellow here. That  
24 quarry is located southwest of here, just west of



1 Interstate 57. That facility is owned and  
2 operated by Prairie Materials. That's not us.  
3 There's been confusion about the ownership of  
4 that facility. And I wanted to clarify that point.

5 At Manteno, we produce about a  
6 million tons of aggregates a year. We have a  
7 full line of construction aggregates and our  
8 products are used in a wide range of construction  
9 projects from local roads of course to the  
07:19PM 10 Wal-Mart in Bradley and the Culver's that was  
11 built in Bourbonnais.

12 Manteno quarry is a  
13 nationally-recognized award-winning operation.  
14 You can see some of the safety awards and  
15 community relation awards here on the screen.  
16 Our local team has really worked hard to  
17 establish Manteno as a national leader. And we  
18 do our very best to support local schools and  
19 community and events. In fact we support the  
07:20PM 20 Manteno October Fest which is a highlight of our  
21 effort in this area.

22 Turning to the lime operations. We  
23 made a promise back in 2003. You can see it here  
24 on the screen. While it's taken more than six

1 years and a lot of hard work, we believe the new  
2 plan for Manteno fulfills our commitments that we  
3 made back then.

4 This new plant is a comprehensive  
5 solution with more than 17 specific improvement  
6 areas that not only addresses the issues of the  
7 past but also makes Manteno Lime a leader in its  
8 industry.

07:20PM

9 Additionally it will be a positive  
10 economic engine for the Manteno area and Kankakee  
11 County. Regarding the investment, Dr. Daake at  
12 Olivet University has estimated that the spending  
13 will generate a local benefit in excess of  
14 \$3 million.

15 Let me talk about each of these five  
16 key improvement areas if I could.

17 No. 1, we will bring new technology  
18 and environmental controls to the plant. Here  
19 you see a picture of a spray dryer absorber.

07:21PM

20 This is a device -- piece of environmental  
21 equipment that captures sulfur in the exhaust  
22 emissions. In addition, we will also be adding  
23 expanded baghouses, loading chutes and a wheel  
24 wash to the plant all with an eye to address the

1 dust controls within the facility.

2 Both the spray dryer and the  
3 baghouses will address the odor and the dust  
4 issues that the plant experienced at one time.

5 Beyond this environmental equipment,  
6 we're also improving operating practices within  
7 the facility. These practices touch on all  
8 elements of the plant including the temperature,  
9 pressures and feed rates that are used to operate  
07:21PM 10 the facility.

11 Operating practices provide for an  
12 efficient and well-run facility.

13 A couple of examples. I want to  
14 point out the second bullet there. The old plant  
15 was designed to start up on diesel fuel. The new  
16 plant will start up on cleaner burning LPG or  
17 natural gas.

18 We will also be adding a computerized  
19 preventative maintenance system to track the  
07:22PM 20 repairs that are made to the facility and  
21 establish new recordkeeping to ensure our  
22 compliance with the permit.

23 Everybody's interested in protecting  
24 the environment and Vulcan is no different. To

1 accomplish this, we've designed this plant with a  
2 preheater. This is an expensive piece of  
3 equipment that basically recycles hot air to warm  
4 the stone before it begins the production process.

5 We estimate that this equipment will  
6 reduce our fuel consumption and emissions between  
7 28 and 38 percent. And any time you can reduce  
8 fuel emissions by that rate, that's a good thing.

9 I brought a couple of slides here  
07:22PM 10 just to show you the improvements in the plant.  
11 This is the first drawing that shows the facility  
12 as it is today. The red stars here are the  
13 system monitors. The green stars are the  
14 continuous emission monitors.

15 The system monitors are the devices  
16 that capture information about the plant, again  
17 feed rates, temperature, et cetera. And that  
18 information is captured and helps the plant  
19 operator to run the plant.

07:23PM 20 In total, there were 11 monitors that  
21 were included in the original design. This is  
22 the new design. And if you can see the  
23 improvement areas, they're highlighted in yellow  
24 here on the screen. There's a lot of yellow on

1 that screen.

2 Of course, the number of new stars  
3 here is notable. There are 28 monitors in this  
4 design versus 11 in the original plan.

5 Beyond 24-7 data capture of these  
6 monitors, all data is fed into the plant's  
7 computer system where the performance can be  
8 monitored by highly skilled plant operators. Of  
9 course, the data is also used to report to the  
10 IEPA who monitors our compliance with the permit.

07:23PM 11 The fourth area of improvement is  
12 beautification efforts. And if you've driven by  
13 the quarry recently, you probably noticed these.  
14 The beautification efforts actually began last  
15 year based on a recommendation that was made by  
16 the Manteno Quarry Community Advisory Council.

17 Last year, we regraded and seeded a  
18 significant portion of the berm. This year, we  
19 reseeded. We planted some additional trees and  
20 some shrubs. The next and last step will be to  
21 install some gates at the entrance and that will  
22 take place within the next few weeks.

23 Ultimately, the plan will be to move  
24 the berm all the way to our north boundary line

1 as depicted in this picture.

2 Lastly and most importantly, the new  
3 job -- the new plan creates new jobs and sustains  
4 existing jobs in the area. The quarry itself has  
5 about 11 full-time positions. This plan will  
6 create an additional 6 jobs in the quarry  
7 operations and 24 jobs in the lime plant itself.

8 As you can see in this screen, these  
9 are highly-skilled jobs. We will need  
07:24PM 10 highly-skilled employees at this facility to  
11 monitor, operate and to maintain the facility and  
12 to comply with the recordkeeping and reporting  
13 obligations of the permit.

14 Again Dr. Daake has analyzed this and  
15 provides support that this project will provide  
16 an additional 18 jobs in the community beyond  
17 those in the plant itself. That's a total of  
18 nearly 50 jobs relating to this project.

19 That's it for the presentation. In  
07:25PM 20 closing, let me summarize. No. 1, the new plant  
21 for Manteno Lime will fully address the dust and  
22 odor issues of the past.

23 Second, it's a multi-million dollar  
24 plan that will make the Manteno plant a state of

1 the art facility and national leader within our  
2 industry.

3 Lastly, the Manteno facility will  
4 become a positive economic contributor to the  
5 local community. 30 jobs directly affiliated  
6 with the lime plant and an additional 18 or more  
7 for the area.

8 If you'd like additional information  
9 of course you can find it at our website, New  
07:25PM 10 Plan For Manteno Lime Dot Com. We also have a  
11 toll free number, 1-877-Manteno. You are welcome  
12 to call us on that number as well.

13 MR. STUDER: I've also been given a  
14 copy of the slides that I'll be entering them  
15 into the record as Exhibit No. 4. And I have a  
16 letter that was sent from Vulcan to the community  
17 that is dated April 17, 2009. I will be entering  
18 that into the record as Exhibit No. 5.

19 We're going to begin with questions  
07:26PM 20 and comments from the public. When I call your  
21 name, if you would please come forward. I ask  
22 when you come forward to speak into the mike  
23 clearly so we can hear you. Just state your name  
24 and again spell your last name for the benefit of

1 the court reporter.

2 If I call your name and you are no  
3 longer interested in making a comment or  
4 question, please just indicate so and I'll go on  
5 to the next name.

6 We will go through. Again I limit  
7 organizations to no more than 15 minutes. And if  
8 individuals could keep their questions and  
9 comments to five until we go through the first  
10 round. And then if time permits, we will come  
11 back to those of you who have additional  
12 questions or comments that you would like to make.

13 First person is Dan Gallagher.

14 MR. GALLAGHER: Gallagher. Good  
15 evening. Dan Gallagher, G A-l-l-a-g-h-e-r. I'm  
16 with Gallagher Asphalt. We've had a business  
17 relationship with Vulcan for 30, 40 years. I  
18 just want to come out and give them support  
19 tonight that my experience with them has been  
20 nothing but professional. They've conducted  
21 themselves with professionalism in every aspect  
22 that we've dealt with them.

23 On a national level, I've sat on  
24 boards with members of Vulcan. And they're



1 leaders in the industry throughout the country.  
2 So I just ask that everyone support them in this  
3 effort.

4 I think it's a great opportunity to  
5 bring jobs to Manteno. They do a lot for the  
6 community as anyone that's been around for a  
7 while have seen. And I look forward to seeing  
8 them continue doing that. Thank you.

9 MR. STUDER: Thank you, Mr. Gallagher.

07:28PM 10 We have Mr. -- is it Shah. Ruben Shah.

11 MR. SHAH: My name is Ruben Shah,  
12 S-h-a-h. I'm with Gierczyk Constructors,  
13 G-i-e-r-c-z-y-k, Constructors, Inc. And we are  
14 one of the customers for Vulcan Materials. We  
15 buy considerable amount of aggregates delivered  
16 by them for our parking lots of the projects.  
17 And as a part of the construction industry, I'm  
18 looking for a way to get this project off the  
19 ground in today's economic time when the money  
07:29PM 20 has been spent by the development and not by  
21 industry, and I'm looking forward for Vulcan  
22 Material spending this kind of money in our  
23 community to put up this project. Thank you.

24 MR. STUDER: Thank you, Mr. Shah.

1                   Dan Hassett. I'm sorry. John  
2 Hassett. Excuse me.

3                   MR. HASSETT: My name is John  
4 Hassett, H-a-s-s-e-t-t. And I'm just a concerned  
5 citizen. And I was wondering if any of the  
6 before and after levels of chemicals in the  
7 groundwater or the surface waters were going to  
8 be monitored pre and post the construction to see  
9 if there's any affect on the possible emissions  
10 into the water.

07:29PM

11                   MR. ROMAINE: This is an air hearing.  
12 Issues of groundwater contamination are not a  
13 subject of the hearing.

14                   Historically to my knowledge we have  
15 not had difficulties with contamination of the  
16 soil from lime kiln. The problem with  
17 contamination comes from direct spills of  
18 material when somebody ruptures a fuel tank or  
19 chemical storage tank or a truck leaks or there's  
20 a manufacturing operation that has chemicals and  
21 those chemicals are not contained or allowed to  
22 escape from dripping containers, pipes, things of  
23 that sort.

07:30PM

24                   MR. HASSETT: Thank you.

1 MR. STUDER: Thank you, Mr. Hassett.  
2 We have Lou Ann Harvell.

3 MS. HARVELL: I'm Lou Ann Harvell,  
4 H-a-r-v-e-l-l, a neighbor. And I just kind of  
5 address the question. My question was on the  
6 drainage that -- if there is anything in place  
7 for the drainage problem that they seem to have  
8 now.

9 MR. ROMAINE: Could you further  
07:31PM 10 describe the drainage problem that you are  
11 experiencing?

12 MS. HARVELL: The fields are full of  
13 water and it stays there quite some time. And it  
14 seems like it's -- it never used to be that way.  
15 And it's in the area where they are planning to  
16 mine for this time is my understanding.

17 MR. ROMAINE: I'm not familiar with  
18 those circumstances. If Vulcan would like to  
19 discuss this.

07:32PM 20 MR. LEEMON: Good evening, everybody.  
21 I'm D.J. Leemon with Vulcan Materials. I'm a  
22 district operations manager. That's spelled  
23 L-e-e-m-o-n. I'd be more than happy to answer  
24 any questions or concerns that anybody --

1 questions anybody has about the water around our  
2 quarry, in the spirit of staying focused, on the  
3 air permit, I'll meet with anybody that would  
4 like to talk to me afterwards.

5 MS. HARVELL: I have one other. My  
6 other question is I understand that the plan --  
7 all the equipment that they're putting in is not  
8 in place at any other plant, that is new  
9 technology. If there's any problems or things  
07:33PM 10 aren't working right, do we have any recourse or  
11 once this permit is issued is it --

12 MR. ROMAINE: I'd first say that the  
13 technology is used elsewhere. It isn't commonly  
14 used on lime plants, but it is commonly used on  
15 other similar operations, in particular cold  
16 fired boilers, so the technology is not  
17 experimental in that sense. Likewise preheater  
18 towers are a common feature on new lime kilns.

19 If there are difficulties and the  
07:33PM 20 plant can't comply with the limits that have been  
21 established, it can't operate properly, there are  
22 certainly recourse. Our preferred approach would  
23 be to take the necessary measures to get the  
24 equipment to be working properly. It's been

1 described -- there's surely enough  
2 instrumentation now to figure out what's going  
3 wrong. In the extraordinary case where that  
4 isn't possible, which we in no way expect, then  
5 we would have to get into a situation where the  
6 lime kiln ceases operation.

7 MS. HARVELL: Thank you.

8 MR. STUDER: Thank you, Miss Harvell.  
9 Gloria Gillespie.

07:34PM 10 MS. GILLESPIE: No comment.

11 MR. STUDER: No comment.

12 Harold Gillespie.

13 MR. GILLESPIE: No comment.

14 MR. STUDER: No comment.

15 Rusty Tobey. Did I say that correct?

16 MR. TOBEY: That's close. Good  
17 evening. Rusty Tobey. T-o-b-e-y. I'm with  
18 Tobey Construction. And I'm here to urge your  
19 support for Vulcan's investment in our community.

07:34PM 20 At this point in time we can all use the jobs.

21 Over the last 25 to 30 years, I've  
22 come to know this company very well inside and  
23 out. Their commitment to the communities that  
24 they're involved in, their commitment to the

1 employees is unmatched. And we can't afford to  
2 let this one go.

3 The construction investment alone is  
4 somewhere between 3 and \$4 million. And just  
5 outside of what they'll generate for the plant  
6 employees as well as what they'll generate for  
7 all of our employees.

8 With that, I have nothing else.

9 Thank you.

07:35PM

10 MR. STUDER: Thank you, Mr. Tobey.

11 Henry O'Reilly.

12 MR. O'REILLY: Thank you. My name is  
13 Henry Irish O'Reilly, O-R-e-i-l-l-y. I'm here as  
14 a private citizen but also here representing a  
15 group known as Save Our Golf Course,  
16 Incorporated, which is a local non-for-profit  
17 organization that's managing the Manteno Golf and  
18 Learning Center which is just a couple of miles  
19 from the quarry and so kind of like neighbors.

07:36PM

20 Also I moved to this community about  
21 31 years ago and felt it was really something  
22 that was really unique and nice out in the middle  
23 of nowhere. We've grown from a little town of 20  
24 some hundred up over the 10,000 area right now.

1 And one of my big concerns was green space and  
2 taking care of the green space. And sometimes we  
3 get lost in what we're doing, but I've been  
4 impressed since Vulcan has moved into the area,  
5 their concern for the environment has been very  
6 impressive. I want to be very transparent too  
7 though that as the golf course out there and our  
8 non-for-profit organization, Vulcan has been good  
9 to us also with donations as they have done with  
07:36PM 10 the school district and, excuse me, and the  
11 October fest and the like.

12 I'm not a bought voice or a bought  
13 vote, those people that know me. I like to study  
14 things, know things. By no means am I an  
15 engineer or otherwise, but I have sat in on your  
16 sessions. I think you've been quite forward with  
17 everything that you are going do. And I agree  
18 with the people in the business and industry.  
19 This area needs a shot in the arm. And so  
07:37PM 20 definitely the kind of dollars you're talking for  
21 building and the jobs, the kind of people that  
22 it's going to bring into the area I think  
23 benefits and behooves all of us.

24 And again not being an expert, the

1 question on water, one of the things I would  
2 mention because the golf course -- we have  
3 suffered greatly. This has been our worst year  
4 water wise, talking land water, but it's also --  
5 if we look at the weather record since 1928, this  
6 is the most rain we've ever had.

7 We also had the opportunity because  
8 we're having some problems with our well in the  
9 last two years to have a person come out and they  
10 told us our well goes down 144 feet and we're  
11 within 10 foot of the top. And a year or two  
12 years ago, we weren't even halfway to the top.

13 So definitely we are moving a lot  
14 more water in the neighboring area, but I would  
15 hope from your environmental people you would  
16 keep a close eye on the water and what's  
17 happening both with the water above ground and  
18 the aquifer under ground to it too.

19 So again as a citizen, a  
20 representative to Save Our Golf Course, we would  
21 like to go on record as being positive for the  
22 project, for the community, and thank you for  
23 expressing an interest in investing more in our  
24 community so we can all grow.



1           One last thing. I love your  
2 beautification thing you're doing, but if you can  
3 find a way to get more trees in. We need a lot  
4 more trees here. I'm a tree person too. And we  
5 got to plant a lot more around this area. So  
6 thank you.

7           MR. STUDER: Thank you, Mr. O'Reilly.  
8           Nicholas Allen.

9           MR. ALLEN: Good evening. Nick

07:39PM 10          Allen. It's A-l-l-e-n. And I am the regional  
11 director for this area for Congress Woman Debbie  
12 Halvorson. The congress woman obviously could  
13 not be here this evening but drafted a letter and  
14 asked that I read it here on her behalf.

15           To whom it may concern. I am writing  
16 on behalf of the 11th Congressional District of  
17 Illinois to express my support for the Vulcan  
18 Materials Company's new plan for the Manteno Lime.

19           Many of my constituents are feeling  
07:39PM 20          the harsh effects of the national recession and  
21 as a member of congress I am committed to working  
22 hard for job creation and retention throughout  
23 our region. Encouraging local businesses to  
24 expand and continue investing in our communities

1 is critical to our local economic recovery and  
2 the quality of life for our residents.

3 Vulcan is prepared to invest  
4 \$30 million to renovate a facility that put  
5 people back to work. By creating an additional  
6 30 new jobs while also sustaining existing jobs,  
7 Manteno Lime stands to provide a much needed  
8 boost for the local economy.

07:40PM

9 In addition, the new plant implements  
10 an extensive array of monitoring technologies to  
11 ensure the facility performs to the highest  
12 environmental standards.

13 From the information I've been  
14 provided, this is a sound plan that is not only  
15 beneficial for our community but is both socially  
16 and environmentally responsible.

07:40PM

17 With quarries in Kankakee and  
18 Manteno, Vulcan Materials Company has proven  
19 itself to be a job creator and good corporate  
20 citizen in our local communities.

21 By making a significant investment in  
22 the manufacturing sector with a new plan for  
23 Manteno Lime, I trust Vulcan to continue that  
24 tradition.

1           Thank you for your consideration of  
2 my support. If I can be of further assistance,  
3 please do not hesitate to contact me or my staff  
4 at 202-225-3635.

5           Sincerely, Debbie Halvorson, member  
6 of congress.

7           MR. STUDER: Thank you, Mr. Allen.  
8 Dawn Russert.

9           MS. RUSSERT: Good evening. My name  
07:41PM 10 is Dawn Russert, R-u-s-s-e-r-t. I'm the  
11 superintendent of Manteno Community School  
12 District No. 5. I'm here to say that Vulcan  
13 Materials has been a good partner for education  
14 having provided tours to the quarry for our  
15 students. They've also been in the adopt a  
16 school program providing support for concrete,  
17 rocks and minerals, rock tumblers and also  
18 additional field trip opportunities for classrooms.

19           They've also been a good partner in  
07:42PM 20 the community, with the village, with the October  
21 Fest. And with the transportation center for the  
22 school district not too far away from the quarry,  
23 we do also appreciate how they've kept Route 50  
24 clean, cleaning and sweeping it regularly which

1 has helped to keep our busses clean as well.

2 They've been a good sponsor and a  
3 good citizen of this community. So on behalf of  
4 the school district, we support the project.

5 MR. STUDER: Thank you, Miss Russert.  
6 David Hinderliter.

7 MR. HINDERLITER: Good evening,  
8 ladies and gentlemen. My name is as long as the  
9 trip down here. So it's H-i-n-d-e-r-l-i-t-e-r.  
07:43PM 10 X Y Z. Just checking you.

11 Anyway I'm here on behalf of the  
12 Kankakee Regional Chamber of Commerce. My office  
13 is actually within a mile of this facility. And  
14 I can tell you that we're excited about this  
15 project coming our way after seeing that site sit  
16 idle for a number of years.

17 We've had an extensive partnership  
18 with Vulcan over the past 10 or 15 years and I  
19 can tell you that they're good citizens, good  
07:43PM 20 corporate citizens, good friends in the  
21 community. And as I have looked at this project  
22 and they brought me into the picture to show me  
23 the work that they've put into it, the time and  
24 effort that they've expended, I can tell you it's

1 probably one of the most premier projects that  
2 we've seen in this area from a planning and  
3 presentation and I think the fact that they have  
4 you here tonight is an example of that very  
5 thing. They didn't have to do this, but they  
6 chose to do because they want to be transparent.  
7 In this time and age, I think that's very, very  
8 important.

9 I have been conducting my own surveys  
07:44PM 10 around the community to find out what people  
11 think about it. I'm not an aggregate person  
12 myself although I do use them regularly for many  
13 reasons. I can't tell you why, but I know I use  
14 it all the time. Many reasons. And, you know,  
15 nobody seems to have a problem with what the  
16 project looks like. And they have said that, you  
17 know, as long as it's clean and safe,  
18 environmentally sound, there's not dirt  
19 everywhere. There could have been in the past or  
07:44PM 20 problems. They're excited about this  
21 opportunity.

22 And so I would say on behalf of the  
23 chamber of commerce, the business community in  
24 general, we're delighted to have this opportunity

1 to have a tremendous project like this in our  
2 community when it could be somewhere else in the  
3 nation, could be somewhere else in Illinois, but  
4 let's just hope that the proper sketches come  
5 down and we can get this done in the very near  
6 future. Thank you very much.

7 MR. STUDER: Thank you, Mr. Hinderliter.

8 That concludes the first round of  
9 going through those that have registered and want  
10 to speak tonight.

11 So now I'm going to ask if there are  
12 people that have not spoken and would like to do  
13 so or if there are people that have already  
14 spoken but have additional comments or questions  
15 that they would like to make.

16 MR. WALTERS: My name is Jim Walters,  
17 W-a-l-t-e-r-s. I with the Ozinga Ready Mix. And  
18 we have a great partnership, working partnership  
19 with Vulcan. We have several of our plants on  
20 their quarries. And this year we buy all of our  
21 stone for our concrete from Vulcan Materials.

22 We've also had a great relationship  
23 working with them in this community. I've also  
24 lived in this community all my life. I was born

1 and raised in the Kankakee County. So I strongly  
2 support this. I would like to see the jobs that  
3 come here.

4 And I know Vulcan is very aware of  
5 things in the community. They do not try to hide  
6 from anything. If anybody has a question,  
7 they're the first ones to be able to stand up and  
8 give you somebody to talk to to be able to work  
9 the problem through. So I support this 100 percent.

07:46PM 10 MR. STUDER: Thank you, Mr. Walters.

11 Is there anyone else?

12 MS. BARBER: Good evening. My name  
13 is Ruth Barber, B-a-r-b-e-r. I'm the county  
14 board district rep for District 8. I've been on  
15 the county board for -- this is my 7th year.  
16 I've never received a phone call where somebody  
17 was calling me to tell me what a great job anyone  
18 in the community is doing. My phone rings with  
19 complaints. So after reviewing Vulcan Materials  
07:47PM 20 compliance and audit systems, I feel very  
21 confident in supporting Vulcan Materials in terms  
22 of the end result of my phone not ringing. And  
23 if it should ring, I'm very confident that we  
24 will have a quick resolution to whatever the

1 issue be at hand. But most importantly, we're  
2 talking about 30 jobs plus. And that's very  
3 encouraging. Thank you.

4 MR. STUDER: Thank you. Is there  
5 anyone else?

6 MR. RUSSERT: Good evening. Paul  
7 Russert, R-u-s-s-e-r-t. And first of all I come  
8 here -- I'm a member of this community, Manteno.  
9 And I've worked with Vulcan on -- in a number of  
10 various capacities. I'm the principal of Manteno  
11 High School here. And I have been involved with  
12 Vulcan Materials on numerous projects. They've  
13 come into our school. They've helped us. We  
14 formed a wonderful partnership.

15 I'm also the secretary of the Manteno  
16 Chamber of Commerce. And I've worked with Vulcan  
17 Materials in that capacity as well.

18 I also serve as a member of the  
19 Community Outreach Vulcan Committee and have  
20 worked with them in that capacity too. And I  
21 have to say that everything that I've done with  
22 Vulcan has been first class. And everything that  
23 they say they're going to do they follow through  
24 with it. And I am pleased to support this



1 project as well. So thank you.

2 MR. STUDER: Thank you, Mr. Russert.

3 DR. DAAKE: Good evening. I'm  
4 Dr. Don Daake, D-a-a-k-e. I'm speaking as a  
5 private citizen, but I am a professor at Olivet  
6 Nazarene University and did some of the research  
7 looking at jobs.

8 I'm very impressed by the quality of  
9 jobs and how -- in looking at the 48 jobs, beyond  
07:50PM 10 the 30, from an economic standpoint, we use very  
11 various multipliers. And so the 18 are jobs  
12 created by the jobs spending of the people who  
13 work at Vulcan.

14 In fact, the conservative method that  
15 we use probably understates the additional jobs.  
16 So very likely the 30 jobs could create more than  
17 18.

18 It's important that you know that  
19 we're very conservative, but jobs aren't just  
07:50PM 20 jobs. Quality jobs, manufacturing and mining  
21 jobs tend to have higher multipliers than say  
22 retail, so it's a very impressive project. Thank  
23 you.

24 MR. STUDER: Thank you. Do we have

1 anyone else that would like to speak tonight?

2 Okay. With that, I will go ahead and  
3 close this hearing. I would like to remind  
4 everyone here that the record is open until  
5 July 6, 2009. If you would like to make written  
6 comments, please feel free to do so. You'll find  
7 that information on the notice of this hearing.

8 It is now approximately 10 minutes  
9 before 8 o'clock. We're going to call this  
10 hearing to a close. I would like to thank  
11 everyone for coming tonight.

12 On behalf of Director Scott, thank  
13 you for your attendance here. I have given you a  
14 lot of latitude to speak and I appreciate your  
15 comments and the questions that have been raised  
16 tonight. Thank you again for coming.

17 (WHEREUPON, the hearing adjourned  
18 at 7:51 p.m.)

19

20

21

22

23

24

1 STATE OF ILLINOIS )

2 COUNTY OF C O O K )

3 I, SHARON A. STUCKLY, a Certified  
4 Shorthand Reporter of the State of Illinois, do  
5 hereby certify that I reported in shorthand the  
6 proceedings had at the hearing aforesaid, and  
7 that the foregoing is a true, complete and  
8 correct transcript of the proceeding of said  
9 hearing as appears from my stenographic notes so  
10 taken and transcribed under my personal  
11 direction.

12   
13 \_\_\_\_\_  
14 Certified Shorthand Reporter

15

16 C.S.R. Certificate No. 84-1640.

17

18

19

20

21

22

23

24